



ONTARIO ENERGY BOARD

FILE NO.: EB-2017-0049 Hydro One Networks Inc.

VOLUME: Volume 6

DATE: June 19, 2018

BEFORE: Ken Quesnelle Presiding Member and Vice-Chair
Lynne Anderson Member
Emad Elsayed Member

EB-2017-0049

THE ONTARIO ENERGY BOARD

Hydro One Networks Inc.

Application for electricity distribution rates
beginning January 1, 2018 until December 31, 2022

Hearing held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Tuesday, June 19, 2018,
commencing at 9:36 a.m.

VOLUME 6

BEFORE:

KEN QUESNELLE	Presiding Member and Vice-Chair
LYNNE ANDERSON	Member
EMAD ELSAYED	Member

A P P E A R A N C E S

JAMES SIDLOFSKY	Board Counsel
MARTIN DAVIES KEITH RITCHIE	Board Staff
GORDON NETTLETON GEORGE VEGH SAM ROGERS	Hydro One Networks Inc. (HONI)
LISA (ELISABETH) DeMARCO JONATHAN MCGILLIVRAY	Anwaatin Inc., Energy Storage Canada (ESC)
SHELLEY GRICE	Association of Major Power Consumers in Ontario (AMPCO)
MICHAEL BUONAGURO	Balsam Lake Coalition (BLC) Arbourbrook Estates
TOM BRETT	Building Owners and Managers Association, Toronto (BOMA)
EMMA BLANCHARD ERIN DURANT SCOTT POLLOCK	Canadian Manufacturers & Exporters (CME)
JULIE GIRVAN	Consumers' Council of Canada (CCC)
BRADY YAUCH TOM LADANYI	Energy Probe Research Foundation
ROBERT WOON	Ontario Sustainable Energy Association (OSEA)
RICHARD STEPHENSON BODHAN DUMKA	Society of United Professionals
MICHAEL McLEOD	Quinte Manufacturers' Association (QMA)
JAY SHEPHERD MARK RUBENSTEIN	School Energy Coalition (SEC)
RICHARD STEPHENSON	Power Workers' Union (PWU)

A P P E A R A N C E S

BOHDAN DUMKA

Society of United Professionals
(SUP)

MARK GARNER
BEN SEGEL-BROWN

Vulnerable Energy Consumers'
Coalition (VECC)

ALSO PRESENT:

JODY McEACHERN
STEVEN VETSI

Hydro One Networks Inc.

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:36 a.m.	1
Preliminary Matters	1
HYDRO ONE NETWORKS INC. - PANEL 4, WORK PROGRAMS, resumed	7
B. Grunfeld, K. Buckstaff, S. Tankersley, Previously Affirmed	
Cross-Examination by Ms. Durant	27
Cross-Examination by Mr. Segel-Brown	40
--- Recess taken at 11:21 a.m.	60
--- On resuming at 11:43 a.m.	60
Cross-Examination by Ms. Grice	64
Questions by the Board	104
--- Luncheon recess taken at 1:14 p.m.	112
--- On resuming at 2:25 p.m.	112
Preliminary Matters	113
HYDRO ONE NETWORKS INC. - PANEL 5: ASSET MANAGEMENT PLANNING & WORK EXECUTION	115
D. Bradley, B. Jesus, L. Garzouzi, B. Bowness; Affirmed	
Examination-in-Chief by Mr. Nettleton	116
Opening Statement by Ms. Bradley	117
Cross-Examination by Mr. Rubenstein	129
--- Recess taken at 3:37 p.m.	157
--- On resuming at 3:55 p.m.	157
--- Whereupon the hearing adjourned at 4:57 p.m.	197

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT NO. K6.1: BOARD STAFF CROSS-EXAMINATION COMPENDIUM FOR HONI PANEL 4.	76
EXHIBIT NO. K6.2: SEC CROSS-EXAMINATION COMPENDIUM FOR HONI PANLE 5	130

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. J6.1: TO PROVIDE THE SPREADSHEET AND AN EXPLANATION OF HOW IT WAS DERIVED	129

1 Tuesday, June 19, 2018

2 --- On commencing at 9:36 a.m.

3 MR. QUESNELLE: Mr. Nettleton, any preliminary matters
4 from yourself?

5 **PRELIMINARY MATTERS:**

6 MR. NETTLETON: I do, Mr. Chairman.

7 Last evening Hydro One filed a response to an
8 undertaking that was provided by Mr. D'Andrea, and it was
9 assigned -- I believe it was assigned Exhibit K2. -- sorry,
10 J2.4, and this was in relation to the line of questioning
11 that Mr. Rubenstein had asked Mr. D'Andrea about a Boston
12 Consulting Group report that was referred to in Mr.
13 Tankersley's evidence, and there was a follow-up discussion
14 about whether there were other reports and that Mr.
15 D'Andrea was going to go check. And the undertaking was to
16 provide in advance of the appearance of panel 5 material
17 created by Boston Consulting Group, and that was in respect
18 of the question of Mr. Rubenstein at line 18 of the
19 transcript at page 110. The question was:

20 "Could you file that -- would you undertake to
21 provide that report?"

22 And Mr. D'Andrea's response was:

23 "If there is a report and it is subject to
24 confidentiality then we will provide it in the
25 proper form."

26 So a long way of saying we did file the report that --
27 and it wasn't really a report. It was more of a slide -- a
28 presentation deck that Boston Consulting Group had provided

1 to Hydro One relating to vegetation management, which I
2 believe is what Mr. Tankersley saw and had access to.

3 With respect to the additional report that Mr.
4 Rubenstein was asking for, we have searched, and there is
5 no report per se. What we have found is that there is a
6 presentation that Boston Consulting Group and Hydro One's
7 senior management prepared together to Hydro One's board of
8 directors. And this was -- it is something that, again,
9 panel 5 will be able to speak to, Mr. Bowness will be able
10 to speak to, in terms of the exercise that was carried out,
11 but it was very much related to a joint effort that was
12 carried out to look at work flows and management systems
13 and processes that were being evaluated immediately
14 following the going public transaction.

15 So what we are now doing with this presentation is we
16 are reviewing it to see what material can be produced.
17 There is forward-looking financial information in that
18 presentation deck and there is information that relates to
19 Hydro One's non-regulated businesses. We are in the
20 process of vetting that document, and we are hoping to file
21 it in this proceeding later today.

22 MR. QUESNELLE: Thank you. Mr. Rubenstein?

23 MR. RUBENSTEIN: Yes. Yesterday I did receive the
24 response to Undertaking J2.4, in which all that was
25 provided in that response was a slide -- about a ten-page
26 or -- I'm not exactly sure how many pages -- an 18-page
27 detailed slide deck which summarizes the work Boston
28 Consulting had done with respect to vegetation management.

1 I then emailed my friends referencing what I believed
2 was the undertaking, which was to provide similar work but
3 not -- that was not specific to vegetation management. In
4 fact, Mr. D'Andrea confirmed that they looked at the whole
5 -- the entire operation that is at line 12 and 13.

6 I spoke to my friend this morning and he said, I guess
7 there is that report that Mr. Nettleton just spoke about.
8 I don't know if there is similar documentation such as that
9 was filed with respect to the overview of the vegetation
10 management for other aspects of the distribution business
11 or elements that relate to the distribution business, which
12 I think would be of interest to the Board.

13 I also note that I am up on panel 5 today, and this
14 information is obviously relevant to panel 5. And I'm not
15 asking to delay my cross-examination. I'm ready to go
16 today and I'm -- most of the day.

17 What I would suggest, if my friends are filing further
18 documentation today, that I be allowed on Thursday or
19 Friday when panel 5 is up to have some additional time, and
20 I will hopefully leave some time today to be able to ask
21 questions, because obviously I won't have a chance to
22 review it, so that's my first thing.

23 Just also with respect to what is available, I know my
24 -- in fairness I did use the word "final report" when I was
25 asking for the undertaking. I don't know what I don't
26 know. I'm not sure what the format of the material that
27 was provided, and what I was seeking was, there were
28 similar documents where Boston Consulting had come in and

1 done reviews of various elements of the business. I think
2 that would be of interest to the Board if they've done, you
3 know, an in-depth analysis so -- and so we'd all be able to
4 cross, so I would be looking if there are similar things
5 for the vegetation management that also looks at the
6 distribution business. I don't know if those may or may
7 not exist.

8 MR. QUESNELLE: Mr. Nettleton?

9 MR. NETTLETON: I think that the context to the
10 exercise that involved Boston Consulting Group needs to be
11 understood by the Board, and what I've learned in the very
12 short while about that exercise is that it was very much
13 one where the consultants came in and worked alongside
14 senior management and were evaluating the business and the
15 work flows and the management processes together.

16 In terms of final reports, there were no final
17 reports. The best document that we have that summarizes
18 their work effort is the one that was presented obviously
19 to the board of directors, and we think that that is likely
20 to be the most relevant and salient document that provides
21 a description of what they were able to tell the board of
22 directors about their involvement.

23 MR. QUESNELLE: And it goes beyond vegetation
24 management?

25 MR. NETTLETON: Absolutely it does. Yeah, it was --
26 as I understand it, as Mr. D'Andrea indicated on the
27 transcript, it was a review of the entire operation of
28 Hydro One, both T&D.

1 So what we're trying to do in this presentation is
2 obviously take out the T. We are trying to take out the
3 non-regulated business and trying to take out the forward-
4 looking financial information, and I think that's the best
5 light.

6 I would question, Mr. Chairman -- and maybe this is
7 something again where we'll have to have a discussion with
8 Mr. Rubenstein about once Mr. Bowness is on the stand, but
9 I really question the value of going through and trying to
10 find every piece of information that Boston Consulting
11 Group has provided to management at Hydro One with respect
12 to that exercise.

13 Again, I think the salient point here is that if there
14 is some form of presentation that was given, like the one
15 that we are trying to prepare and provide and file to you,
16 that summarizes the overall effort, we think that that is
17 the best way of articulating what the effort was and what
18 the conclusions were.

19 I don't think that it makes sense to go through a
20 process of looking at everything and every piece of
21 information that Boston Consulting Group exchanged with the
22 company.

23 MR. QUESNELLE: No, understood. I don't think that
24 that's what Mr. Rubenstein is asking for.

25 Why don't we receive the report as a first step, and
26 if there is anything in the report or through the cross-
27 examination that turns up other areas that may be of
28 interest to the Board, I think we'll cross that bridge when

1 we get to it.

2 MR. NETTLETON: Thank you.

3 MR. QUESNELLE: And I guess, Mr. Rubenstein, whatever
4 comes up in the report, depending on when we get it today
5 and you'll have some time to review it, certainly, as long
6 as panel 5 will still be up, you can revisit your cross-
7 examination with them.

8 MS. GRICE: Mr. Chair?

9 MR. QUESNELLE: Yes.

10 MS. GRICE: I have a preliminary matter as well.

11 MR. QUESNELLE: Yes, Ms. Grice.

12 MS. GRICE: In panel number 1 AMPCO asked for an
13 undertaking, J1.8, for Hydro One to provide a version of
14 the data to support tables 4 and 5, estimated input to
15 SAIDI and forecasted SAIDI hours, and what these tables
16 are, they summarize the assumptions that Hydro One has used
17 to define its capital plans A, B, C, and B modified, and it
18 shows the estimated impact to SAIDI and SAIFI from those
19 plans, and I had asked in panel 1 if Hydro One could please
20 provide the supporting calculations in advance of panel 5.
21 That is an undertaking that is still outstanding, so I just
22 wanted to check-in today on when that might be filed.

23 MR. NETTLETON: Ms. Grice, I had understood from my
24 colleagues at Hydro One that that undertaking had been
25 filed, so there may be a misstep here. I will check and
26 see, and perhaps we can consult with each other at the
27 break and I'll find out more about that. But I thought
28 that information was on the record.

1 MR. GRIFFIN: Okay.

2 MR. QUESNELLE: Thank you, Mr. Nettleton, Ms. Grice.

3 Okay, if there is nothing else, perhaps we're ready.

4 Mr. Stephenson?

5 HYDRO ONE NETWORKS INC. - PANEL 4, WORK PROGRAMS,

6 RESUMED

7 Ben Grunfeld,

8 Ken Buckstaff,

9 Steve Tankersley; Previously Affirmed.

10

11 MR. STEPHENSON: Good morning, Mr. Chair. Good
12 morning, panel. My name is Richard Stephenson, and I'm
13 counsel for the Power Workers Union.

14 I am going to start first with the Navigant First
15 Quartile file report, and I am going to come back to an
16 issue which has been touched on. It is the observation
17 that is made in the report regarding pole demographics as
18 between Hydro One on the one hand and your comparator group
19 on the other.

20 You indicate in the overview of your -- or the
21 executive summary of your report that the replacement rate
22 is slower than comparison utilities, the pole inventory is
23 the oldest, on average eight years older than the rest, and
24 that the planned life is about ten years older for Hydro
25 One than the comparison group.

26 Those were part of your findings, correct?

27 MR. BUCKSTAFF: Yes.

28 MR. STEPHENSON: First off, we heard yesterday about

1 some of your findings that didn't have -- statistically,
2 there were some questions of statistical significance about
3 some of your findings.

4 On this one about pole demographics, is there any
5 issue about statistical significance regarding those
6 observations?

7 [Witness panel confers]

8 MR. BUCKSTAFF: We didn't calculate any statistical
9 significance around this set of data, but these are pretty
10 straightforward age characteristics built up over a long
11 time.

12 MR. STEPHENSON: Okay. Now, just -- I want to focus
13 first on the issue about the planned life of the poles
14 being ten years greater in -- for Hydro One than for the
15 comparisons. And what I'm trying to figure out is whether
16 this is a good news story or whether this is a bad news
17 story.

18 And so as far as I can understand it, you weren't
19 aware of or able to discern any environmental, or material,
20 or any other basis for this distinction. That is, how is it
21 that Hydro One is able to eek ten more years out of
22 expected life out of poles than anyone else in your
23 comparison group?

24 That's right, you weren't able to find some magic
25 bullet that Hydro One has that nobody else has discovered.

26 MR. BUCKSTAFF: I think that's correct. There is
27 nothing obvious that says why their planned life is longer,
28 or the fact that they have a higher age. There is no

1 underlying reason why that is, other than that's the way
2 they plan it and the way they execute.

3 MR. STEPHENSON: And there wouldn't be any obvious
4 environmental factors, in the sense of the environmental
5 conditions in Ontario being more benign than elsewhere that
6 would appear to justify that result; is that fair?

7 MR. BUCKSTAFF: I think that's fair as well, yes.

8 MR. STEPHENSON: And are you aware of, or did you
9 identify whether this demographic profile has any
10 reliability impacts which are differential than in your
11 comparison group?

12 MR. BUCKSTAFF: That isn't something that we studied
13 for this project.

14 MR. STEPHENSON: All right. And are you otherwise
15 aware of the answer to that? I'm not -- I'm not concerned
16 about this particular project, but is that something that
17 you had knowledge of?

18 MR. BUCKSTAFF: We do other studies where we look at
19 failure rates associated with reliability numbers, meaning
20 causes of SAIDI minutes and things.

21 MR. STEPHENSON: Yes.

22 MR. BUCKSTAFF: We don't actually typically look at it
23 as pole failures contributing to that. That shows up as
24 one part of distribution equipment failures. So it
25 wouldn't be something that's isolated to just poles in any
26 of the studies that we do.

27 MR. STEPHENSON: Right. But what about the issue of
28 demographics and failures? I take it that's something that

1 you've -- you are aware of and see in your work.

2 That is, if you have significant population of poles
3 that are older beyond expected service life, for example,
4 that there is a -- there is a nexus between that fact and
5 failure rates.

6 MR. BUCKSTAFF: Personally, in the data that we've
7 looked at for companies across North America, we haven't
8 seen direct pole failures tied to age.

9 What we find is that most of the companies make a big
10 effort to recognize and change them out before they age to
11 the point of failure.

12 MR. STEPHENSON: Right.

13 MR. BUCKSTAFF: So we don't see data that would
14 suggest that age contributes to it. Intuitively, it seems
15 obvious that it would. But the actual data suggests the
16 companies are taking proactive action before the age
17 destroys the poles.

18 MR. STEPHENSON: It is manageable and it's managed?

19 MR. BUCKSTAFF: I suppose that's a way to describe it,
20 yes.

21 MR. STEPHENSON: What about trends? In terms of
22 demographics, in terms of -- for example, at page 12 of
23 your report, that's where you have a couple of charts about
24 age. This is obviously a point in time analysis on these
25 two charts, correct?

26 MR. BUCKSTAFF: Yes, at the time we asked the question
27 of the companies.

28 MR. STEPHENSON: Right. Do you have any data or

1 intelligence with respect to trends, in the sense that
2 is -- amongst the comparison groups, is there a trend to
3 the age profile getting older, younger or the same? The
4 same with planned life; is there any change on that factor
5 over time?

6 MR. BUCKSTAFF: In the three-year window we're looking
7 at here, we certainly didn't see any trend in that. As you
8 noted, it is a point in time when we ask what is your
9 planned life, so we just have the one dataset or data point
10 for that for each of the companies.

11 As far as our broader studies, other studies that we
12 do, the age of those poles doesn't change very much. You
13 think about it, people have thousands of poles. They age
14 one year per year, but they change out a bunch. So any one
15 company is not going to change much over as much as a five-
16 to ten-year window. It will still look pretty similar for
17 several years at a time.

18 MR. STEPHENSON: And Hydro One is one of the bigger --
19 its pole inventory is one of the larger ones, fair enough?

20 MR. BUCKSTAFF: Yes.

21 MR. STEPHENSON: So that inventory, the size of that
22 inventory would tend to make it more stable in terms of its
23 demographics, fair?

24 MR. BUCKSTAFF: Yes. It would take a big change to
25 change that by very much in a short window. I mean, you'd
26 have to do a whole lot to change it.

27 MR. STEPHENSON: Right, but we actually have evidence
28 in this case that their demographics are materially

1 changing for the worse. I mean, does that come as a
2 surprise to you? I appreciate that's not part of your
3 evidence, but we actually have that evidence, and that the
4 age is creeping up materially even over the course of this
5 application period. Is that -- I mean, is that something
6 that's of surprise to you?

7 MR. BUCKSTAFF: Well, it is certainly something that
8 we didn't know about. I mean, we hadn't studied that set
9 of data, but it's not -- the fact that it's aging is not
10 shocking. I'd find it hard to believe that it aged more
11 than one year per year, but that's just a fact that it
12 couldn't happen, but in terms of getting a little bit older
13 anytime you don't replace at the same rate you put them in,
14 it will get a little bit older.

15 MR. STEPHENSON: Okay. One of your recommendations is
16 about refurbishment as a potentially cost-effective means
17 of addressing pole condition. And I just wanted to explore
18 with you the viability of that in a resource-constrained
19 environment.

20 The evidence in this case is that Hydro One is
21 deferring its rate of pole replacement, and even before the
22 deferral, the average age and average condition of its
23 poles is getting worse over the period of the application,
24 and moreover, that the average -- the number of poles in
25 very poor condition will be increasing over the period of
26 this application.

27 I'm just asking you to accept all those as facts for
28 the purposes of this question.

1 MR. BUCKSTAFF: Okay.

2 MR. STEPHENSON: From a priority perspective, you
3 know, in view of those constraints, why would it make sense
4 for Hydro One to devote resources to a refurbishment
5 project, relative to dedicating those same resources to
6 simply increasing the replacement rate to mitigate the
7 worsening condition?

8 MR. GRUNFELD: So a pole refurbishment program is not
9 a substitute for the pole replacement program that Hydro
10 One is undertaking. The recommendation that we made in our
11 report was that Hydro One should consider implementing a
12 pole refurbishment program in certain situations where it
13 makes sense.

14 Pole refurbishment makes sense potentially when a pole
15 fails prematurely or is on the verge of failing
16 prematurely, so for example, if a pole is already 50 or 60
17 years old, pole refurbishment is generally not an option.

18 If a pole is 15 or 20 years old and is on the verge of
19 failing or is showing signs of defects that could be
20 remedied through various refurbishment activities, then the
21 cost of that -- of refurbishing that pole could be lower
22 and could yield better total life-cycle costs for that pole
23 than replacing it outright.

24 And in those situations, we think it's worthwhile for
25 Hydro One to consider and to look more closely at whether
26 pole refurbishment makes sense. And that's what we see in
27 other utilities across North America.

28 Pole refurbishment, however, is not going to address a

1 trend in the age of the poles, again because typically
2 refurbishment is targeted at younger poles that are at risk
3 of premature failure.

4 MR. STEPHENSON: Let me just see if I've got you on
5 that. Thank you for that answer, but let me see if I've
6 got you on that.

7 So is the point being that this is -- your
8 recommendation isn't about spending incremental dollars.
9 Rather, it is about making operational choices about work
10 you are going to do anyway, if you know what I mean.

11 So in other words, you've got a pole, and it's, to use
12 your example, 15 or 20 years old, and it looks like it's
13 got some problems, and Hydro One makes a decision that it's
14 in need of replacement and they are going to replace it and
15 spend that money.

16 And you say, hang on a second, maybe you shouldn't
17 replace it. Maybe you should refurbish it because it's
18 cheaper and you get better bang for your buck. Is that
19 what you are talking about?

20 MR. GRUNFELD: That's a fair assessment, yes.

21 MR. STEPHENSON: Okay.

22 MR. GRUNFELD: And as part of a broader pole
23 management program, that can free up additional funds to
24 then replace additional older poles and improve the total
25 age profile and the total risk profile.

26 MR. STEPHENSON: Right. But you would agree with me
27 that if this becomes about incremental dollars in the sense
28 that a pole which you would not otherwise be touching, to

1 use one of your guys' words, you then decide you are going
2 to touch because you are going to refurbishment, and you
3 are talking about incremental spend, then you get into this
4 whole question of trade-offs about which is the higher
5 priority, right?

6 MR. GRUNFELD: That's correct.

7 MR. STEPHENSON: Okay. And you don't know the answer
8 to that trade-off -- I mean, it's hard to answer that one
9 in the abstract?

10 MR. GRUNFELD: That's correct. And we weren't asked
11 to look at that.

12 MR. STEPHENSON: Okay. Let me move on to Clear Path.
13 Thank you.

14 The first question is, sir, do you have any ongoing
15 engagement with Hydro One with respect to the
16 implementation of its new vegetation management program
17 that comes out of your study?

18 MR. TANKERSLEY: Yes, I do, in an advisory role.

19 MR. STEPHENSON: Okay, and can you assist us: When
20 did Hydro One start to make the transition operationally to
21 the implementation of this new strategy?

22 MR. TANKERSLEY: They started looking at elements or
23 how this might be applied about the fourth quarter of 2017,
24 with plans to move towards implementation in 2018.

25 MR. STEPHENSON: All right, well, we're now in June.
26 And so where are they at?

27 MR. TANKERSLEY: In what regard?

28 MR. STEPHENSON: Implementation.

1 MR. TANKERSLEY: They are in implementation at this
2 point, going to a new standard.

3 MR. STEPHENSON: And implementation, as I would
4 imagine, you know, involves a lot of recalibration of
5 activities out in the field. I mean, it involves other
6 things as well, for sure, but it certainly includes a
7 recalibration of activities in the field; fair?

8 MR. TANKERSLEY: That is correct.

9 MR. STEPHENSON: Okay, and that is ongoing now,
10 correct?

11 MR. TANKERSLEY: It is.

12 MR. STEPHENSON: Okay. And so I assume that you had,
13 in your head at least, if not somewhere in terms of
14 reporting back and forth with Hydro One, a path -- a
15 progress chart about what you need to get done at what
16 stage in order to achieve timely implementation. You must
17 have something like that, correct?

18 MR. TANKERSLEY: Well, in order to achieve the
19 recommended three-year cycle, it equates to completing
20 approximately 34,000 kilometres of line in a given year.
21 It's not linear in that the production may be at different
22 levels throughout the year, but that is essentially the
23 bottom line.

24 Another element is the forecasted number of trees that
25 meet the criteria, and doing a likewise segment of that
26 work at various periods through the year, so looking as
27 both of those elements.

28 MR. STEPHENSON: I totally understand. I mean, this

1 is -- you are not doing an equal amount of work every week,
2 every 52 weeks of the year.

3 My question, however, really is this. I mean, given
4 the non-linear nature of this, and given the fact that you
5 are in an implementation process, presumably you and Hydro
6 One had certain milestones that you had, in terms of where
7 you anticipated being at various points in time this year
8 in order to achieve the implementation that would need to
9 get you where you wanted to be at the end of the first
10 year, correct? You had milestones?

11 MR. TANKERSLEY: Those milestones have been developed,
12 correct.

13 MR. STEPHENSON: All right. Have they been achieved?

14 MR. TANKERSLEY: They are -- not in their entirety,
15 but they are within a level that it can be achieved
16 throughout the year, their end result.

17 MR. STEPHENSON: Well...

18 MR. TANKERSLEY: They have demonstrated that they can
19 hit those milestones on a week-to-week basis. Now it needs
20 to be sustained, and there is no reason to believe at this
21 stage that they can't meet that at the end of the year.

22 MR. STEPHENSON: Let's put it this way -- and it
23 sounds like you are suggesting that they need to do a
24 little bit of catch-up, but you believe it is an achievable
25 amount of catch-up; is that fair?

26 MR. TANKERSLEY: I believe it's achievable.

27 MR. STEPHENSON: How far off their milestones are they
28 now, in terms of we're in the middle of June, you know, are

1 we at point where we are a month off the milestones, two
2 months, three weeks? Where are we at?

3 MR. TANKERSLEY: I'm not sure where they are as of
4 this point of time. I have not seen the most recent
5 reports.

6 MR. STEPHENSON: Okay. I wonder if I could get --
7 we've got one document pulled up on the screen for you.
8 This is exhibit I, tab 29, CME 28, and there's a chart at
9 the bottom of this page which reflects the old versus the
10 new. And I appreciate you may not have been directly
11 involved in the preparation of this chart, but what I want
12 to ask you is -- you will see there are three metrics that
13 they are looking at, the kilometres completed, the trees
14 treated and the total cost, and then they compare old and
15 new for one year and three years.

16 This is -- you understand that this is what Hydro One
17 is planning on doing by way of implementation of the
18 strategy that you recommended and they accepted?

19 MR. TANKERSLEY: That is correct.

20 MR. STEPHENSON: And just seeing how it all sort of
21 works, if I'm comparing the one-year totals just for the
22 purpose of this, at 2018 old and new, as I understand it,
23 basically they're looking at completing almost three times
24 as much in terms of kilometres, correct?

25 MR. TANKERSLEY: Correct.

26 MR. STEPHENSON: But they're looking at a fewer number
27 of trees that they are dealing with by some significant
28 amount, right?

1 MR. TANKERSLEY: Correct.

2 MR. STEPHENSON: And so I just did a little bit of
3 arithmetic, and I literally divided to get the number of
4 trees per kilometre. It is not very complicated.

5 And so if I look at the 2018 totals under the old
6 strategy, they are treating 71 -- basically 71 trees per
7 kilometre, whereas under the new strategy, they are
8 treating 21 trees per kilometre.

9 Does that make sense to you, those numbers?

10 MR. TANKERSLEY: Yes, it does.

11 MR. STEPHENSON: And so we're looking at less, less
12 than a third of the trees being treated, correct?

13 MR. TANKERSLEY: Correct.

14 MR. STEPHENSON: And that's sort of how you get to the
15 kilometres, right? You are doing less than a third of the
16 trees, and therefore you were able to do triple the
17 distance. That's kind of how this is achievable, right?

18 MR. TANKERSLEY: Right, focusing on a certain segment
19 of the tree population.

20 MR. STEPHENSON: Right. Let me ask you this question.
21 So the two-thirds of the trees that they used to be dealing
22 with and they're not going to be dealing with on this
23 strategy, are they trees that effectively never get dealt
24 with, or are they trees that get dealt with only much more
25 infrequently in subsequent cycles?

26 MR. TANKERSLEY: This does not mean that they will not
27 be dealt with at some time in the future. It is suggesting
28 that those trees that are deemed to be either a current

1 defect or a potential defect until the next cycle will be
2 dealt with during the current cycle.

3 Under the old strategy, you were trying to make a
4 feeder or a circuit last for a duration of 8 to 10 years.
5 The cycle was stated at 8 years, which would require you to
6 work far more trees than would be necessary to make that
7 feeder hold for a shorter cycle, and that's where that
8 comes into play.

9 MR. STEPHENSON: Now, let me just come back to
10 implementation for a minute. In your report, you give a
11 case study. There is -- you make reference to a case
12 study, and I -- what wasn't clear to me, and maybe I just
13 didn't read it closely enough -- I mean, this is a
14 significant change in their philosophy, and not just their
15 philosophy, their actual operations on the ground, correct?
16 This is a pretty significant change?

17 MR. TANKERSLEY: It is.

18 MR. STEPHENSON: And, you know, Hydro One is a large
19 organization and they've got a large territory and, you
20 know, it is difficult to turn big ships on a dime.

21 And so I'm just wondering about your experience
22 regarding the track record of big organizations with big
23 programs making this kind of material shift with this
24 degree of speed.

25 MR. TANKERSLEY: There is no doubt this is a large
26 shift, a big shift in the way they're approaching work.
27 I've had direct experience in not only vegetation, but
28 other areas in a large organization making a big change.

1 And I suggest in the report and through my experience that
2 they take that very seriously, and take the steps necessary
3 to achieve that change.

4 That change started with a considerable amount of on-
5 the-ground communication with the field staff, the people
6 than were actually going to do that, understanding that
7 there was going to be some amount of resistance,
8 particularly in the beginning, but that the measures are in
9 place to help guide that change through the process.

10 You'll notice in the recommendations in both the first
11 report and the second report, I suggested a very robust
12 quality control program. That is one element of monitoring
13 that change, so that you know what is going on in the field
14 is what you have proscribed to be done through the program,
15 and then being able to use that information to effect
16 change through the organization during that period of time.

17 One of my biggest -- right from the very beginning,
18 biggest concerns and something that I relayed to Hydro One
19 was the ability to adapt to that change. And I have to
20 say, from my experience, they have done a remarkable job of
21 working through that. They have had support from the very
22 top and all through the organization, and you see that
23 right now, right down to the field staff. While there
24 still may be some skepticism, I don't think it's at a point
25 where you -- it wouldn't be expected. In fact, I think
26 it's at a point that is exceeding what normally would be
27 expected in this case.

28 MR. STEPHENSON: All right. I may be able to get this

1 from the next panel, but let me ask you what you know about
2 this. Again, this is in terms of the pace of the
3 implementation, bearing in mind, of course, that it isn't
4 linear, but their target for 2018 is, as you can see, is
5 34,600 kilometres. Do you know where they're at?

6 MR. TANKERSLEY: I don't know exactly where they're
7 at, but I believe at this point in time they should be --
8 based on what I've seen maybe six weeks ago, they should
9 have exceeded the entire amount that they did in the
10 previous year. So I believe they're -- they're exceeding
11 roughly 12,000 kilometres with a gearing up for production
12 latter half of the year.

13 So this is not going to be a cake walk, there is no
14 doubt about it. This is going to be very much a stretch
15 goal. I think they're doing the right things, they're
16 doing it at the right times, and I have confidence that if
17 they continue, that they will meet those goals.

18 MR. STEPHENSON: And just from a risk analysis
19 perspective, if this -- if this was going to go awry in
20 some fashion, what are the key sort of potential risk
21 factors that would lead to this going awry and then what
22 are the consequences of it going awry?

23 MR. TANKERSLEY: Well, if you mean that they don't
24 achieve their stated goal of 34,000 kilometres, I believe
25 that they are still going to be in better shape than their
26 previous model, which was not achieved in an eight-year
27 cycle. In fact, I believe it was averaging about 9.2, in
28 some cases even longer.

1 There is a significant amount of risk in that area, in
2 my opinion, and you see performance and reliability
3 relative to the vegetation management is less than desired
4 by some margin, and that even if they weren't able to meet
5 this, they would be in a better position than they would
6 otherwise.

7 MR. STEPHENSON: Isn't there another kind of risk, not
8 about the amount of completion, but rather the quality of
9 completion, in the sense that the stuff that they do
10 accomplish isn't done in a manner which achieves the
11 desired outcome, in the sense that they're not picking the
12 right trees or they aren't -- they aren't trimming them
13 enough or whatever, you know, that -- and such that it
14 doesn't produce the operational and reliability impacts
15 that you would hope to achieve, having done that pass.

16 MR. TANKERSLEY: Well, if they abandon any quality
17 control associated with this work then that is quite
18 possible. If they are doing the quality control, which
19 they are at this point, and the results suggest that they
20 are, by and large, getting the right trees, then I think
21 they minimize that sort of risk, and just by the fact that
22 they're getting outside of the right-of-way, looking more
23 at the hazard trees, in itself is going to have significant
24 impact on public safety and reliability, and that is
25 occurring relative to the quality-control results that I
26 have seen.

27 MR. STEPHENSON: Okay, and then just finishing up with
28 this, sir: What should this Board be looking for in order

1 to give it confidence that this program is succeeding, you
2 know, in the sense of -- or putting it the other way, what
3 red flags should the Board be looking for if it's -- if
4 this program is in trouble and not -- not not being
5 deployed as you had hoped or not achieving the results that
6 you had hoped or whatever.

7 So at what point in time is it fair for the Board to
8 say, you know, things are okay, they're all looking great,
9 or -- and -- or there is some concern here? Is it after a
10 year? So when is it, and what is it they should be looking
11 for?

12 MR. TANKERSLEY: You will start to see the results
13 after the first year. In fact, you may start to see some
14 of those results before that. After the first three-year
15 cycle it will become very apparent, and as you start the
16 second cycle, but there are two elements that you might
17 look at. We talked a little bit about quality control.
18 There is another element that I would characterize as
19 quality assurance.

20 Now, the whole pretext of this is that we are going to
21 -- it is going to be a defect-based system. So we are
22 going to prevent defects. Defects, as a segment of the
23 entire population, are relatively -- should be relatively
24 small, and what we're looking at right now, not so much.
25 There is about 800,000 as we see.

26 If you were to do a similar but not as exhaustive
27 survey as we did in the last survey, where you were looking
28 at defects at different times since the feeder was

1 performed and then in aggregate and measure it against the
2 information that we provided on a defect rate, you should
3 see improvement after the first year.

4 Now, overall I believe the number was 6 defects per
5 kilometre. That's across all feeders, irrespective of when
6 they were last worked.

7 After the first year I should see a number that is
8 significantly different than that, and those feeders that
9 were done more recently should have a zero or near-zero
10 defect per kilometre basis.

11 Now, that's showing one thing that you are addressing
12 the defect levels on the system. The second component of
13 that is we -- just yesterday looked at -- is outage
14 investigation. These are disruptions caused by trees.
15 Disruptions caused by trees can either be random, it is a
16 green healthy tree during a storm, or any other event where
17 it falls, or it's related a tree that has a defect, that I
18 believe a defect is more -- more likely to cause a
19 disruption than a non-defect.

20 So if I were to measure that over time and I looked at
21 my outages, and if they were defect cause or non-defect
22 cause, and actually, we are starting to see that right now,
23 and that those feeders that have the OCP applied have had
24 very few, if any, outages caused by a defect. They have
25 had outages, but those outages have been determined to not
26 be caused by something that would have been under the scope
27 of the work.

28 Those feeders that have not been worked have a much

1 higher rate of outages caused by a defect, and I think
2 those two components together, over a period of time, will
3 be able to tell you if your program is effective.

4 Now, quality assurance point of it is -- needs to come
5 in at some point in the future, perhaps after the first
6 year of the first cycle. It is a little too early for
7 that, but you use the same or very similar processes we did
8 in the survey, and then you can equate post and -- pre and
9 post results from a defect level.

10 MR. STEPHENSON: And, sir, are you advising Hydro One
11 with respect to the metrics that they should be tracking in
12 order to determine success or failure of this program as
13 it's rolling out?

14 MR. TANKERSLEY: I have made some suggestions and have
15 reviewed some of that, but not to any major extent.

16 MR. STEPHENSON: But I take it that some of those
17 metrics would be what you've just talked about, these
18 defects per kilometre and that sort of thing.

19 MR. TANKERSLEY: I believe that's the plan.

20 MR. STEPHENSON: Thank you, sir. Those are my
21 questions. Thank you very much.

22 MR. QUESNELLE: Thank you, Mr. Stephenson.

23 Mr. Tankersley, you are using the term "defect"
24 throughout. I think I have a sense of what you mean by
25 that. But maybe before we carry on with Ms. Durant, could
26 you just describe all that is encompassed within the
27 umbrella term "defect"?

28 MR. TANKERSLEY: Sure. A defect as it is generally

1 characterized is a tree that is growing or contacting the
2 conductor through growth, or trees that have the potential
3 to fail and strike the conductor if they do fail, that are
4 dead, diseased, decadent, defective. It's a segment of the
5 population of trees that you have determined to have -- the
6 most likely to fail.

7 Now, that said, over time in a effective program, you
8 can alter what you consider to be a defect to be more
9 specific. And what we are talking about today is pretty
10 general. It is a tree that grow into dead, diseased,
11 decadent.

12 Let's say, for example, that through my outage
13 investigation, my outage history, I determine that a
14 certain species of tree in a certain condition has a high
15 likelihood of failure, even though it is alive and healthy
16 and green and normally would not fit the other
17 determination, such as -- I understand balsams are a
18 problematic tree. I might include balsams in addition to
19 that definition and say those, under this defined
20 condition, would be considered a defect and therefore, I
21 would want to eliminate that defect.

22 MR. QUESNELLE: Thank you. That's helpful. Thank
23 you. Ms. Durant?

24 **CROSS-EXAMINATION BY MS. DURANT:**

25 MS. DURANT: Good morning. My name is Erin Durant and
26 I am counsel to Canadian Manufacturers & Exporters. I'm
27 going to start with the forestry survey, and some questions
28 for Mr. Tankersley.

1 Mr. Tankersley, you were aware that your report was
2 going to be used by Hydro One both to improve things going
3 forward, but also for use at the Ontario Energy Board. Is
4 that right?

5 MR. TANKERSLEY: I was not aware that it would be used
6 at the Ontario Energy Board.

7 MS. DURANT: Okay. This was a surprise to you, that
8 you would have to be here?

9 MR. TANKERSLEY: I learned that later, yes.

10 MS. DURANT: Well, thank you for coming. And you
11 became aware, and I can get that sense from your report and
12 some comments in here, that historically the OEB had some
13 concerns about Hydro One's historical approach to
14 maintenance; is that right?

15 MR. TANKERSLEY: The OEB did?

16 MS. DURANT: The OEB.

17 MR. TANKERSLEY: Yes.

18 MS. DURANT: And what I take from your report is that
19 historically, Hydro One has had a fairly inefficient method
20 of removing trees, is that correct, on their right of way?

21 MR. TANKERSLEY: Not as characterized. I think the
22 program objectives and approach to vegetation management
23 were not optimal.

24 MS. DURANT: Okay. And, you know, the sense that I
25 get in the big picture is that Hydro One was going along
26 the right of way removing every tree, even trees that would
27 have no impact on the actual system. It was basically a
28 clear cut, is that right?

1 MR. TANKERSLEY: Essentially, within the right of way
2 boundaries, but not necessarily outside of them.

3 MS. DURANT: Okay. If it was in the right-of-way
4 boundary, they'd removed trees that, for example, may not
5 have been tall enough, or the species may never get tall
6 enough to actually become an impact on the system; is that
7 right?

8 MR. TANKERSLEY: Potentially, yes.

9 MS. DURANT: So part of your work -- and you worked
10 with a company called ArborMetrics, is that right?

11 MR. TANKERSLEY: Correct.

12 MS. DURANT: And was it your company or ArborMetrics
13 that did the work on the ground, in terms of going out and
14 taking a look at the current right of ways?

15 MR. TANKERSLEY: ArborMetrics.

16 MS. DURANT: And part of their work was they wanted to
17 get a sense of what the right of ways looked like
18 currently, and get a sense of also what trees were on the
19 right of way; is that right?

20 MR. TANKERSLEY: It was far more encompassing than
21 just that, yes.

22 MS. DURANT: And the reason it was encompassing is you
23 wanted to have a clear picture of what it actually looked
24 like on the ground, is that right?

25 MR. TANKERSLEY: That's correct.

26 MS. DURANT: And you took those factors, in terms of
27 the current status of the right of ways, into consideration
28 when making your recommendations in your report, is that

1 right?

2 MR. TANKERSLEY: Correct.

3 MS. DURANT: And the main change with what Hydro One
4 was doing historically and what you're recommending is
5 you're recommending a more focused approach in terms of
6 hazards and, as we just heard a moment ago, by being more
7 selective in what's being cleared, you are able to go
8 further and get more line in a less amount of time. Is
9 that right, at a very high level?

10 MR. TANKERSLEY: At a high level. It is intended to
11 be selective to eliminate or reduce the number of defects,
12 not only that are currently existing, but those that will
13 for the duration of the cycle.

14 MS. DURANT: And by making this change, Hydro One's
15 able to get down to a three-year cycle, which you think is
16 optimal. Is that right?

17 MR. TANKERSLEY: At this point, I do.

18 MS. DURANT: Okay. And prior to your involvement and
19 your recommendations, it's my understanding that Hydro One
20 was operating on an eight-year cycle. Is that right?

21 MR. TANKERSLEY: A stated eight-year cycle they were
22 not achieving.

23 MS. DURANT: Okay. And if we could just go to page 6
24 of your report which is fill at Exhibit Q-11, attachment 2,
25 and I believe it's actually page 7 of the PDF document.

26 That's the one. Under heading "Defect rate over
27 time", there is a chart here and my understanding of the
28 chart is the pink header shows -- sorry, you are on the

1 wrong page on the screen. There it is.

2 Your "since last worked" six to eight years and there
3 is a nine-plus years. Those years since "last worked",
4 that was basically where Hydro One was before you got
5 involved, right, in terms of their cycle length?

6 MR. TANKERSLEY: Well, the survey was stratified.
7 Each circuit or each feeder, we looked at when that was
8 last treated according to their records.

9 MS. DURANT: Okay. So this doesn't show -- this shows
10 actually when the last segment had been cleared and what
11 the cycle was when you looked at it, right?

12 MS. DURANT: Correct.

13 MS. DURANT: And it makes sense that as you wait
14 longer to clear the right of way, there is going to be more
15 defect, there is going to be more problems, right?

16 MR. TANKERSLEY: Yes.

17 MS. DURANT: And that's what your chart shows here,
18 that the longer you wait, the more problems you are going
19 to have, right?

20 MR. TANKERSLEY: Correct.

21 MS. DURANT: If we could go to the next page, this is
22 -- at the very top of the page, where it says six to eight
23 years after the work, what you are finding was that the
24 overall defect rate increased 36 percent from the previous
25 interval, which was, I think, a cycle of three to five
26 years since last being cleared.

27 So there is a 35 percent increase from that standing,
28 and more than double from the zero- to two-year interval,

1 and that was just based on what you observed from the
2 study?

3 MR. TANKERSLEY: Survey results.

4 MS. DURANT: Survey results, okay. If we can jump to
5 page 15 of the report, this is a section dealing with cost
6 modelling. So you looked at basically two things, the big
7 picture in the report. One was can we make improvements in
8 terms of reliability, and two what's this going to cost.
9 Is that right?

10 MR. TANKERSLEY: Correct.

11 MS. DURANT: So this is in the section dealing with
12 cost, and you make certain projections regarding cost here.

13 I'm interested in the section towards the bottom which
14 says the projections are estimates based on the available
15 data, and are influenced by a number of factors.

16 So the factors listed here, these are factors that may
17 change your numbers, your projections. Is that right?

18 MR. TANKERSLEY: Correct.

19 MS. DURANT: And I want to focus in on some of the
20 negative influences. And you just told my friend that you
21 are involved with Hydro One going forward, in terms of
22 giving them advice throughout this transition, is that
23 right?

24 MR. TANKERSLEY: Correct.

25 MS. DURANT: So you are giving them some advice to
26 mitigate against some of these negative influences, I
27 imagine; is that right?

28 MR. TANKERSLEY: Correct.

1 MS. DURANT: So under negative influences, number 1
2 is: "Maintaining scope is critical to avoid cost
3 escalation." And that is something that you are helping
4 them with?

5 MR. TANKERSLEY: At this point, not directly. I am
6 reviewing some of the result, but this is largely coming
7 out of the quality control program.

8 MS. DURANT: Okay. And in terms of what you've seen
9 regarding scope, are you content that they are on the right
10 track?

11 MR. TANKERSLEY: They are on the right track.

12 MS. DURANT: And in terms of feeder prioritization and
13 scheduling, you write: "Worst first could result in
14 unequal distribution of work."

15 What do you mean by worst first?

16 MR. TANKERSLEY: If you took all the nine-year-plus
17 feeders and eight-year-plus feeder over a three-year
18 period, let's say those were all going to be included in
19 the first year of the first cycle, then you may not be able
20 to complete one-third of the kilometres in the first year
21 under that cost, but subsequent years of the first cycle
22 might become easier if you did a worst first type of
23 scenario.

24 MS. DURANT: So it's your recommendation that they
25 shouldn't just do worst first and that would be an
26 inefficient approach; is that right?

27 MR. TANKERSLEY: This isn't really a recommendation --

28 MS. DURANT: Okay.

1 MR. TANKERSLEY: -- this is an observation --

2 MS. DURANT: Yeah.

3 MR. TANKERSLEY: -- so if you were to take that
4 approach then you would have to look at that element, so
5 the approach that was ultimately taken was looking at it
6 from a sub-out type of a basis. I can't recall the
7 terminology that was used, but it was looking at it in a
8 broader sense.

9 MS. DURANT: So the method that was ultimately decided
10 on is they weren't going to just target the worst first, it
11 was a more holistic approach, and they were going to get to
12 everything over the course of a three-year cycle; is that
13 right?

14 MR. TANKERSLEY: They took a number of factors into
15 consideration, and I was not involved in the direct
16 prioritization of the feeders.

17 MS. DURANT: Okay, and what can you tell me about --
18 so you didn't agree with me that they're going to get to
19 all the backlog over the first three years, but how are
20 they going to approach that, or do you know?

21 MR. TANKERSLEY: I believe they are --

22 MS. DURANT: Okay.

23 MR. TANKERSLEY: -- if they stay on track and they are
24 able to increase their production levels or plan throughout
25 this year that they will be able to achieve a three-year
26 cycle.

27 MS. DURANT: And they are not going to do a worst
28 first approach to get there?

1 MR. TANKERSLEY: They are going to do a modified
2 version of that, and the specific prioritization, feeder
3 prioritization, that would be a question for Hydro --

4 MS. DURANT: Okay. And in terms of the costing, the
5 approach that they selected, does that change the costing
6 in your report, or do you think that the approach they've
7 selected is still within your projections?

8 MR. TANKERSLEY: I believe that they can achieve it
9 within the projections that I have seen. Again, it's --
10 there are some challenges there, but...

11 MS. DURANT: Okay. And just one last question for
12 you, sir, before we move on. If we go to page 4 of the
13 PDF, which is page 3 of the report. And I'm looking at the
14 heading "forecast workload and cost". I'll just read from
15 the report. It says:

16 "It is estimated that 2.1 million trees will need
17 work over the first three-year cycle to achieve
18 base level defect control..."

19 Let me stop there. When you say "base level defect
20 control", you need to clear that many trees in three years
21 to basically get the system caught up, right? Is that what
22 you mean by "base level"?

23 MR. TANKERSLEY: You are doing two things with that.
24 So you have an existing defect load over the system which
25 is roughly 800,000 trees that are existing. Then there are
26 the remaining portion of that would be to avoid having
27 defects on that same feeder for the duration of that cycle.

28 MS. DURANT: Um-hmm.

1 MR. TANKERSLEY: Presumably after you get through the
2 first cycle, the second cycle, you are not dealing with
3 existing defects, you are dealing with preventing --
4 prevention of future defects.

5 MS. DURANT: That's all included in your scope of work
6 and your costing, right, that model?

7 MR. TANKERSLEY: Correct.

8 MS. DURANT: Okay. And ultimately at the end of that
9 paragraph, in terms of costing:

10 "This regimen will significantly reduce cost per
11 kilometres from 11,000 per kilometre to an
12 estimated 3,000 per kilometre after the first
13 cycle."

14 Is that right?

15 MR. TANKERSLEY: We're suggesting that that will occur
16 throughout the first cycle.

17 MS. DURANT: Okay, so it's not like you have to wait
18 'til the third year to get the \$3,000 -- get down to \$3,000
19 per kilometre. Gradually throughout the first three-year
20 cycle the costs are going to go down?

21 MR. TANKERSLEY: That is the intent, yes.

22 MS. DURANT: And then after the first three-year
23 cycle, once you are at a base level, you should expect to
24 be around the 3,000 per kilometre mark going forward after
25 three years.

26 MR. TANKERSLEY: Yes.

27 MS. DURANT: So you don't have to wait for after three
28 years to start saving costs?

1 MR. TANKERSLEY: Correct.

2 MS. DURANT: Okay. I have some questions for
3 Navigant, not as many. And I want to start -- similar
4 question. You were aware when you were retained to do this
5 report that it was to be used at the OEB as a benchmarking
6 study; that's right?

7 MR. GRUNFELD: Yes.

8 MS. DURANT: And the OEB actually requested a
9 benchmarking study to be done; is that right?

10 MR. GRUNFELD: Yes, that's correct.

11 MS. DURANT: And we heard yesterday some concerns that
12 you had with regards to the survey size and the number of
13 comparator utilities. Despite those concerns you are still
14 confident that you are able to draw some conclusions from
15 this report, right?

16 MR. GRUNFELD: That's correct.

17 MS. DURANT: Okay. And the sample size is large
18 enough to support the conclusions in the report?

19 MR. GRUNFELD: We believe that the sample size, along
20 with our experience, are able to support the conclusions in
21 the report, yes.

22 MS. DURANT: Okay, and if you go to page 14 of the
23 report. I just want to clarify a few things. We spoke
24 yesterday about the replacement cost per pole, and I'm
25 under heading 3.5, "pole replacement cost", and across the
26 comparison group the average cost to replace a pole was
27 stated in the report as being 7,105. For Hydro One the
28 cost was 8,266, or 16 percent higher than the mean. And

1 that's what it says in the report. And yesterday you told
2 us that there was some concerns just about that finding
3 because of the sample size; is that right? You drew our
4 attention to this yesterday, and you gave us some figures
5 in your introductory statement in terms of some concerns
6 you had about that finding; is that right?

7 MR. GRUNFELD: Yes, that's correct, we added some
8 clarity around the statistical significance of that
9 conclusion.

10 MS. DURANT: Right, and the one question I had about
11 this is you pointed out utility number 39, and if you flip
12 to the next page you will see it, and you mentioned utility
13 39 had a very small number that was reported back in terms
14 of their cost to replace the pole; that's right?

15 MR. GRUNFELD: That's correct.

16 MS. DURANT: Did you follow up with utility number 39
17 in terms of why their cost was so low?

18 MR. GRUNFELD: We did not.

19 MS. DURANT: You just accepted their number and put it
20 in your report?

21 MR. GRUNFELD: That's correct.

22 MS. DURANT: Okay, so to the extent that this number,
23 you know, threw off your results, you never bothered to
24 follow up to see what the actual number is?

25 MR. BUCKSTAFF: To be fair, we did actually contact
26 them to ask. We didn't manage to connect with them and get
27 an answer from them.

28 MS. DURANT: Okay, okay, and just in terms of the

1 number of companies and the number of comparators, when I
2 count the numbers here under the pole replacement cost, I
3 get 11 companies responding, including Hydro One; is that
4 right?

5 MR. GRUNFELD: That's correct.

6 MS. DURANT: And that's the small sample size you are
7 concerned about, is there being only 11?

8 MR. GRUNFELD: It is the small sample size combined
9 with the variability in the responses.

10 MS. DURANT: Okay.

11 MR. GRUNFELD: If it was a sample size of 11 and they
12 were all within, you know, plus/minus 2 percent of each
13 other, then we'd be able to draw more significant
14 statistical conclusions, but it is the combination of those
15 two factors.

16 MS. DURANT: Okay. If we can go to page 7 of the
17 report, under the heading "cost comparisons", I just noted
18 in figure 7 and figure 8 we also have 11 companies
19 responding to these metrics, and these are metrics where
20 Hydro One comes in close to average, right?

21 MR. GRUNFELD: That's correct.

22 MS. DURANT: And if you go to figure 8 in particular,
23 I note that company number 52 here, they seem to have much
24 higher costs per pole than the other companies; is that
25 right?

26 MR. GRUNFELD: That's correct.

27 MS. DURANT: And in this metric Hydro One would be
28 benefiting from the one company that's significantly higher

1 than average; is that right? I see Hydro One is at 29,
2 fairly close. They are pretty much above median, so Hydro
3 One being close to average would be, you know, being
4 brought up by this company who has a very high cost per
5 pole; is that right? The average would be higher --

6 MR. GRUNFELD: The higher cost for that individual
7 company would increase the average of the sample; that's
8 correct.

9 MS. DURANT: Okay. All right, those are my questions,
10 thank you.

11 MR. QUESNELLE: Thank you, Ms. Durant.

12 Mr. Segel-Brown.

13 **CROSS-EXAMINATION BY MR. SEGEL-BROWN:**

14 MR. SEGEL-BROWN: Hello, my name is Ben Segel-Brown
15 speaking for the Vulnerable Energy Consumers' Coalition. I
16 have a compendium, but the witnesses do not have copies
17 because Hydro One is going to object to it, but we'll get
18 to that when I get to it.

19 So regarding a refurbishment, you recommend that Hydro
20 One consider modifying its program to include a rigorous
21 pole refurbishment program; is that correct?

22 MR. GRUNFELD: That's correct.

23 MR. SEGEL-BROWN: So I'm trying to figure out what the
24 expected savings would be associated with the refurbishment
25 program.

26 You've given us the mean cost to refurbish a pole as
27 \$947, is that correct?

28 MR. GRUNFELD: That's correct, for this sample.

1 MR. SEGEL-BROWN: And the average cost to replace a
2 pole is 7,105?

3 MR. GRUNFELD: That's correct, for the entire sample.

4 MR. SEGEL-BROWN: So how would we go about determining
5 the portion of poles due for replacement that are suitable
6 for refurbishment?

7 MR. GRUNFELD: So as I mentioned to the earlier
8 question, pole refurbishment tends to be only viable when a
9 pole is young and is showing signs of defect or potential
10 failure.

11 A pole refurbishment program can potentially increase
12 the life of a pole anywhere from 20 to 40 years. So if you
13 have a 20-year-old pole that has some early signs of, you
14 know, decay, rot, other failure mechanisms, then it's
15 possible that refurbishment of that pole could extend the
16 life for better value than, say, replacing that pole. But
17 it really depends on the demographics of the poles that are
18 being replaced.

19 MR. SEGEL-BROWN: And to be more specific, you state
20 that where refurbishment can extend the life of a pole by
21 over 20 years, the economic benefit of refurbishment tends
22 to be clear.

23 MR. GRUNFELD: That's correct. Again, it gets to the
24 one-fifth, one-seventh of the cost.

25 MR. SEGEL-BROWN: So to determine the number of Hydro
26 One's poles due for replacement which are suitable for
27 refurbishment, we would have to know the number of Hydro
28 One's poles due for replacement which are less than --

1 which have a remaining life of 20 years or greater, and
2 those would be -- that would be the subset of poles that
3 are suitable for refurbishment?

4 MR. GRUNFELD: That would be one of the
5 considerations. The nature of the defect would be another
6 consideration.

7 MR. SEGEL-BROWN: So how would I go about figuring
8 out, of those poles which have a remaining asset of life of
9 20 years which are due to be replaced, are suitable for
10 refurbishment?

11 MR. BUCKSTAFF: That's a question that you answer by
12 doing your assessments of the poles. When you go out and
13 inspect them, those are choices you can make when you go
14 out to do the inspections.

15 They're not something that you can do from an office
16 here.

17 MR. SEGEL-BROWN: It's not something that we could
18 infer from the classification of pole defects, like
19 woodpecker damage, or rot?

20 MR. BUCKSTAFF: You might be able to get to that. But
21 again, each pole is going to be a specific case. You can
22 look at it and say what's its age, what's its circumstance,
23 what's possibilities for this one.

24 MR. SEGEL-BROWN: So to give some context for this,
25 we're being asked to approve a capital expenditure to
26 replace a large number of poles. So what I want to
27 understand is the extent to which the proposed
28 refurbishment program may be able to substitute for those

1 additional capital expenditures.

2 So you -- and you, from your data, you have the number
3 of poles that were refurbished by each of these utilities
4 as a percentage of the total poles that were refurbished or
5 replaced.

6 So are you able to provide an indication of the
7 portion which is suitable for refurbishment?

8 MR. GRUNFELD: We weren't asked to look at the
9 specifics of the pole replacement and refurbishment
10 program, and we weren't asked to design an alternative. So
11 no.

12 MR. SEGEL-BROWN: I'm not sure what the correct
13 procedure would be. I'm not sure I can ask for an
14 undertaking of an expert witness that would involve
15 additional work for them, so maybe I would ask that of
16 Hydro One.

17 MR. QUESNELLE: Yes, I would think when the asset
18 panel is up, you can pose the question as to -- I think
19 what you may be getting at, Mr. Segel-Brown, is the -- and
20 I'll ask the question of the experts here.

21 Your recommendation that Hydro One entertain a
22 refurbishment program, was that made primarily due to the
23 fact that other entities that you surveyed have
24 refurbishment programs, and Hydro One does not appear to
25 have one? Their program is if there is a defective pole,
26 you replace it?

27 MR. GRUNFELD: That's generally correct, yes.

28 MR. QUESNELLE: So directionally, you are suggesting

1 consider a refurbishment program because it has the
2 potential for savings, but that's not based on any
3 assessment of the population in the circumstance?

4 MR. GRUNFELD: That's correct.

5 MR. QUESNELLE: So I would pursue it further with the
6 asset panel, Mr. Segel-Brown.

7 MR. SEGEL-BROWN: Could you explain to me the
8 difference between refurbishment, reinforcement and
9 maintenance, which may overlap to some extent.

10 MR. BUCKSTAFF: Refurbishment and reinforcement are
11 pretty similar. I mean, there's two or three treatments
12 you can do. You can put some form of a sleeve around the
13 pole. You can use chemicals to pump into the pole to fill
14 voids in it. Those, dependent on terminology in individual
15 utilities, would be considered reinforcement or form of
16 treatment. So those are choices you might have.

17 MR. SEGEL-BROWN: So in conducting this report, did
18 you review the practices of other utilities with regard to
19 this kind of maintenance activity?

20 MR. BUCKSTAFF: We didn't review the practices. We
21 asked about them in the sense of do you or don't you have a
22 refurbishment program and if so, what does it include. And
23 we gave them a couple of choices of what it might include.

24 But in terms of further exploration of that with them,
25 we didn't do that.

26 MR. SEGEL-BROWN: So you were provided with some
27 detail from them regarding what their refurbishment program
28 entails. Is that included anywhere in your report?

1 MR. SEGEL-BROWN: I don't believe the details of that
2 are actually there in the report. The report just
3 summarizes for Hydro One what we recommended for them. But
4 I don't believe we have in the report the details of
5 exactly which companies said they'd do chemical treatment
6 versus sleeves, or whatever.

7 MR. SEGEL-BROWN: But it's safe to say there were
8 practices in place at Hydro One -- at other utilities that
9 Hydro One does not do?

10 MR. BUCKSTAFF: Did not at that time, yes.

11 MR. SEGEL-BROWN: Yesterday you stated that while
12 Hydro One's pole replacement costs are higher than average,
13 that difference is not of statistical significance --
14 statistically significant.

15 MR. GRUNFELD: That's correct.

16 MR. SEGEL-BROWN: Is statistical significance
17 discussed anywhere in this report?

18 MR. GRUNFELD: It is not, no.

19 MR. SEGEL-BROWN: Now, the reason why the difference
20 was not statistically significant depends on two factors;
21 first, the difference, and second, the standard deviation
22 in utility costs, correct?

23 MR. GRUNFELD: There's three factors. There's the
24 difference, the standard deviation and the sample size.

25 MR. SEGEL-BROWN: Now, in calculation statistical
26 significance, I'm assuming that you treated each utility as
27 one observation?

28 MR. GRUNFELD: That's correct.

1 MR. SEGEL-BROWN: So I'm not convinced that that's the
2 correct statistical test. Are you familiar with the T-test
3 used to compare the difference in means between two groups?

4 MR. GRUNFELD: That's test that we deployed.

5 MR. SEGEL-BROWN: So to apply that test, wouldn't you
6 have to take into account the standard deviation in pole
7 replacement costs within each utility?

8 MR. GRUNFELD: We looked at a three-year average pole
9 replacement cost.

10 MR. SEGEL-BROWN: So you used the standard deviation
11 over the three years rather than the standard deviation
12 between projects?

13 MR. GRUNFELD: Between individual years, that's
14 correct. We looked at the average of the three years for
15 each individual utility, and then compared those three-year
16 averages.

17 MR. SEGEL-BROWN: So to illustrate this with a
18 hypothetical, suppose you had two utilities, each replaced
19 a thousand poles, their average costs are a thousand apart.
20 The standard deviation of each is, you know, \$100.

21 Wouldn't we be able to conclude that the costs
22 associated with those two groups are significantly
23 different from each other? Wouldn't we want to be looking
24 at the standard deviation and the cost per project rather
25 than the standard deviation in year-over-year average
26 costs?

27 MR. GRUNFELD: I'm not sure I understand the question.
28 We averaged the three-year -- each -- these aren't

1 individual projects. We didn't collect the cost data for
2 each individual pole and what the cost to replace each
3 individual pole was and then added it up. We collected
4 data for the total pole replacement program cost and the
5 number of poles that were replaced within that program in a
6 given year, and then we calculate a cost per pole replaced.
7 We did that for three calendar years, so we asked for data
8 for all of 2012, the cost of the entire pole replacement
9 program, the total number of poles replaced for 2012, 2013,
10 and 2014, and then we looked at the average value over the
11 three-year period, and then calculated the average for each
12 across the sample of utilities. And then we compared the
13 Hydro One value to that and determined the statistical
14 significance of the difference.

15 MR. SEGEL-BROWN: Thank you for the clarification
16 regarding how your methodology was applied. I think that
17 will still have to go to argument.

18 So what threshold of significance were you looking
19 for? What threshold would you need in order to conclude
20 that Hydro One was significantly different?

21 MR. GRUNFELD: We were looking for the P value to be
22 less than .1 or less than .05. It was significantly higher
23 than either of those thresholds.

24 MR. SEGEL-BROWN: So my concern with that is if we
25 assume that costs are normally distributed, then Hydro One
26 would have to be in the top or bottom 2.5 percent of
27 utilities in order to meet that .5 -- or that significant
28 threshold; is that correct?

1 MR. GRUNFELD: No, what we're -- what the test is
2 determining is whether or not the value for Hydro One can
3 be statistically confirmed as being different from the
4 sample mean that we calculated.

5 So if you have a population of data, if you had the
6 average -- if you had the pole replacement cost for every
7 single utility in a population, then you can just look at
8 the value for Hydro One and determine whether it's higher
9 or lower than the mean. But because you're working with a
10 sample, you can't necessarily state that the sample mean is
11 the population mean.

12 And so what the statistical tests demonstrate based on
13 the variability of the values within the sample, and based
14 on the value that you're testing, is whether or not that
15 value you're testing is statistically different from the
16 sample mean, and so each value is assumed to be -- if you
17 were to draw another ten utilities from the population and
18 that value -- the mean of that -- of that sample might be
19 different than the mean of the sample that we calculated.
20 And based on the variability and the number of companies
21 within that sample, we can't say statistically that Hydro
22 One's value is different from the mean of the population.

23 MR. SEGEL-BROWN: The point I'm getting at is that the
24 scientific threshold used to determine whether Hydro One is
25 different is looking at whether there is a 5 percent chance
26 that we would have observed this from the same population
27 by chance alone, so that means that your -- the value for
28 Hydro One would have to fall in either the top 2.5 percent

1 or the bottom 2.5 percent of the population in order for it
2 to be considered statistically significant, according to
3 your test?

4 MR. GRUNFELD: I don't believe that's a correct
5 interpretation.

6 MR. SEGEL-BROWN: That's for argument too. Are you
7 able to provide the utility-level data?

8 MR. GRUNFELD: In response to one of the
9 interrogatories we did provide the utility-level data
10 behind those charts. I will look up the number. It's
11 School Energy Coalition interrogatory number 26.

12 MR. SEGEL-BROWN: Thank you. But to get back to the
13 key point, your results suggest that as your best guess
14 Hydro One's costs are 16 percent higher than the mean?

15 MR. NETTLETON: Objection, Mr. Chairman. I don't
16 think the witnesses have said anything about a best guess.
17 So I'd ask my friend to rephrase the question.

18 MR. SEGEL-BROWN: Your results indicate that Hydro
19 One's costs are 16 percent above the mean?

20 MR. GRUNFELD: As I stated in my opening remarks, I
21 believe there are some challenges with cherry-picking
22 individual results from the report. We've indicated that
23 if you exclude the outlier, ID number 39, Hydro One's pole
24 replacement costs are 6 percent higher than the sample
25 mean, and I've indicated that in either of those cases we
26 can't say with statistical confidence that Hydro One's
27 costs are higher than the mean.

28 MR. SEGEL-BROWN: But isn't that in your own way

1 cherry-picking the results by deciding to exclude the
2 exceptionally low result but not the corresponding
3 exceptionally high result?

4 And -- like, the point I was getting at with saying
5 your best guess is I'm saying that there is a margin of
6 statistical uncertainty around your number, but, you know,
7 if we were going to place a bet, your best guess would be
8 that Hydro One's costs are going to be 16 percent above the
9 population mean. That's what your results mean.

10 MR. GRUNFELD: I tend not to be abetting man.

11 MR. SEGEL-BROWN: Like, the whole purpose of this
12 report was to compare Hydro One's costs to a benchmark, to
13 the population. Are you saying that you are not able to
14 tell me what you think the difference between Hydro One's
15 cost and the general population is as a percentage
16 of the --

17 MR. GRUNFELD: That's correct.

18 MR. SEGEL-BROWN: So any sources of error, such as
19 variations in climate, would tend to lead to greater
20 variance and therefore lower statistical significance;
21 correct?

22 MR. GRUNFELD: To the extent that you have more
23 variability in the results, it is harder to draw
24 conclusions around statistical significance; that's
25 correct. I think there are lots of factors that contribute
26 to variance in pole replacement costs.

27 MR. SEGEL-BROWN: So despite -- you expressed it in
28 your report that you think that there are a lot of factors

1 which influence the cost of replacing poles, but you did
2 not -- you decided -- in the end you decided not to control
3 for any of those confounding variables because in your data
4 you could not show that there was a difference. Is that
5 summarizing the approach that you took correctly?

6 [Witness panel confers]

7 MR. GRUNFELD: You're correct in stating that we did
8 not control for any factors in our study.

9 MR. BUCKSTAFF: It's actually noted in our report -- I
10 am just trying to find it -- that we did test for those
11 various factors, distance travelled and soil type and
12 several of those variables, and were not able to
13 demonstrate that they had a statistically significant
14 impact, so we did not control for them.

15 MR. SEGEL-BROWN: So that was my understanding, but it
16 kind of goes to whether this is an appropriate data set,
17 whether the data is of sufficient quality and a sufficient
18 sample size in order to draw conclusions about whether
19 there are significant differences, because if we can't
20 identify a significant difference associated with these
21 major variables you've identified like the percentage of
22 poles installed off a road, percentage of poles installed
23 in soft soil, travel time, average age, if we can't show
24 any statistically differences associated with major factors
25 like those, why would we expect to be able to find a
26 significant difference between utilities?

27 MR. GRUNFELD: I think we are -- we recognize that
28 there are limitations imposed, based on the amount of data

1 that we were able to collect and the size of the sample
2 that we were able to build.

3 I think that predisposing a judgment isn't
4 appropriate. I think that there's -- if all of the values
5 had been more -- had been more tightly correlated or more
6 closely -- more closer together, pardon me, then, you know,
7 that would have resulted in a different outcome. But the
8 reality is that there is, based on the data that we
9 collected, there is a wide range of outcomes, which makes
10 drawing strong statistical inferences difficult.

11 MR. SEGEL-BROWN: So in your analysis of substation
12 costs, you mentioned in discussing it yesterday -- I'm not
13 sure I saw it in your report, it might be there as well --
14 that Hydro One's projects tended to involve fewer
15 components with lower capacity, and you saw that as a
16 reason that would tend to reduce costs.

17 Did you analyze whether Hydro One's costs were
18 statistically significantly higher when controlling for
19 those -- that fact that you identified of capacity?

20 MR. BUCKSTAFF: No. I mean, the size of the samples
21 on these, we didn't do a lot of statistical testing on
22 them. It's pretty clear they're not going to be detailed
23 enough to be able to draw those kinds of conclusions.

24 MR. SEGEL-BROWN: You note at page 10 of your report
25 that Hydro One is the only company that performs more than
26 95 percent of inspections with in-house crews, as compared
27 to nearly 100 percent outsourced in other companies. Is
28 that correct?

1 MR. BUCKSTAFF: You are back to poles?

2 MR. SEGEL-BROWN: Yes, back to poles, sorry.

3 MR. BUCKSTAFF: Yes.

4 MR. SEGEL-BROWN: Did you assess whether there were
5 potential cost savings associated with contracting out part
6 or all of pole inspections?

7 MR. BUCKSTAFF: We didn't. We just noted the
8 difference in the staffing approaches.

9 MR. SEGEL-BROWN: Okay. You also recommend
10 considering the use of dedicated pole replacement crews, is
11 that correct?

12 MR. BUCKSTAFF: Yes.

13 MR. SEGEL-BROWN: And presumably you recommended that
14 because you believe such crews could be cost-effective?

15 MR. BUCKSTAFF: Yes.

16 MR. SEGEL-BROWN: Do you have a sense of what the cost
17 savings associated with such specialized crews might be?

18 MR. BUCKSTAFF: No, we didn't calculate anything like
19 that. It is one of those -- it is evident that there is
20 opportunity there, but we didn't try to quantify it.

21 MR. SEGEL-BROWN: The next question I believe you
22 answered this morning, where you said that you did not find
23 any difference in reliability between utilities depending
24 on pole age. Is that correct?

25 MR. BUCKSTAFF: We don't have data to show that.

26 MR. GRUNFELD: And that wasn't part of the study.

27 MR. SEGEL-BROWN: So at page 4 of your report, you
28 indicate that you collected data on emergency pole

1 replacement volumes, costs and hours. So that would
2 presumably act as an indicator of the pole failures?

3 MR. BUCKSTAFF: It does. The fact is that in pole
4 replacement programs, the grand majority are done as a
5 programmatic thing, not as an emergency thing.

6 MR. SEGEL-BROWN: Right, which is what we'd like to
7 see.

8 MR. BUCKSTAFF: Like planned.

9 MR. SEGEL-BROWN: Right. But your results don't
10 support -- they don't support an inference about what the
11 appropriate asset life is for these wooden poles. It
12 doesn't suggest -- well, let's not be a compound question.

13 You can't draw any conclusions about reliability based
14 on the age of the pole is what you are saying, the average
15 age of the poles.

16 MR. BUCKSTAFF: We have not.

17 MR. SEGEL-BROWN: Okay. So you were also asked to
18 look as trends over time. Did you draw any conclusions
19 regarding trends and pole replacement costs over time?

20 MR. TANKERSLEY: For Hydro One or for the group?
21 What's the...

22 MR. SEGEL-BROWN: Well, presumably you'd start with
23 Hydro One, and then look if there's a trend in the overall
24 group that might explain it.

25 MR. BUCKSTAFF: And we did, for the three years,
26 provide the data and you can see it in the charts as far as
27 what's happened with them.

28 There is -- in a three-year span, we are not going to

1 have a statistical validity again of here's how much it has
2 grown. If you -- we didn't do it for this study, but we
3 have looked at it over a the span of a number of years.
4 The costs of these are creeping up just as the other costs
5 of distribution are creeping up.

6 They're not -- there is no noticeable difference in
7 the way people do poles versus the way they do other things
8 that causes them to -- the costs to rise any faster or
9 slower on pole replacements.

10 MR. SEGEL-BROWN: So it was basically the conclusion
11 that appears in this chart, that the costs have increased
12 slightly from 2012 to 2014 with a down in 2013?

13 MR. BUCKSTAFF: Yes.

14 MR. SEGEL-BROWN: So for the next question I am going
15 to want to refer to my compendium, to which Hydro One has
16 an objection.

17 MR. NETTLETON: Yes, I do, Mr. Chairman.

18 MR. QUESNELLE: Okay, thank you. Is your microphone
19 on, Mr. Nettleton?

20 MR. NETTLETON: I believe it is. Sir, I received this
21 compendium 30 minutes before the start -- not even 30
22 minutes, immediately before the start of the session this
23 morning.

24 The witnesses have certainly not seen the material
25 that is contained in this compendium.

26 From my search of the material that is referenced
27 here, there is a variety of documents that underscore the
28 excerpts that have been provided.

1 And it strikes me -- my biggest concern is that all of
2 this is facts that could have been provided in advance, and
3 could have been tested with the witnesses through
4 interrogatories.

5 This is not new information and it's been taken out of
6 context to a large extent. For example, the tab 2 Manitoba
7 Hydro 1.7 distribution asset economic valuation comes from
8 a report that is over a hundred pages long, a report that's
9 dated 2012.

10 The reference to B.C. Hydro comes from a response for
11 which the interrogatory question was not provided. The
12 interrogatory question was: For each of the past ten years
13 and for each of wet and dry locations, what was the average
14 cost per pole and total cost of replacing poles in the
15 distribution system?" And that was filed in a BCUC in a
16 B.C. Hydro and Power Authority revenue requirements
17 application in 2004.

18 As for the other material, the Hydro-Québec
19 reference, it appears to have come from an Internet
20 posting, where a customer of Hydro-Québec by the name of
21 Ryan from Shawville on May 1, 2016, asked on social media
22 the question: "Who pays the cost of installing new hydro
23 poles?"

24 And the reference is by Hydro-Québec:
25 "As on all social media, we post questions exactly as we
26 receive them. They are then translated."

27 And finally, sir, with respect to the Saskatchewan
28 Power reference, it, too, seems to be taken out of context,

1 and by that I mean there is only one passage in this
2 compendium that speaks to cost. But what isn't included is
3 the passage below the reference of and the heading of why
4 we're doing it. Below that passage on their website, on
5 the Saskatchewan Power website, there is reference to the
6 fact that in 2017, the work crews are working in the areas
7 of Davidson, Regina, Strasberg, and Moosonee to deal with
8 the carpenter ant infestation and mechanical damage.

9 Now, sir, the concern that I have with all of that is,
10 again, this material was not brought to these witnesses'
11 attention.

12 There has been an extraordinarily long examination
13 process. There has been a technical conference. There have
14 been interrogatory opportunities. And to be blind-sided,
15 as my witnesses would be, by having this information
16 suddenly appear, and to be taken out of context in which
17 all of this material seems to have first landed, and to be
18 put to the witnesses and say, what do you think, quite
19 frankly, sir, I think that's unfair, and it's -- it should
20 not be considered an appropriate means of conducting cross-
21 examination before this Board.

22 So I'm objecting to this compendium, and I don't think
23 it's reasonable or proper for the witnesses to be providing
24 evidence for you to rely on in this manner.

25 Those are my submissions.

26 MR. QUESNELLE: Mr. Segel-Brown?

27 MR. SEGEL-BROWN: So the compendium is intended to
28 establish that there's publicly available information

1 regarding the pole replacement costs, and that that
2 publicly available data is substantially inconsistent with
3 the figures which appear in the benchmarking study. I
4 indicated to counsel for Hydro One that I was happy to
5 accept any responses to this material taken as an
6 undertaking, given that the witnesses have not had time to
7 review it, and that I would not -- and I'm not seeking to
8 use this evidence to establish that these are the pole
9 replacement costs in these other jurisdictions or that
10 these would be an appropriate benchmark, but rather to use
11 them to test and seek elaboration regarding the meaning and
12 reliability of the benchmarking results.

13 MR. QUESNELLE: Mr. Segel-Brown, would you not be able
14 to do that without the use of these aids that, as you've
15 just described, do not represent -- or you don't present
16 them as being representative of the actual pole costs in
17 these jurisdictions and that they may be different? And if
18 that's not what you are establishing, then what assistance
19 do you need from them?

20 MR. SEGEL-BROWN: It's difficult to seek explanation
21 for the witnesses as to why the costs which they're
22 reporting for these Hydro utilities are several times what
23 those utilities have publicly reported without being able
24 to state that that has been publicly reported.

25 MR. QUESNELLE: I'm catching a contradiction in what
26 you're saying then, Mr. Segel-Brown. You just suggested
27 that you wouldn't be presenting these as being
28 representative of the costs in these jurisdictions, and yet

1 you want to draw the witness to a comparison of what they
2 have found to these costs. I'm not catching your -- the
3 use of these...

4 MR. SEGEL-BROWN: Right, so there is a difference
5 between using the evidence to challenge the expert opinion
6 which has been given and using it to independently
7 establish that this is an appropriate benchmark to use or
8 something, so what I'm saying is that I'm not using this to
9 establish a different benchmark which would be used to
10 assess reasonableness; I am only using it to attack the
11 meaning and credibility of the Navigant report.

12 MR. QUESNELLE: So if the experts asked you questions
13 about the validity of these from a comparison point of
14 view, and Hydro One's counsel, Mr. Nettleton, has just done
15 a little research by the sounds of it -- and I don't know
16 if you agree with his observations or not -- that there's
17 -- it is a challenge to put these to the witnesses and
18 suggest that -- suggest, even from an observation, is that
19 what you intend to, from an observation, why is it that
20 your findings are higher than what I have found here? Is
21 that the crux of the question?

22 MR. SEGEL-BROWN: Yes. I mean, you also have to weigh
23 the entire purpose of the report was a unit benchmarking
24 study intended to establish the cost for pole replacement,
25 and it appears that the experts did not consider publicly
26 available data regarding that, and the figures which are
27 publicly available are significantly different and merit
28 explanation.

1 MR. QUESNELLE: Well, I think the explanations that
2 would be required for this panel to rely on them is what
3 their source and whether or not they are comparable, and so
4 I don't know -- if you are putting this forward, the
5 challenge for us would be to -- how much weight do we put
6 on these, because these haven't been analyzed, I suppose.

7 To the extent that you are seemingly going back and
8 forth, Mr. Segel-Brown, as to what reliance you are placing
9 on them and what you are presenting them as, so are you
10 presenting these as costs that could be -- should be put to
11 these expert witnesses as to why they didn't go to the
12 airwaves and the Internet to determine where other sources
13 of data would be that are available? Is that...

14 MR. SEGEL-BROWN: Yes, pretty much.

15 MR. QUESNELLE: Okay, we're going to take our break
16 now. We'll return at 11:35 and we'll rule on this matter.

17 --- Recess taken at 11:21 a.m.

18 --- On resuming at 11:43 a.m.

19 MR. QUESNELLE: The Panel has considered the
20 compendium that VECC was proposing to have accepted and
21 brought on the record. The Panel accepts Mr. Nettleton's
22 objection and rationale for the objection.

23 If there was evidence that was intended to challenge
24 the study and the report that Hydro One has filed, it
25 should have been brought in much earlier and it could have
26 been tested.

27 I think on its face there are sufficient questions
28 that Mr. Nettleton put forward as to what kind of reliance

1 we could put on this. The panel also noted that one of the
2 references is SaskTel, which is a telephone company, not a
3 power utility, which I think would drive some different
4 outcomes.

5 So I think, Mr. Segel-Brown, you've questioned and
6 the panel on -- the witness panel on the merits of their
7 study and the rationale and the assumptions. I think if
8 you have anything further to that, certainly go ahead. But
9 the referenced material in your proposed compendium is not
10 something we'll entertain putting before the witnesses.

11 MR. SEGEL-BROWN: Okay, I'll continue without the
12 compendium.

13 MR. QUESNELLE: Thank you.

14 MR. SEGEL-BROWN: In completing your study, did you
15 review publicly available data regarding pole replacement
16 costs?

17 MR. GRUNFELD: No, we did not.

18 MR. SEGEL-BROWN: And it's your view that there is an
19 evident error in the collected data, at least in the case
20 of utility 39?

21 MR. BUCKSTAFF: In that case, for company number 39,
22 yes.

23 MR. SEGEL-BROWN: And I believe you said earlier that
24 you did not attempt to verify the data provided by the
25 utilities.

26 MR. BUCKSTAFF: We contacted them; we did not connect
27 with them.

28 MR. SEGEL-BROWN: Did you attempt to verify the data

1 provided by other utilities?

2 MR. BUCKSTAFF: There were a couple of out outliers we
3 contacted, but not all of them systematically, no.

4 MR. SEGEL-BROWN: Now, reviewing your report, is there
5 anywhere where pole replacement costs are defined, where
6 you explain how you operationalize that definition, like
7 what is included in the pole replacement cost and what is
8 not?

9 MR. BUCKSTAFF: The questionnaire that we sent out to
10 gather the data shows exactly what the components are that
11 are included.

12 MR. SEGEL-BROWN: And that's annexed to the report?

13 MR. BUCKSTAFF: No, we gave it back to somebody as
14 part of an interrogatory. It's SEC number 25, and it's the
15 answer to part B, where they asked to please provide a copy
16 of the questionnaire and we did that.

17 MR. SEGEL-BROWN: Thank you. Earlier you mentioned
18 that you had already provided the data underlying the
19 report in response to an interrogatory from SEC, and you
20 mentioned 27.

21 But that only provided the data underlying the charts;
22 it did not provide the micro level data.

23 MR. GRUNFELD: Yes, that's correct. It was in
24 response to SEC 26 was where that data was provided.

25 MR. SEGEL-BROWN: So there is no way for us to
26 determine which utility a figure relates to for the
27 purposes of trying to understand why -- which utilities are
28 the best comparators, but why there are differences between

1 utilities.

2 MR. BUCKSTAFF: That's correct. We actually gather
3 the data under confidentiality agreements, so we can't
4 share who it is.

5 MR. SEGEL-BROWN: Okay. Did you conduct literature
6 review in the context of preparing this report?

7 MR. GRUNFELD: No.

8 MR. BUCKSTAFF: No.

9 MR. SEGEL-BROWN: So you wouldn't be aware of any
10 studies that had previously been done regarding the
11 replacement costs as surveyed across North American
12 utilities? You've already answered the question. You did
13 not do a literature review, did you?

14 MR. BUCKSTAFF: Correct.

15 MR. SEGEL-BROWN: Did you do a comparison of the mean
16 cost for unit substation refurbishment? I believe you
17 stated earlier did you that you didn't do a significance
18 test, but did you do a comparison of the mean cost?

19 MR. GRUNFELD: Is there a specific figure that you are
20 referencing?

21 MR. SEGEL-BROWN: For example, figure 23, 22.

22 MR. GRUNFELD: No, I don't believe we did.

23 MR. SEGEL-BROWN: Wouldn't a comparison of the mean
24 costs -- well, properly controlling for certain variables
25 be a key part of a unit cost benchmarking study?

26 MR. GRUNFELD: As we indicated in the report, I think
27 there are some concerns about the size of the sample for
28 the substation, the substation component.

1 MR. SEGEL-BROWN: I mean, that cuts both ways. It
2 both makes it difficult to establish whether Hydro One's
3 costs are reasonable, but also whether or not they're
4 unreasonable.

5 Basically you're saying that based on the data you
6 collected, you can't draw a conclusion about whether their
7 costs are reasonable.

8 MR. GRUNFELD: We drew a conclusion that the costs are
9 within the range of costs we have observed for the sample.

10 MR. SEGEL-BROWN: But in the case of figure 22, that's
11 not even the case because Hydro One has the highest cost.
12 So that particular data point would not be...

13 MR. GRUNFELD: So again, there's two ways to normalize
14 -- there's really ways to normalize costs for substation
15 refurbishments: the value of the equipment that's being
16 refurbished, the size of the -- the transformation
17 capacity, the MVA and the number of transformers, and we
18 presented two of those. And you can see the results are
19 different in terms of Hydro One's performance when you look
20 at those two different metrics.

21 MR. SEGEL-BROWN: Okay, that's all my questions.
22 Thank you.

23 MR. QUESNELLE: Thank you, Mr. Segel-Brown. Ms.
24 Grice?

25 **CROSS-EXAMINATION BY MS. GRICE:**

26 MS. GRICE: Good morning. I'm Shelly Grice
27 representing the association of Major Power Consumers in
28 Ontario.

1 My first set of questions are for Navigant and First
2 Quartile. If we could please turn to page 2 of the
3 Report...

4 MR. GRUNFELD: Roman numeral 2 or page 2?

5 MS. GRICE: Page 2. So figure 1 is showing an
6 overview of the benchmarking approach and under
7 quantitative analysis, the second bullet off to the left,
8 talks about validation, and there has been some discussion
9 about that already this morning.

10 I just wanted to ask for the validation of Hydro One's
11 data. Was that something that you did?

12 MR. BUCKSTAFF: Well, yes, in the sense that we took
13 the data that they gave us and then asked them several
14 questions about what's included and what's not, and did it
15 match up with the guidelines we gave them for data to be
16 provided to us.

17 MS. GRICE: Okay, thank you. If we could please turn
18 to page 4? So the figures on page 4 identify the data that
19 was collected from Hydro One and the comparison utilities,
20 and figure 2 is for pole replacement, and for figure 3 it's
21 for substation refurbishment.

22 I just wanted to get a perspective from Navigant and
23 First Quartile with respect to the overall quality of the
24 data collected for Hydro One.

25 Did you -- I guess I'll ask: What was your overall
26 perspective or impression of the quality of the data? And
27 I'm thinking specifically around accuracy, completeness and
28 consistency.

1 MR. BUCKSTAFF: Well, in the report, one of the things
2 we recommend is some improvements to the data collection
3 capability, on the substation side in particular, for Hydro
4 One.

5 So the reason for that is there was difficulty in
6 getting some of the data that we were after in the
7 substations arena.

8 In terms of the accuracy, I think we're pretty
9 comfortable that it is accurate and eventually became
10 relatively complete. But to begin with, they had
11 difficulty.

12 MS. GRICE: Okay, thank you. And then if we could
13 turn to page 26 of the report.

14 And under the section there, 4.4, "performance
15 measurement", you identify a subject area for tracking.
16 And it says underneath that "age and usage history data for
17 existing equipment", and then you identify the Hydro One
18 practice, which is "limited tracking and available data",
19 and then the leading practice, being "complete data,
20 including installation dates, maintenance activities, and
21 other investment".

22 Can you just explain to me a little bit what the gap
23 is between what Hydro One is doing and what the leading
24 practice is?

25 MR. BUCKSTAFF: Well, it's exactly what led to my
26 immediately previous statement. We had difficulty getting
27 some of the data because it's not been tracked for long
28 periods, and that doesn't make Hydro One unique, meaning

1 there's a lot of companies that can't tell us the age of
2 their equipment beyond, say, 30 years.

3 Anything 30 years and older, they just don't have the
4 records for as far as when things were installed or who the
5 manufacturers were and some of that.

6 More recently, people have done much better, and Hydro
7 One is better as well, but a complete data set that you can
8 analyze in lots of different ways is the ideal leading
9 practice, and there is a few companies that have that, but
10 not all of them.

11 MS. GRICE: Okay. And in terms of equipment, can you
12 just identify -- excuse me, sorry -- identify for me the
13 specific equipment types that you are referring to in this
14 area that requires more tracking?

15 MR. BUCKSTAFF: The range of equipment that we asked
16 around in the substations is breakers and the bus work, the
17 relays and control equipment, that kind of -- basically all
18 the major components in the stations.

19 MS. GRICE: Okay, thank you. And then just with
20 respect to the pacing of pole replacement and substation
21 refurbishments and the dollars involved, you did not make a
22 specific recommendation on the replacement rate or the
23 investment levels for these two activities; is that
24 correct?

25 MR. GRUNFELD: That's correct.

26 MS. GRICE: And then I just have one last question,
27 and this is on page 4 of the report. Just on the bottom of
28 page 4, it begins the discussion about the comparison group

1 selection.

2 I just want to confirm that you haven't noted any
3 underlying concerns about the sample size in your report in
4 this section, correct?

5 MR. BUCKSTAFF: I guess we didn't describe it as a
6 concern around it. We did note on page 5 that not all the
7 utilities we approached agreed to participate, and clearly
8 we would prefer more data in any study we do like this.

9 MS. GRICE: Okay, the rest of my questions are for
10 Clear Path. If we could please turn to page 21 of the
11 report. I'm sorry, I misspoke. It is page 22. So just at
12 the top of the page there, under data collection, you
13 provide the data that was provided by Hydro One, and I want
14 to ask you the same question I asked Navigant First
15 Quartile: Do you have an overall perspective of the
16 quality of the data that you received with respect to
17 accuracy, completeness, and consistency? Is there anything
18 that you wish to note?

19 MR. TANKERSLEY: There were a couple of items in
20 general. They had the information that we needed.

21 When we stratified the information to determine our --
22 the segments of line to be reviewed, we did it based on the
23 factors that are listed here, which included the date last
24 worked. And there were instances where, when we got out in
25 the field -- and for example, it might say that it was last
26 worked eight years ago, and there was evidence that there
27 was work that was more recent, which may have been due to
28 remedial work or other things that were done, so we had

1 process in place to deal with that.

2 When we ran across those kind of discrepancies from
3 what we saw in the field versus what the data that we had,
4 then we would -- we had a process to exclude that segment
5 and then substitute it with another so that we could take
6 that into account. That was probably the biggest issue
7 that we had.

8 MS. GRICE: And how great was the frequency of that
9 issue?

10 MR. TANKERSLEY: Out of the thousand, I would say it
11 would be less than 5 percent, would be my estimate.

12 MS. GRICE: Okay, can we turn to page 24, please?
13 Sorry, it's page 24 of the report. My understanding is
14 Appendix C is the data that your team went out in the field
15 and obtained; is that correct?

16 MR. TANKERSLEY: It was part of the survey, correct.

17 MS. GRICE: Okay. So under "tree population" you show
18 there the population of trees on the right-of-way and off
19 the right-of-way, and it totals 13.26 million,
20 approximately.

21 MR. TANKERSLEY: Correct.

22 MS. GRICE: So could we please just turn up a page of
23 the evidence. It is B1, tab 1, schedule 1, DSP section
24 2.3, page 39. If you could just scroll down the page.
25 Under "rights-of-way", this is the section of the evidence
26 that describes Hydro One's assets, and if you just look at
27 the first sentence -- or the second sentence there, it
28 says:

1 "Hydro One's rights-of-ways are adjacent to
2 approximately 7 million trees."

3 And there are other references in the evidence related
4 to 7- to 8 million trees, and I just wondered if you are
5 able to account for the difference between 7 million trees
6 and then the 13.26 million that you counted? Was there --
7 is there some reason that you are aware of to explain that?

8 MR. TANKERSLEY: The information we provided was based
9 on extrapolation from a statistically significant sampling,
10 so we're confident that the numbers that we came up with
11 are relatively close at 13.2 million.

12 There was -- this information was not available prior
13 to the survey, so there were estimates over time that were
14 based on other factors. One of those would be simply that
15 they had been working about 800,000 trees a year on an
16 eight-year cycle, or nine-year cycle is where they were at,
17 which would equate to approximately 7 million trees.
18 That's my best explanation, but that was -- those estimates
19 had been used for a number of years, I saw those in other
20 reports as well, that were not based on a survey such as we
21 performed.

22 MS. GRICE: So would you conclude that your tree
23 population count is the correct population?

24 MR. TANKERSLEY: I'm confident in the numbers that we
25 provided through the survey.

26 MS. GRICE: Okay. Okay. Thank you.

27 Could we please turn to page 4 of the Clear Path
28 report. So the fourth bullet down, under

1 "recommendations", it says one of your recommendations is
2 to:

3 "Finalize and fully implement an outage
4 investigation process to develop analytics for
5 system awareness and continuous improvement
6 would."

7 And I just want to confirm that you made that
8 recommendation because it's addressing a gap in what you
9 saw in how Hydro One was tracking outages? Is that where
10 this came from?

11 MR. TANKERSLEY: Well, it -- they did not have a
12 formal outage investigation process. But as a best
13 practice through the industry, to fully understand the
14 effectiveness of your vegetation management program,
15 service reliability is a key element of that. And in order
16 to understand the effectiveness of your program or the work
17 that you're doing, understanding the cause of the outages
18 is very important, in my opinion. And therefore, it was
19 included as a recommendation.

20 MS. GRICE: Okay, thank you. And then if we turn to
21 page 11, please, my understanding from reading your report
22 is that Hydro One has now started a formal outage
23 investigation process. The reference to is that is under
24 4.3, that it was recently started with 262 records in the
25 database; is that correct?

26 MR. TANKERSLEY: That's correct.

27 MS. GRICE: Can you tell me when that was started?

28 MR. TANKERSLEY: I believe it was started at about

1 this time last year.

2 MS. GRICE: Okay, thank you. And then if we turn the
3 page to page 13 -- no, sorry, page 12 -- at the top of the
4 page there you've got table 5, and that shows outage causes
5 and it is a breakdown of the 262 records that you referred
6 to on the page earlier. Is that correct?

7 MR. TANKERSLEY: Correct.

8 MS. GRICE: And in terms of the outage causes, did you
9 provide those to Hydro One, or did Hydro One come up with
10 these?

11 MR. TANKERSLEY: There was a collaboration to
12 determine those.

13 MS. GRICE: Okay. And then in terms of reliability --
14 a reliability metric, is there a reliability metric
15 industry best practice that you would recommend for the
16 type of vegetation management strategy that you've provided
17 on the three-year cycle? Is there something that stands
18 out as a really good vegetation -- a really good
19 reliability metric?

20 You mentioned defects per kilometre, but that really
21 doesn't get at reliability. Is there something that you
22 would recommend?

23 MR. TANKERSLEY: SAIFI is a predominant metric that's
24 used in the industry for vegetation, as well as outages per
25 distance, which would be kilometres or miles as a whole.

26 There are others that can also be used. In my
27 opinion, SAIFI is a good one. SAIDI is an indicator, but
28 because there are other factors that are introduced, it may

1 not be the best one for vegetation alone. But SAIFI would
2 influence SAIDI, as would outages per kilometre, and those
3 are very good high-level metrics to use, performance
4 metrics.

5 MS. GRICE: Okay. Just in terms of major event days
6 and the contribution that trees have to the percentage of
7 outages that occur during a major event day, is that
8 something that you think should be tracked as well?

9 MR. TANKERSLEY: I suggest looking at both measures
10 with and without major event days, in that they're both
11 influenced by tree-related outages. But to get an entire
12 picture of your effectiveness, I would caution against only
13 looking at excluding major events. Including major events,
14 I think, really tells a story and it's more effective your
15 vegetation management. Often you can have a bigger
16 influence on that than you could on excluding.

17 MS. GRICE: Okay, thank you. Then just in terms of a
18 unit cost metric, is there an industry best practice unit
19 cost metric that you would recommend for Hydro One's
20 vegetation management strategy?

21 MR. TANKERSLEY: There are a lot of unit cost metrics
22 to be used, and it depends where you are at in the maturity
23 of your program. Ultimately, I believe that the best
24 metric for unit cost is the cost per kilometre or mile for
25 managing your system to get certain results.

26 And when I say that, you can have a unit cost to work
27 a tree; you can even take it down to a lower level of
28 different types of trees. That is not necessarily a best

1 indicator for performance; it is an indicator. Also the
2 cost of working a kilometre or a mile is an indicator, and
3 it's something that's important, but maybe not the best
4 one.

5 For me, it would be take your total system distance
6 and your total cost on an annual basis, and that will
7 determine a cost per -- in this place, a cost per
8 kilometre.

9 But it's very important to note that sometimes in
10 benchmarking, some of the best performance in the industry
11 as far as cost per kilometre or mile, they also have worst-
12 in-class performance. So those two definitely have to come
13 together in that you're looking at cost performance. It
14 just may indicate that a program is underfunded and not
15 getting the results.

16 So using those two in combination, I think, are best
17 practice. But it's kind of an evolution to get to that
18 point, and I would say in the case of Hydro One, the
19 conclusion of the first year cycle is going to tell you a
20 lot more and then as you proceed toward the second and
21 subsequent cycles.

22 MS. GRICE: Okay, that's very helpful. Thank you. I
23 just have one last area to ask questions on and this is
24 page 3 of the report.

25 Under 1.3, where it says "Reliability results", the
26 first bullet says:

27 "Off right of way tree and branch failures cause
28 approximately 90 percent of all outages."

1 Where did this data come from?

2 MR. TANKERSLEY: That was from Hydro One's -- the data
3 that they collected during the event. So this is not an
4 outage investigation per se; it is the initial report from
5 a trouble-man or other person that is out there reporting
6 this information.

7 So this would be refined over time with actual outage
8 investigations, too.

9 MS. GRICE: Okay. Can we then turn to page 14 of the
10 report?

11 Just in the table there, were you -- you are just
12 making some preliminary unit cost projections and you've
13 got kilometres there for zone A, B, C, D and an annual of
14 34,282.

15 Given that 90 percent of all outages are off right of
16 way trees, are all those kilometres then off right of way
17 for the first year?

18 MR. TANKERSLEY: I'm not sure I understand the
19 question.

20 MS. GRICE: I was just trying to align -- I was just
21 trying to understand if there is an alignment between the
22 strategy, the three-year strategy, and focusing on off
23 right of way trees, given that they cause 90 percent of all
24 outages, if there is any --

25 MR. TANKERSLEY: The kilometres that are listed are
26 linear and then the right of way, typically on a
27 distribution line is -- I've got to get my conversion to
28 metric -- five meters on either side of centre line. I

1 believe that's correct. So that would constitute the right
2 of way and then anything beyond that would be off right of
3 way.

4 But it's still -- in the case of zone A, it's 10,383
5 kilometres of line. And then the outages that are
6 occurring within that 10-meter right of way represent about
7 six and a half percent of the outages and the remaining 90
8 percent are outside of that -- which, to a large degree,
9 makes sense in that distance off the right of way is much
10 greater than the distance within the right of way.

11 MS. GRICE: So there is no strategy that -- so when
12 you get the kilometres, you are doing both off right of way
13 and on right of way?

14 MR. TANKERSLEY: Oh, absolutely, yes.

15 MS. GRICE: Okay. That's what I wanted to understand.
16 Thank you very much. Those are my questions.

17 MR. QUESNELLE: Thank you, Ms. Grice. Mr. Sidlofsky?

18 Cross-Examination by Mr. Sidlofsky:

19 MR. SIDLOFSKY: Thank you, sir. Staff, I have a
20 compendium. I believe the panel has copies up on the dais.
21 I'm going to mark that as Exhibit K 6.1.

22 **EXHIBIT NO. K6.1: BOARD STAFF CROSS-EXAMINATION**
23 **COMPENDIUM FOR HONI PANEL 4.**

24 MR. SIDLOFSKY: And, now, good afternoon, panel. My
25 name is James Sidlofsky. I'm a counsel with Board Staff.
26 And I'm going to start with Navigant, and we'll start with
27 poles and move on to stations, and then I will move on to
28 vegetation management and my questions.

1 Could I take you to page 2 of the compendium, please.
2 And this is a page that we've seen, I suppose, a number of
3 times before. This sets out your recommended actions with
4 respect to both pole replacement and substation
5 refurbishment.

6 I'm going to begin with recommendation 1 under "pole
7 replacement", that's considering modifying the pole
8 replacement program to include more complete pole
9 inspections -- for example, sound, bore, and excavation --
10 and a longer, approximately ten-year inspection cycle.

11 And under that recommendation I'm wondering if you
12 could tell the Board what your anticipated outcomes and
13 benefits of that recommendation are. And what do you think
14 the costs would be to implement that recommendation?

15 MR. GRUNFELD: So we didn't analyze the costs
16 associated with implementing that recommendation, so I
17 can't provide you with any insight into that.

18 In terms of the expected outcomes and benefits,
19 generally speaking, again, we did not look specifically at
20 applying that to Hydro One's program, but generally
21 speaking, the idea would be: Can you amass better data
22 around the poles, make better decisions around pole
23 replacement, by using more invasive testing, recognizing,
24 though, that invasive testing costs more to implement, and
25 so to manage that you have to extend the cycle.

26 And so it's a trade-off between quality of data and
27 cost of the inspection program, and is there a way to find
28 a balance. Again, we didn't look at the specific outcome

1 of what would be the implication if they did that, but in
2 general that's the -- those are the two trade-offs that you
3 are making.

4 MR. SIDLOFSKY: So you didn't do that analysis. Is
5 that something that your client would typically do; you
6 would simply give them the recommendations and they would
7 have to go away and consider their costs and benefits,
8 and --

9 MR. GRUNFELD: That's correct.

10 MR. SIDLOFSKY: So you weren't asked to do that by
11 Hydro One?

12 MR. GRUNFELD: We were not asked to do that.

13 MR. SIDLOFSKY: In general terms, though, would
14 implementing that recommendation lead to an increase or a
15 decrease in inspection costs and pole replacement costs;
16 can you speak in general terms about that?

17 MR. BUCKSTAFF: The expectation is it would lead to a
18 slight decrease, but not a major. It won't change the
19 nature of the cost of the total pole program; it will be
20 minor.

21 MR. SIDLOFSKY: And, sorry, maybe I should have
22 separated those, but would that be an increase in
23 inspection costs because you are being more invasive and a
24 decrease in replacement costs, or --

25 MR. BUCKSTAFF: Individual inspections will be more
26 expensive. Individual ones. By doing them less frequently
27 you can counter-balance that.

28 So in the net, the inspection program, the inspection

1 part of the pole program is likely to be slightly more
2 expensive, but not very much. And then you will have
3 noticeably better information to make your decisions on
4 what poles to do things about.

5 MR. SIDLOFSKY: I'm not sure that you'll be able to
6 answer this question, given what you've just said, but I'm
7 going to ask it anyway. Do you have a sense of the
8 anticipated performance reliability benefits if Hydro One
9 were to implement recommendation 1?

10 MR. BUCKSTAFF: Improvements meaning impact on SAIFI
11 or SAIDI associated with pole failures?

12 MR. SIDLOFSKY: Yes.

13 MR. BUCKSTAFF: That we didn't try to quantify at all.

14 MR. SIDLOFSKY: And do you have any sense of whether
15 upgrading visual inspections to those more complete
16 inspections of, you know, sound, bore, excavation type
17 inspections, do you expect that that would affect the
18 number of poles identified as needing replacement?

19 MR. BUCKSTAFF: It is likely to affect the number
20 needing replacement, and it also gives you a window into,
21 maybe we could refurbish some, so it helps on that, which
22 at the time was not an option at Hydro One, but which
23 they're, you know, likely to be considering for future.

24 MR. SIDLOFSKY: So it is possible by being more
25 proactive in the inspections you could reduce costs later
26 by refurbishing instead of replacing?

27 MR. BUCKSTAFF: Yes.

28 MR. SIDLOFSKY: And are you able to say whether or how

1 Hydro One made use of this information in its current
2 application?

3 MR. BUCKSTAFF: Not able to say, no.

4 MR. SIDLOFSKY: Okay.

5 MR. NETTLETON: Mr. Sidlofsky, Ms. Garzouzi will be
6 appearing on the next panel, and I'm sure she will be quite
7 happy to talk to you about what their plans are with
8 respect to refurbishment and replacement and this line of
9 questioning.

10 MR. SIDLOFSKY: Thanks, MR. Nettleton. I expect that
11 I'd be asking panel 5 about that as well.

12 Page 3 of the compendium, please. At page 3 there's a
13 copy of Hydro One's response to Board Staff Interrogatory
14 No.126, and in that response Hydro One stated that:

15 "The strategy currently being evaluated is to
16 alternate detailed pole testing with visual
17 inspections."

18 Does that proposed strategy satisfy recommendation
19 number 1 from Navigant in your view?

20 MR. BUCKSTAFF: It's a fair response to it. One of
21 the things noted in our recommendation was in order to
22 change to a longer cycle you'd have to get approval from
23 this Board to make that change, and this is a way to move
24 in that direction without having to change the rules here
25 within the inspection requirements, in terms of timing of
26 inspections and so on.

27 MR. SIDLOFSKY: So you see this as a bit of a
28 compromise then, or how is it --

1 MR. BUCKSTAFF: I think it's a fair way to move
2 forward. And again, we recommended, consider this
3 approach, look into it, and see what you can do. If this
4 is their response, that's a reasonable consideration of
5 moving forward. We haven't looked at this in any depth to
6 understand what their long-term plans are around that.

7 MR. SIDLOFSKY: Okay, back to page 2 of the
8 compendium, just because it happens to be where the
9 recommendations are. Under recommendation number 2 you
10 recommended that Hydro One expand its existing centralized
11 program management and pole selection approach to cover 90
12 to 95 percent of the replacement or refurbishment work on
13 poles in a given year.

14 Just for comparison, can you tell us what the current
15 percentage is?

16 MR. BUCKSTAFF: Not precisely, no. It is somewhere
17 north of 50 percent, but I don't know exactly.

18 MR. SIDLOFSKY: Okay. I expect Ms. Garzouzi will be
19 able to help with that, Mr. Nettleton?

20 MR. NETTLETON: I think it will be either Ms. Garzouzi
21 or Mr. Bowness on work execution.

22 MR. SIDLOFSKY: Okay. Sticking with Navigant's views,
23 in your view would centralizing a larger proportion of
24 total pole replacement decisions help Hydro One optimize
25 its pole replacement program?

26 MR. BUCKSTAFF: Yes, that's why you would want to do
27 it. It's -- if you do things in a decentralized way you
28 optimize each local area, but it may be that division

1 number 1 needs 10 percent of their poles replaced this year
2 and division number 2 doesn't, really, but if you give
3 everybody the same kind of long-term, do what you can in
4 your division, you'll end up with 5 percent and 5 percent,
5 and for the system as a whole that's not optimal, so
6 centralizing the planning allows you to then move resources
7 around, move choices around within your system to optimize
8 the whole system.

9 MR. SIDLOFSKY: Now, you're speaking in general terms
10 here, not from specific experience with Hydro One, this
11 approach; is that right, or...

12 MR. BUCKSTAFF: Yes, I mean, we see this approach as
13 the best way to do it, and it's a way that's been enabled
14 over the last ten years by tracking systems and ability to
15 understand what you have in your system. 30 years ago,
16 people couldn't really do this. Today they can, so it's
17 the better way to go.

18 MR. SIDLOFSKY: So that more centralized approach
19 might be a way of optimizing the priority of pole
20 replacements; is that right?

21 MR. BUCKSTAFF: Replacements and refurbishments, yes.

22 MR. SIDLOFSKY: At similar costs to the current costs?

23 MR. BUCKSTAFF: Yeah, by -- by centralizing the
24 planning you aren't going to change the cost of executing
25 the pole replacements. You might be able to get a little
26 bit of benefit by scheduling, grouping them together in
27 nearby areas. But mostly that's already done when you do
28 it regionally.

1 But what you will get is better ability to prevent
2 future failures, which is really what your pole replacement
3 program is about. You are trying to replace them before
4 they fail, and you will be able to better optimize that.

5 MR. SIDLOFSKY: Are you aware of whether pole
6 evaluation and replacement policies and practices are
7 standardized through Hydro One territory?

8 MR. BUCKSTAFF: Conceptually, they are. Any time you
9 have different regional groups making decision, there are
10 slight variations, so...

11 MR. SIDLOFSKY: Would it also be possible, though,
12 that without a centralized approach, you could have poles
13 that are evaluated in one area as needing replacement, but
14 those could be in better condition than poles in another
15 area that are not in need of replacement?

16 MR. BUCKSTAFF: That's possible, but that's less
17 likely than if, say, I'm in division A and I say we're on a
18 long-term plan and we're going to replace X number of
19 poles, I will choose the poles that are most likely to need
20 replacement. And my colleague over here in his next
21 division might choose his most necessary group of poles,
22 and his might be more important than mine.

23 We're not using any different criteria for selection;
24 we're just simply saying I'm taking my 2 percent and he's
25 taking his 2 percent, and mine happen to be worse off than
26 his. So if you then centralize that, then you take away
27 from the two of us the choice of I'm taking 2 percent of
28 all my poles, regardless of exactly how bad they are.

1 Does that make sense? Does that help you?

2 MR. SIDLOFSKY: I think that's helpful, thank you.

3 MR. BUCKSTAFF: Okay.

4 MR. SIDLOFSKY: How that actually shakes out, I
5 realize I will have to speak to different witnesses about
6 that. But I appreciate the comment, though.

7 Could I take you to page 6 of the compendium? There
8 are two figures on that page and they are both marked as
9 figure 8. But we've seen these figures before earlier
10 today.

11 Now, in those two figure 8s, the inclusion of the
12 outlier values for company 52 skews the cost average so
13 that Hydro One's cost performance relative to its non
14 outlier of peers is de-emphasized.

15 You had that discussion with Ms. Durant, I believe.
16 Do you recall that?

17 MR. BUCKSTAFF: Yes.

18 MR. GRUNFELD: And you mentioned to Ms. Durant that
19 the average unit costs shown in the figures would be
20 significantly lower if company 52 were excluded from the
21 analysis.

22 MR. GRUNFELD: I don't believe we used the word
23 significant, but it certainly would be lower if you
24 excluded the outlier.

25 MR. SIDLOFSKY: Didn't want to put words in your
26 mouth; sorry about that.

27 But would that lead to the conclusion that Hydro One's
28 cost per pole would worsen relative to its peers? Would it

1 then render Hydro One more -- on the more expensive side if
2 you were to take out that outlier?

3 MR. GRUNFELD: In that metric, yes.

4 MR. SIDLOFSKY: Okay. And my question to follow up on
5 that is: Would the exclusion of the outlier values from
6 your analysis materially change any of your findings or
7 recommendations?

8 MR. BUCKSTAFF: I don't think they'd change our
9 conclusions nor our recommendations. The basic conclusion
10 is Hydro One is near the mid range, and there's things to
11 do to improve. And those are reflected in the
12 recommendations.

13 MR. SIDLOFSKY: Okay. The next page, page 7 of the
14 compendium, please. On that page, you state that the cost
15 of replacing a pole is substantially higher than the cost
16 of refurbishing a pole, and you've said that replacement is
17 approximately seven times more expensive where
18 refurbishment is an option.

19 How did you determine that pole replacement is seven
20 times costlier?

21 MR. GRUNFELD: That was based on the averages of the
22 sample data that we collected.

23 MR. SIDLOFSKY: On the next page of the compendium,
24 page 8, in its response to OEB Staff Interrogatory 122,
25 Hydro One states that they're investigating structural
26 refurbishment and chemical refurbishment.

27 Do you have any information on how much more
28 expensive pole replacement would be compared to those two

1 refurbishment options? And is it -- just to go on with my
2 question, is it roughly seven times either of those
3 approaches?

4 MR. BUCKSTAFF: Roughly speaking, yes. They are
5 slightly different in their own cost, but you kind of have
6 a choice when the time comes to use one or the other of
7 those refurbishment approaches.

8 MR. SIDLOFSKY: Okay. So if we are sticking with the
9 seven times value, could we just go back to page 7 of the
10 compendium, please?

11 Now, you say a few other things in addition to
12 mentioning that pole replacement is about seven times the
13 cost of refurbishment.

14 You suggest that it wouldn't make sense to refurbish a
15 50-year old pole when the useful life is planned for 60
16 years.

17 You then go on to say, though, that refurbishment can
18 extend the life of a pole by 20 to 40 years, and you say
19 that in any scenario where a refurbishment can extend the
20 life by over 20 years, then the economic benefit of
21 refurbishment is clear.

22 MR. BUCKSTAFF: Yes.

23 MR. SIDLOFSKY: That's all accurate, right? It
24 accurately depicts what you've said on that page?

25 MR. BUCKSTAFF: Yes.

26 MR. SIDLOFSKY: To my mind, that suggests that you
27 could extend the life of a 50-year old that has 60-year
28 life by another half of its useful life at one seventh of

1 the cost of replacing it. So on that basis, why wouldn't
2 it be reasonable to refurbish it instead of replace it?

3 MR. BUCKSTAFF: Well, the probability of refurbishment
4 of a 50-year old pole turning that into a 90-year life on
5 that pole is low.

6 It's not going to be the same for the pole that's 20
7 years old versus one that's 50 years old, in terms of just
8 the age and wear on the thing over time.

9 MR. SIDLOFSKY: Well, maybe if we don't go to the far
10 end of that at 40 years, but could you turn a 50-year old
11 pole into a 70-year old pole?

12 MR. BUCKSTAFF: Possibly. It's -- that's not
13 something we've investigated in great depth.

14 MR. SIDLOFSKY: If you can do that, that would still
15 represent a savings compared to replacement, wouldn't it?

16 MR. BUCKSTAFF: Without having gone through the
17 analysis on that, I don't know. The starting point for us
18 was simply take a look at some of the younger ones and work
19 from there. You may choose later on to extend that, but
20 right now we're starting from a policy that says we change
21 them out or don't, not any other options.

22 MR. SIDLOFSKY: So is your point then any steps that
23 you take toward refurbishment represents an improvement?

24 MR. BUCKSTAFF: Investigation of it, certainly, to see
25 is there an objection here and will it be better in this
26 specific circumstance for Hydro One.

27 MR. SIDLOFSKY: You don't have any reasons that Hydro
28 One has given you about why it doesn't use pole

1 refurbishment, do you?

2 MR. BUCKSTAFF: No.

3 MR. SIDLOFSKY: So when it was explained to you, it
4 was simply we replace the pole or we don't?

5 MR. BUCKSTAFF: Yes, that's the practice in place.

6 MR. SIDLOFSKY: Okay. You mentioned earlier that you
7 utilities typically utilize pole rehabilitation or
8 refurbishment.

9 MR. BUCKSTAFF: The majority of them do, yes.

10 MR. SIDLOFSKY: Do you have any information on how
11 many of Hydro One's peers from your study do not use pole
12 refurbishment?

13 MR. BUCKSTAFF: I believe the answer is 13 of the 17
14 that we got answers for that question do refurbishment, but
15 we'll confirm that here in just a second.

16 There it is. It's on page 13 of our report, 13 of the
17 17 in the study.

18 MR. SIDLOFSKY: Thank you. Moving on to stations,
19 I'll just take you back quickly to page 2 of the
20 compendium. And specifically under recommendation number 1
21 with respect to substation refurbishment, you recommend
22 that Hydro One implement a formal data governance process
23 for equipment, performance, and maintenance data, and that
24 this information be incorporated into the asset condition
25 scoring and project planning process.

26 Can you provide some information on the cost and
27 performance consequences of Hydro One's lack of a formal
28 data governance process for equipment, performance, and

1 maintenance data?

2 MR. BUCKSTAFF: Specific cost, no. I mean, it's one
3 of those things where better information will enable you to
4 do better, but quantifying that by how much, I don't know.

5 MR. SIDLOFSKY: Performance consequences, are you
6 aware of -- do you have any information on those?

7 MR. BUCKSTAFF: Again, specific quantitative answers,
8 no. You are looking to have better information to make
9 your choices, make your decisions on when you're going to
10 do various maintenance or replacement activities.

11 MR. SIDLOFSKY: So is that really the benefit of
12 incorporating that information into the asset condition
13 scoring and project planning process, the idea that you can
14 make better decisions; is that the point of this?

15 MR. GRUNFELD: Yes, that's correct.

16 MR. SIDLOFSKY: As opposed to being able to predict
17 specific costs that will be avoided or specific performance
18 improvements?

19 MR. GRUNFELD: That's correct. I mean, the
20 performance improvements stem from making better decisions.

21 MR. SIDLOFSKY: So just to turn that around a bit,
22 does that suggest that the lack of a formal governance
23 process or formal data governance process leads to
24 suboptimal project planning decisions?

25 MR. GRUNFELD: Not necessarily. I think there's --
26 there are ways to accommodate for suboptimal data, you
27 know, validating on-site prior to starting -- or prior to
28 going -- engaging in a project or what-have-you. So

1 there's ways to correct for data gaps.

2 MR. SIDLOFSKY: Okay. Under recommendation number 2:

3 "Navigant recommends that Hydro One enhance its
4 cost and work completion reporting for individual
5 projects and implement a formal change control
6 process."

7 Does the lack of a formal change control process
8 contribute to -- potentially contribute to project scope
9 creep or rework of elements of projects?

10 MR. BUCKSTAFF: It can, and in other projects that
11 we've done, other places, we've been able to demonstrate
12 that kind of thing, that having better controls and having
13 better procedures around your management of projects, you
14 can do better. Here the fact that they aren't very
15 formalized suggests there's an opportunity.

16 To your question, we'll follow here in just a second
17 about, so how much, we don't have that answer, but in terms
18 of the opportunity, better data, better information, better
19 reporting enables you to make better choices and manage
20 things better along the way.

21 MR. SIDLOFSKY: Without getting into specific numbers,
22 because I appreciate you don't have them, in general terms,
23 could the lack of a formal change control process result in
24 a higher-than-necessary cost for past refurbishment
25 projects?

26 MR. BUCKSTAFF: It could contribute, yes. And
27 recognize the situation that Hydro One's in is the same
28 situation that every other utility has been in over time.

1 Over the last 20 years, everybody has gotten better
2 capabilities for capturing, managing, and using
3 information. It is not that the past approaches were bad
4 or inferior, they are just simply better now, and so moving
5 as quickly as possible to the better capabilities is what
6 you want to do.

7 MR. SIDLOFSKY: Well, according to your
8 recommendation, Hydro One doesn't seem to have a formal
9 change control process. Otherwise you wouldn't be making
10 the recommendation, right?

11 MR. BUCKSTAFF: That's right.

12 MR. SIDLOFSKY: How does that compare to other
13 utilities in your sample group?

14 MR. BUCKSTAFF: Some of them have very developed, very
15 fully developed, formalized processes, others do not. And
16 there is a range for that.

17 MR. SIDLOFSKY: Do you have a number for that?

18 MR. BUCKSTAFF: No, not -- I mean, I can't say it's 13
19 out of 17 or something like that. No.

20 MR. SIDLOFSKY: Okay. In response to Staff
21 interrogatory 126 -- that would be on compendium page 3.
22 Thank you -- Hydro One indicated that it had enhanced its
23 cost estimating by releasing detailed cost estimates rather
24 than basing -- basing their estimates off of unit costs,
25 and my question is whether, in your view, a detailed scope
26 is required in order to provide a quality estimate.

27 MR. BUCKSTAFF: You're asking about stations here?

28 MR. SIDLOFSKY: Yes.

1 MR. BUCKSTAFF: Okay. Yes, you would want to have a
2 detailed scope, particularly where you are doing a full
3 station rebuild or a major refurbishment. Individual
4 components maybe not, but for the full station rebuild
5 you'd want to have a complete scope so you could estimate
6 what it will take to do it.

7 MR. SIDLOFSKY: Okay, so I'm going to take you to page
8 10 of the compendium. And that's an extract from the
9 transcript from the -- sorry, from the technical conference
10 in this proceeding.

11 And specifically, if we look at page 10, lines 27 to
12 28, and continuing on to page 11, lines 1 and 2, Ms.
13 Garzouzi indicated in the technical conference that a
14 detailed -- sorry, a detailed business case isn't available
15 in the list of stations that were shown in investment SR06
16 station refurbishment.

17 So the comment at the technical conference was:

18 "We would prepare a business case very shortly
19 before execution, once we've completed our
20 engineering and our site assessment. And that is
21 when we prepare the business case."

22 So in other words, a business -- a detailed business
23 case won't be available for the project until just before
24 the investment's approved.

25 In the absence of a detailed scope, though, what's the
26 impact -- what do you see as the impact of that on annual
27 cost estimates? Is there -- are the actuals likely to vary
28 on a project-by-project basis when there is no detailed

1 scope at the time of the -- at the time of the cost
2 estimates?

3 MR. BUCKSTAFF: Well, ordinarily when you are doing a
4 big project like this you do cost estimates at several
5 stages, you know, you do one when the idea is first born,
6 when you say we're going to do a project in this area.
7 Roughly what would that cost? You would get a rough
8 estimate, plus or minus maybe 30 percent. Then when you do
9 your preliminary engineering you can make another estimate
10 that gets you greater precision, and then when you actually
11 go to construction, when you're ready to go, you should
12 have a very detailed cost estimate.

13 But along the way the question is how early can you
14 have those. If you do your engineering a year in advance
15 you'll know that information a long time in advance. If
16 you do your engineering two weeks before you start
17 construction, then you don't have much time.

18 And some of that depends on what the backlogs are in
19 your engineering group and some of the other things, so
20 there's a variety of factors that affect it. You are going
21 to have multiple stages of estimates, and what's ideal is
22 to have a little bit longer time between when you finish
23 your final estimate and when you build your business case
24 to go forward.

25 MR. SIDLOFSKY: Is there a reason in your view that a
26 utility couldn't do the detailed cost estimates well in
27 advance of the actual -- of the actual work being done? I
28 realize -- I could imagine that costs will change as you

1 get closer to construction, but would it be preferable to
2 do the detailed costing and get that detailed scope well in
3 advance of the actual construction?

4 MR. BUCKSTAFF: Again, as early in the process as
5 possible, you'd like to know the details, but until you
6 have finished the different stages of engineering, you
7 can't really do that because you don't know what the scope
8 of work is. And that does tend to change from the start of
9 thinking about a project until you've reached the final
10 stages where you've finished the full design.

11 And again, some utilities manage to have that
12 engineering work done a year ahead. Most don't. Most,
13 it's shorter than that. But in a long-term plan you might
14 be able to do that.

15 MR. SIDLOFSKY: Excuse me. Just one moment, sir.
16 Have you actually looked at Hydro One's station
17 refurbishment plans in the application?

18 MR. BUCKSTAFF: I'm sorry --

19 MR. SIDLOFSKY: Sorry about that. Have you actually
20 looked at Hydro One's station refurbishment plans in its
21 application?

22 MR. BUCKSTAFF: No, not what's in the application.

23 MR. SIDLOFSKY: Okay. So this is a more general
24 recommendation; it is not based on your review of Hydro
25 One's actual station refurbishment projects?

26 MR. BUCKSTAFF: Not anything that was submitted as
27 part of the filing here.

28 MR. SIDLOFSKY: Okay. Back to page 2, just for the

1 summary of the recommendations, I'm going to go to
2 substation refurbishment recommendation number 3. And that
3 one calls for Hydro One to develop and implement a more
4 comprehensive set of key performance indicators, including
5 in-progress project cost performance measures and
6 assessments of project and program impacts on substation
7 reliability, maintenance costs, and overall asset health.

8 Does that mean that at present, the correlation
9 between substation refurbishment project investments and
10 their impacts on substation reliability, maintenance costs
11 and overall asset health is not well supported or
12 quantified?

13 MR. BUCKSTAFF: In terms of the direct impact on
14 reliability, I'd say it's not -- you know, there isn't that
15 direct tie that you can see easily.

16 In general terms, what we were trying to get at with
17 this is similar to the other recommendations, better
18 information will enable better decisions. The question of
19 during the progress of a given project there isn't enough
20 information to know are we behind, are we over budget, are
21 we having difficulties, or are we ahead and so on.

22 The reporting is not as comprehensive as it could be
23 and therefore, you can't make certain decisions during the
24 course of the project. So that would help you.

25 In terms of the impact of maintenance costs,
26 eventually you'll have those now. It's just you want have
27 them as soon as you might have.

28 MR. SIDLOFSKY: Sorry, are you able to provide any

1 view of reliability improvements when any station project
2 has been completed?

3 MR. GRUNFELD: I'm not. Generally speaking, station
4 refurbishments improve reliability, but the specific
5 magnitude of that impact is not something that we can
6 comment on, or I can comment on.

7 MR. SIDLOFSKY: Are you suggesting that those outcomes
8 can't really be quantified in terms of SAIDI and SAIFI?

9 MR. BUCKSTAFF: You can right now, or at the time you
10 wrote this, I don't think Hydro One could. But I have seen
11 instances of other companies who do purport to do that.

12 MR. SIDLOFSKY: Okay. Is there any industry standard
13 for quantifying that or -- that you're aware of?

14 MR. BUCKSTAFF: I don't think so.

15 MR. SIDLOFSKY: Okay. I'm going to move on to
16 vegetation management, and if we could go to page 13 of the
17 compendium, please. At that page we have an excerpt from
18 Clear Path's forestry survey assessment report from
19 November 2017, and that sets out a summary of your key
20 findings and recommendations.

21 One of those key findings under "Reliability
22 modelling" was that by implementing an optimal maintenance
23 cycle, modified work scope and an analytics-based hazard
24 tree program, it is reasonable to expect a 20 to 40 percent
25 plus improvement of reliability by the end of 2020. That
26 will be the third bullet under section 1.6.

27 Sir, could you clarify whether all three of those
28 items that are listed are required to achieve a 20 to 40

1 percent improvement?

2 MR. TANKERSLEY: To achieve the upper end of that, all
3 three elements would be required. On the bottom end of it,
4 if implemented in an appropriate manner or successfully,
5 you could reasonably expect to get 6.5 percent caused by
6 tree contacts right off the top.

7 So if you are on a three-year cycle, you are
8 preventing those defects, those that are easiest to
9 identify, and the rest remaining would be through hazard
10 identification, getting off the right away.

11 I don't think there is any reason that by modifying
12 the cycle, the shorter cycle and modified work scope that
13 20 percent is -- but just that alone is not achievable.

14 MR. SIDLOFSKY: Okay. Just to clarify, when you
15 express the 20 to 40 percent, how are you measuring that?
16 Is that 20 to 40 percent of the -- sorry, is the 20 to 40
17 percent the reduction in the number of outages caused by
18 vegetation, or -- sorry. Could you just tell me what the
19 20 to 40 percent specifically relates to?

20 MR. TANKERSLEY: The number of outages.

21 MR. SIDLOFSKY: Okay. Can we go to the next page,
22 page 14 of the compendium, please? And specifically I'm
23 looking at figures 10 and 11 on that page. There are two
24 graphs in the middle and we've seen those before; Ms. Grice
25 took you to those as well.

26 Do figures 10 and 11 reflect that 20 to 40 percent
27 reduction?

28 MR. TANKERSLEY: I believe so. These are all Outages,

1 including major events. It's representing 20 percent on
2 the bottom end.

3 MR. SIDLOFSKY: So that's the -- and that's -- that's
4 figure 11 that's showing the 20 percent at the end of the
5 three-year cycle, correct?

6 MR. TANKERSLEY: Correct.

7 MR. SIDLOFSKY: So that would be on the low end.
8 Would that mean that in order to achieve that, Hydro One
9 wouldn't necessarily have to take all of those steps in the
10 recommendation?

11 MR. TANKERSLEY: So there are three key steps in that.
12 It is the shortened cycle, the modified work scope, and
13 then the third one is the analytics-based program. So the
14 first two will get you to a 20 percent, I believe, or
15 greater. And then the third one is something that over
16 time, as you learn more about your system through analytics
17 of what's causing your outages, those that are easiest to
18 prevent through a modified cycle and scope come right off
19 the top.

20 The others become more difficult, but not that
21 achievable as you are able to apply better practices across
22 your system. That would come at a longer timeframe.

23 MR. SIDLOFSKY: So that may actually help me
24 understand -- or help me get to the next question here.

25 I take it the bulk of the projected outage reduction
26 is expected to be achieved at the end of the first three-
27 year cycle.

28 MR. TANKERSLEY: Which would be the start of the

1 fourth year.

2 MR. SIDLOFSKY: Right. And you had mentioned, I think
3 to Ms. Grice, that that's really when you'll start noticing
4 those changes.

5 MR. TANKERSLEY: No, I would expect that you would
6 start seeing improvements after the first year of the first
7 cycle. But you wouldn't achieve the full -- you wouldn't
8 see the full extent of it until the first -- essentially
9 the first year of the second cycle. But you should be able
10 to see improvements over time.

11 Now, there are a lot of variables, such as weather.
12 Weather can influence it on one side or the other, but
13 there are certainly ways that you can assess the
14 effectiveness in a shorter timeframe.

15 MR. SIDLOFSKY: Now looking at both of these figures,
16 it seems that after the first three-year cycle has been
17 completed, then the rate of reduction in outages starts to
18 flatten out.

19 MR. TANKERSLEY: That is by implementing the first two
20 of the three suggestions in the recommendations.

21 Now, that flattened -- that will not -- that will
22 continue to improve as you start applying analytics,
23 learnings from your outages that are occurring that go
24 beyond what's in the shortened cycle and the modified basic
25 -- basic modified work scope.

26 That's and understanding -- well, ideally after the
27 first cycle, your outages are not going to occur as a
28 result of a defect, as I defined earlier; they're going to

1 be -- that subset of the tree is a larger portion of the
2 population that do not exhibit that defined defect, but
3 what you will find over time is that you will find patterns
4 of occurrences or outages that you wouldn't have defined as
5 a defect earlier but you might going forward.

6 And so it is the ability to refine your program over
7 time. And this is a, if I understand, a certain species of
8 tree and a certain condition as causing the majority of my
9 outages that was not defined as a defect previously, then
10 I'm going to go out and I'm going to target those.

11 What I have -- in my experience, what I have learned
12 is that after you have tackled that first level, which is
13 through the base level of defects, you will find patterns
14 that develop, that will say specific areas, certain species
15 of trees, certain conditions that may go beyond that, and
16 then you're able to focus on that, but you're -- the
17 segment of the population is larger and it becomes more
18 difficult, but what might have been previously defined as
19 an unavoidable outage, you might find you will reverse that
20 and say that is avoidable if I do these actions.

21 MR. SIDLOFSKY: And that's where the analytics comes
22 in?

23 MR. TANKERSLEY: That's where the analytics comes in.

24 MR. SIDLOFSKY: So if the utility were to -- if a
25 utility were to stick to those first two items, then we
26 would expect to see a levelling-off. They had have to
27 continue with those practices in order to keep that curve
28 at least level.

1 MR. TANKERSLEY: That's correct.

2 MR. SIDLOFSKY: And it is the analytical approach to
3 that work that can help to push from that 20 percent
4 upwards?

5 MR. TANKERSLEY: Correct.

6 MR. SIDLOFSKY: Okay. So just to be clear, that
7 baseline maintenance program has to continue indefinitely.
8 Those first two items need to be implemented and they need
9 to be implemented on a permanent basis?

10 MR. TANKERSLEY: Absolutely. Yes.

11 MR. SIDLOFSKY: Okay. So just to turn that around a
12 bit, does that mean we wouldn't expect to see more than 20
13 or so percent improvement without implementing the
14 analytics?

15 MR. TANKERSLEY: Well, I believe that you will have
16 elements that you will improve on over time that will allow
17 you to gain incremental improvements and reliability.
18 There are things that you can do. The analytics will allow
19 you to take leaps, as opposed to small incremental steps.

20 MR. SIDLOFSKY: In -- sorry, if I could just go back
21 to page 13, in that same -- in those same key findings, you
22 indicate that an analytics-based hazard tree program
23 requires funding beyond the baseline maintenance levels.

24 Are there options in terms of funding, or is it really
25 a single program that gets implemented?

26 MR. TANKERSLEY: Well, from my experience, an
27 effective program will drive the cost of your routine, that
28 first element, down over time, so you are dealing with a

1 fairly large tree population right now, defect level, and
2 after you get through the first cycle, and I'll
3 characterize this as having your system in control, then it
4 will allow you some flexibility without increasing your
5 previous funding levels to reinvest into the analytics-
6 based system, and potentially you might have a sharing with
7 the savings.

8 Now, you know, I would advocate improving the
9 efficiency of your base-level program, which is that the
10 cycle scope, and then using savings that are generated over
11 time to reinvest into the analytics program.

12 I think if you characterize the first group of this,
13 the first year through, the first cycle, we estimate there
14 is about 800,000 existing defects on the system. So
15 800,000, plus there is going to be about 1.3 million or so
16 defects that will come into play over the next three-year
17 cycle, so a total of 2.1 million trees, roughly.

18 The start of the second cycle, if it's done properly,
19 you will not be dealing with existing defects; you will
20 only be dealing with preventing future defects. And so
21 that's the challenges of the first cycle versus the second
22 cycle.

23 The second cycle gives you a lot of opportunity to go
24 into an analytics-based system without increasing your
25 overall cost.

26 MR. SIDLOFSKY: So it becomes sort of self-funding out
27 of the savings. Is that --

28 MR. TANKERSLEY: Correct.

1 MR. SIDLOFSKY: That's the point? Have you estimated
2 what Hydro One's development and operating costs might be
3 for an analytics-based program?

4 MR. TANKERSLEY: Not specifically, no. It is
5 something that we could do, but...

6 MR. SIDLOFSKY: And do you know whether Hydro One
7 currently has the information it needs to implement an
8 analytics-based program?

9 MR. TANKERSLEY: I think they are at a point of
10 starting to develop such a program. The first step is
11 continuing with the outage investigations to fully
12 understand what your outage is, but it is a next-step
13 effort that presumably could be started at any point. They
14 are definitely looking at that.

15 MR. SIDLOFSKY: Okay. Mr. Quesnelle, I know I'm a few
16 minutes over my time. I just have two more questions if I
17 might --

18 MR. QUESNELLE: Let's go ahead and finish with this
19 panel before lunch.

20 MR. SIDLOFSKY: Thanks. And I apologize, sir, I don't
21 have this in my compendium, but at the bottom of page 12 of
22 your November 10th report, you state that:

23 "Improvements in tree-related reliability can
24 lead to significant savings in other lines of
25 business. A reduction in the number of outages
26 results in less straight time and overtime
27 payroll for call centre staff, trouble man and
28 line crews. Additionally, there are avoided

1 costs associated with the reduced number of
2 damaged facilities."

3 Do you recall that statement?

4 MR. TANKERSLEY: I do.

5 MR. SIDLOFSKY: And based on your experience, I'm --
6 I'd ask you to describe some typical reductions in damaged
7 facilities, so types of facilities that could be spared as
8 a result of improvements in tree-related reliability?

9 MR. TANKERSLEY: Well, this is -- you can look at this
10 in two areas: storm events and non-storm events. They
11 both occur. In storm events you have many more occurrences
12 of this happening. In storm events, particularly, as many
13 as 50 percent of all interruptions may be attributed to
14 vegetation. Through a more effective vegetation management
15 program you are going to reduce that significantly, and
16 this would be poles down, wires down, everything from the
17 single customer up to major customers. It's the response
18 time for the trouble, for the line maintenance and
19 construction. I mean, it can impact a lot of different
20 areas.

21 MR. SIDLOFSKY: Thank you, Mr. Quesnelle. I cut it
22 down to one question. It's headed to you. Those are my
23 questions. Thank you, panel.

24 MR. QUESNELLE: Thank you. We have questions from the
25 Panel.

26 **QUESTIONS BY THE BOARD:**

27 MS. ANDERSON: Mr. Tankersley, we'll continue with
28 you.

1 So I noticed in the Hydro One's vegetation management
2 trend analysis or their 2016 report there was a reference
3 to cost increases for the, I think it's the peer group had
4 cost increases related to mitigating emerald ash bore and
5 hardening distribution systems against storms.

6 Were those two factors something that you considered
7 in developing any of your recommendations?

8 MR. TANKERSLEY: Well, and not just those two factors.
9 There can be things that happen in the forest, disease,
10 Emerald Ash Borer, Dutch elm disease are two. But it could
11 be any number of things. They can be caused by drought.
12 And the longer the cycle, the longer -- not only do you
13 have more of a chance of degradation and service
14 reliability due to tree failures, you've got a very long
15 period before you may even discover it, and so a shorter
16 cycle is going to allow to you monitor the health of the
17 forest that's surrounding your facilities.

18 So there may be times where a devastating infestation
19 of something, you might need to take remedial actions
20 before. But you have to know about them first, so that
21 definitely is a positive attribute to a shorter cycle.

22 MS. ANDERSON: Okay. I'm curious because those two
23 factors in particular, the Emerald Ash Borer and hardening
24 of distribution systems, we hear from a number of
25 utilities. So was that -- did you notice that to be any
26 sort of material impact when you were considering, or just
27 one of many factors?

28 MR. TANKERSLEY: It was one of many factors.

1 MS. ANDERSON: Okay, thank you. I have a question for
2 Navigant. So you talk about refurbishment and replacement
3 as kind of two strategies. Is there any kind place for run
4 to failure strategies, particularly if there is an
5 assessment for the consequences of failure being minimal?

6 MR. BUCKSTAFF: That's an option. When you have a run
7 to failure approach on poles, it means typically somebody
8 is out when you have the failure. And that's a choice of
9 are you willing to accept that.

10 I actually do know of one company who's gotten very
11 closes to that in their distribution maintenance approach,
12 largely because they're very short of funding. And what
13 they show is a six-year decline in reliability; it's just
14 gotten worse and worse and worse.

15 If you are willing to accept that, then a run to
16 failure approach is okay. But it is not something we
17 generally recommend.

18 MS. ANDERSON: So when a pole fails, is it -- do you
19 have any information on what percentage of time that
20 results in a power outage? Is it always? I mean,
21 sometimes all the other poles --

22 MR. BUCKSTAFF: Keep it holding up. Quantitatively,
23 no, we don't have a specific answer to that.

24 MS. ANDERSON: Okay. Thank you.

25 DR. ELSAYED: I have a few questions about pole
26 replacement. You mentioned in your report that Hydro One
27 did not have a formal pole refurbishment program.

28 MR. BUCKSTAFF: Correct.

1 DR. ELSAYED: So my first question is does that mean
2 that they don't refurbish poles at all, or they don't have
3 a formal program? I don't understand the word "formal";
4 what does that mean?

5 MR. BUCKSTAFF: At the time we did the interviews with
6 them and gathered the data, the answer was no, we don't
7 have a refurbishment approach. We replace them when we
8 deem them to have failed.

9 DR. ELSAYED: So they are just replaced. And then you
10 go on to say that in 13 of the 17 companies you looked at,
11 they do have refurbishment programs in an effort to
12 postpone premature replacement of poles.

13 Do I take that to mean that with Hydro One not having
14 a refurbishment program, that there is a possibility that
15 they could be replacing poles prematurely?

16 MR. BUCKSTAFF: The terminology is not necessarily
17 perfect. But a pole that has failed at 20 years -- you
18 know, it's about to fail. In a case where you don't have a
19 refurbishment program, your option is to replace that pole
20 or to leave it standing -- and it's likely to fall over.

21 If you replace it, that's a premature replacement
22 because you were expecting it to last 60 years. But it
23 really comes down to a choice of I can, at 20 years,
24 replace or refurbish, I can't just leave it alone.

25 Does that make sense?

26 DR. ELSAYED: It does, but I'm trying to get a feel of
27 whether your expectation by having -- which is your
28 recommendation, by having a refurbishment, do you think

1 that would reduce in the long term the cost of pole
2 management in Hydro One?

3 MR. BUCKSTAFF: Of the entire pole management program,
4 probably yes. It won't cut it in half or anything like
5 that, but it will reduce it some.

6 DR. ELSAYED: Okay. I want to also clarify the
7 terminology here, I guess. We talked about pole
8 replacement, pole refurbishment, both of which are self-
9 explanatory. Then you talked about a pole management
10 program. I just want to understand in terms of best
11 practice.

12 In my mind, you can't really separate the two and
13 have a program to replace poles, and another program to
14 refurbish poles. So when you say pole management, would
15 you not have an integrated program that looks at poles in
16 general that includes both aspects of the program as a best
17 practice?

18 MR. BUCKSTAFF: That's what a pole management program
19 would encompass is both your replacement and your
20 refurbishment, and the management for them. The
21 inspections are part of the pole management program, and
22 then the actions that you take are part of it.

23 DR. ELSAYED: And the inspections would include a
24 condition assessment of some sort?

25 MR. BUCKSTAFF: Yes.

26 DR. ELSAYED: Okay. One of your recommendations as
27 well is to have a dedicated pole replacement crew. Would
28 that not apply to pole refurbishment as well?

1 MR. BUCKSTAFF: Most of the people that we work with
2 don't have an in-house pole refurbishment program, meaning
3 it's contracted.

4 So people who are going to come in and do injections,
5 for example, are an outside contractor. So by definition,
6 they are a specialized crew; that's all they do. So the
7 individual utilities typically don't have a crew for that.

8 DR. ELSAYED: Is that because of the technical nature
9 of the work? Because I would have expected that you would
10 do more refurbishment than you would do replacement.

11 MR. BUCKSTAFF: What actually happens is you do see
12 more replacement than refurbishment, simply because most
13 poles last their full life. They won't need either
14 replacement early or refurbishment. They will last their
15 whole lifetime.

16 DR. ELSAYED: My last question is: One of the things
17 you were asked -- or Hydro One was asked to do and you
18 looked at is the internal benchmarking in terms of how --
19 was that part of your study, the cost of replacement -- the
20 cost of replacement changed over time within Hydro One?

21 MR. GRUNFELD: You are referring to the trend
22 analysis?

23 DR. ELSAYED: The trend analysis.

24 MR. GRUNFELD: So we looked at three years, we
25 collected three years of data and we didn't draw in the
26 report specific conclusions, but you can see from the
27 graphics, if you look at pole replacement, the costs have
28 increased slightly on average for Hydro One.

1 DR. ELSAYED: So what time period was that? Was that
2 2012 to 2014?

3 MR. GRUNFELD: Pardon?

4 DR. ELSAYED: What was the time period?

5 MR. GRUNFELD: Three years, 2012 to 2014 inclusive.

6 DR. ELSAYED: And you said it showed a slight increase
7 in cost?

8 MR. GRUNFELD: Yes.

9 MR. BUCKSTAFF: And that slight increase is also
10 reflected in the other companies as well. Everybody has a
11 slight uptick.

12 DR. ELSAYED: Why was that? Like in your opinion, why
13 would that be?

14 MR. BUCKSTAFF: I don't have a good answer. It's not
15 like the companies have done something deliberately to
16 raise the prices.

17 DR. ELSAYED: No, but I guess in my mind it would seem
18 to me that when you have some experience and you lessons
19 learned that you will do better as time goes by.

20 MR. GRUNFELD: Generally speaking, it is driven by
21 inflationary pressures. Companies have been doing pole
22 replacement for 50 to 100 years, and obviously the
23 processes that they undertake evolve and improve over time.

24 But a large portion of the cost is either labour or
25 the material, which are both subject to inflationary
26 pressures.

27 DR. ELSAYED: Okay, thank you.

28 MR. QUESNELLE: Just one area that just came to mind.

1 Hydro One has an expected life of a pole -- and I forget
2 what the number is, fifty-two years or...

3 MR. BUCKSTAFF: Sixty-two.

4 MR. QUESNELLE: Sixty-two. Does that line up with
5 their amortization? When you are doing your analysis and
6 you've got a fully depreciated analysis, is it 62 years
7 that they're using, or can you talk to me about the...

8 MR. BUCKSTAFF: I don't know the answer on the
9 accounting, how they do their depreciation.

10 MR. QUESNELLE: So your analysis didn't need to...

11 MR. BUCKSTAFF: No, we didn't include that. I will
12 say that having done that for a couple of other companies,
13 the accounting depreciation is quite different from the
14 expected life for the couple of companies I've done
15 anything on that with.

16 MR. QUESNELLE: Well, we'll follow that up with the
17 asset people then. Thank you very much. That's all we
18 have. Do you have any re-direct, Mr. Nettleton?

19 MR. NETTLETON: Yes, I do, sir. I just have one
20 matter arising.

21 Gentlemen, if you could turn to page 7 of the Staff
22 compendium, which is section 3.6 of your report -- do you
23 have that?

24 MR. TANKERSLEY: Yes.

25 MR. NETTLETON: You were talking to my friend Mr.
26 Sidlofsky about the seven times more expensive metric or
27 statistic that's found in that this passage. Do you see
28 that?

1 MR. GRUNFELD: Yes.

2 MR. NEME: Did you -- and Mr. Sidlofsky went on to
3 talk to you about the potential refurbishment of a 50-year
4 old pole; do you remember that?

5 MR. GRUNFELD: Yes.

6 MR. NEME: Did you have occasions in this report to
7 ask any questions or assess whether the entities that you
8 spoke with or assessed in this study were refurbishing 50-
9 year old poles?

10 MR. BUCKSTAFF: We didn't ask it directly as part of
11 this study. In a couple of other individual projects with
12 people we've asked that kind of question. It's always
13 been: No, we don't replace -- or we don't refurbish really
14 old poles, we refurbish ones that are prematurely failing.
15 So 20-year-old, not 50-year-old poles.

16 MR. NETTLETON: And would you have any reason to
17 believe that the metric or the statistic that you've used
18 of the seven-times more expensive factor for refurbishing
19 versus replacing would apply to a pole that was 50 years
20 old?

21 MR. BUCKSTAFF: I don't know. I mean, I don't know
22 anybody who has refurbished a 50-year old pole.

23 MR. NETTLETON: Thank you, those are my only
24 questions.

25 MR. QUESNELLE: Thank you, Mr. Nettleton. We'll break
26 for lunch until 2:15. Thank you very much, panel.

27 --- Luncheon recess taken at 1:14 p.m.

28 --- On resuming at 2:25 p.m.

1 MR. QUESNELLE: Welcome, panel number 5.

2 MR. SIDLOFSKY: Sir, just before we begin, I believe
3 Ms. Grice has one preliminary matter.

4 **PRELIMINARY MATTERS:**

5 MS. GRICE: Thank you. So at the break, I took a look
6 at undertaking J1.8, which is the undertaking that I was
7 following up on this morning. Maybe we could put that up
8 on the screen, J1.8.

9 The undertaking is to provide a version of the table
10 to support tables 4 and 5, estimated input to SAIFI and
11 forecasted SAIDI hours. The response to the undertaking
12 indicates that this information was provided in the
13 technical conference undertaking Exhibit JT3.10, as well as
14 an interrogatory, Staff 164.

15 And you'll recall in my discussion with panel 1, I
16 explained that I had the evidence and I had this
17 interrogatory and this undertaking, and I was still having
18 difficulty recreating the numbers in tables 4 and 5.

19 So I asked if there was an underlying spreadsheet that
20 supports the tables, and is that something that Hydro One
21 could provide before panel 5. And I'm just referring to
22 the transcript from panel 1 and the response by Mr.
23 D'Andrea was:

24 "So we can't answer whether there is a
25 spreadsheet or not behind this, or what supports
26 that, but we're willing to take an undertaking on
27 it."

28 And that's what led to this undertaking.

1 So what I'm finding now is I'm being referred back to
2 the same interrogatory and undertaking that I explained I
3 was having difficulty using to recreate the tables. And my
4 understanding is that there are other parties that are
5 interested in this underlying calculation.

6 If we look at the chart there, the charts provide
7 information and assumptions that define capital plans A, B,
8 C, and B modified. So given the chart form, I'm assuming
9 there is an underlying Excel spreadsheet that supports the
10 data.

11 So that's what I'm looking for. And if we want to
12 bring up the charts, if that would be helpful, it's the
13 rows and the calculations of the percentage changes in
14 SAIDI and SAIFI that I'm having trouble recreating.

15 MR. QUESNELLE: Thank you, Ms. Grice. Mr. Nettleton?

16 MR. NETTLETON: Thank you, Ms. Grice, for that
17 clarification.

18 It strikes me, Mr. Chairman, that it might be -- one
19 solution, just to make sure that we are aware of exactly
20 where the gap is, is for Ms. Grice to have a discussion
21 with -- and I believe it would be Mr. Jesus about this
22 information, and to see if Mr. Jesus can help explain what
23 the numbers are and how they were calculated, and how they
24 came into tables 4 and 5.

25 I even don't know whether there is a spreadsheet or
26 not, but I would think that if there's a gap, then lets
27 have questions. And if there is something missing, then we
28 deal with it through undertakings.

1 MR. QUESNELLE: Okay. Well, let's do that now just so
2 that we know what to expect before panel 5 is finished with
3 its cross-examination.

4 Do you want to start off the panel and have them
5 affirmed first?

6 MR. NETTLETON: Yes, I think if we could get them
7 sworn.

8 MR. QUESNELLE: Let's do that and we will revisit this
9 as an order of business, though.

10 MR. NETTLETON: Panel, it is my pleasure to introduce
11 to you panel 5. This is the asset management, investment
12 planning and work execution panel.

13 We have five witnesses with us today. Seated closest
14 to you is Mr. Bruno Jesus. Mr. Jesus is director of
15 strategy and integrated planning with Hydro One.

16 Seated beside Mr. Jesus is Ms. Lyla Garzouzi. Ms.
17 Garzouzi is the director of distribution asset management.

18 Seated beside Ms. Garzouzi is Ms. Darlene Bradley.
19 Ms. Bradley is the vice-president of planning for Hydro
20 One.

21 Finally, to her right is Mr. Brad Bowness, and Mr.
22 Bowness is the vice-president of distribution for Hydro
23 One.

24 Ms. Anderson, if the oath could be administered, that
25 would be great.

26 **HYDRO ONE NETWORKS INC. - PANEL 5: ASSET MANAGEMENT**
27 **PLANNING & WORK EXECUTION**

28 **Darlene Bradley,**

1 **Bruno Jesus,**
2 **Lyla Garzouzi,**
3 **Brad Bowness; Affirmed**

4 **EXAMINATION-IN-CHIEF BY MR. NETTLETON:**

5 MR. NETTLETON: Thank you. Panel and Mr. Chairman and
6 Board members, the curriculum vitae for this panel, the
7 witnesses on this panel were pre-filed on June 7th as part
8 of Exhibit A-9-2.

9 On the first day of the hearing, we had Exhibit K1.2
10 marked and you will recall that that was the draft hearing
11 plan. And at pages -- PDF page 33 of 58 is the starting of
12 the evidence that this panel is responsible for.

13 So witnesses, can each of you confirm that you have
14 responsibility for the evidence that is listed on that
15 exhibit and on that chart and assigned to your names. Mr.
16 Bowness?

17 MR. BOWNESS: Yes, I do.

18 MR. NETTLETON: Mr. Bradley?

19 MS. BRADLEY: Yes, I do.

20 MR. NETTLETON: Ms. Garzouzi?

21 MS. GARZOUZI: Yes, I do.

22 MR. NETTLETON: Mr. Jesus?

23 MR. JESUS: Yes, I do.

24 Starting with you, Mr. Bowness, do you have any
25 changes or directions to make to that evidence assigned to
26 you?

27 MR. BOWNESS: No, I do not.

28 MR. NETTLETON: Ms. Bradley?

1 MS. BRADLEY: No, I do not.

2 MR. NETTLETON: Ms. Garzouzi?

3 MS. GARZOUZI: No, I do not.

4 MR. NETTLETON: Mr. Jesus?

5 MR. JESUS: No, I do not.

6 MR. NETTLETON: And it is therefore accurate to the
7 best of your knowledge and belief, Mr. Bowness?

8 MR. BOWNESS: Yes.

9 MR. NETTLETON: Ms. Bradley?

10 MS. BRADLEY: Yes.

11 MR. NETTLETON: Ms. Garzouzi?

12 MS. GARZOUZI: Yes.

13 MR. NETTLETON: Mr. Jesus?

14 MR. JESUS: Yes.

15 MR. NETTLETON: And do you therefore adopt this
16 evidence as your evidence in this proceeding, Mr. Bowness?

17 MR. BOWNESS: I do.

18 MR. NETTLETON: Ms. Bradley?

19 MS. BRADLEY: I do.

20 MR. NETTLETON: Ms. Garzouzi?

21 MS. GARZOUZI: I do.

22 MR. NETTLETON: And Mr. Jesus?

23 MR. JESUS: I do.

24 MR. NETTLETON: Thank you. Mr. Chairman, I believe
25 Ms. Bradley has an opening statement that she would like to
26 make.

27 **OPENING STATEMENT BY MS. BRADLEY:**

28 MS. BRADLEY: Good afternoon. My name is Darlene

1 Bradley and I am the vice-president of planning at Hydro
2 One. My team and I are responsible for the preparation and
3 content of the distribution system plan and in doing so, we
4 work closely with Mr. Bowness and his team, who have
5 overall accountability for executing the work and
6 activities that are presented in the plan.

7 I am pleased to be here with you this work to share
8 some of the things that we are doing in operations at Hydro
9 One.

10 I've been with Hydro One for thirty years, and I have
11 to say it is exciting to be leading the transformation
12 that's taking place.

13 In my career, I've seen and been a part of a number of
14 improvement initiatives, and I was and continue to be very
15 proud of those initiatives. But I must say the focus and
16 commitment and our pursuit of excellence is beyond what I
17 have seen.

18 I believe the amazing skills and experiences we have
19 within our team are critical to achieving the results that
20 we're committing to you, but it's more than that. It's the
21 alignment and purpose and vision and the outcomes that
22 we're focused on.

23 I'd like to talk to you today about three subjects:
24 the distribution system plan and how we will manage to a
25 multi-year plan; our commitment to continuous improvement
26 and the resulting interchanges in the plan since we
27 originally filed; and lastly, I'd like to give you an
28 update on our 2017 results and our progress so far this

1 year.

2 The distribution system plan that forms part of this
3 application before the Board was prepared in 2016. The
4 challenges that we faced two years ago, and those that
5 continue to be at the forefront of our iterative planning
6 process, are based on finding the right balance between our
7 customer needs, the needs of our assets and our system, and
8 managing the impacts of our customer rates.

9 We know that our asset investments, the needs continue
10 to be greater than what can be tolerated in the rates paid
11 by our customers.

12 It is our accountability and at the very core of what
13 we do in asset management to strike the appropriate balance
14 between customer needs, the needs of the system and the
15 assets and our customer rates.

16 The decisions we make today unpack the availability of
17 safe, affordable and reliable power for today, tomorrow and
18 future generations. We're committed to delivering on the
19 aggressive outcomes and prescribed objectives of the
20 proposed five-year distribution system plan that's
21 currently before this Board. We will do so while being
22 nimble and responsive to changes that are driven by our
23 customers, by our system and system needs, by the forces of
24 mother nature and our relentless pursuit of operational
25 excellence.

26 We will continue to drive continuous improvement in
27 all aspects of our business for the benefit of our
28 customers.

1 We have improved our planning and redirection
2 processes, recognizing the dynamics that exist. Central to
3 this notion are having the necessary resources, processes,
4 and people to manage the corresponding impact of the ever-
5 changing requirements.

6 Our processes, including our annual investment
7 planning process and our monthly redirection process, allow
8 us to respond and manage the intrinsic dynamics of a five-
9 year plan.

10 Operational excellence and continuous improvement are
11 embedded in the distribution system plan, and our
12 commitment is further evidenced through the increases in
13 efficiency, productivity, and improving reliability
14 outcomes that we have made since the time of this
15 application.

16 These outcomes are fundamental to our commitment to
17 continuous improvement and are the key element of the OEB's
18 renewed regulatory framework outcome of operational
19 effectiveness.

20 We have heard the message in the OEB's March 12th,
21 2015 decision, where they advised that we should be finding
22 cost-effective ways to improve performance, and we have
23 taken action.

24 We will continue to assess our work programs, much as
25 we did with vegetation management, to identify ways to
26 increase productivity and reliability through continuous
27 improvement and operational excellence. We will improve
28 through assessing everything we do. No stone will remain

1 unturned as we work relentlessly towards improving the
2 reliability and cost for our customers.

3 Over the five years of this plan we have made
4 significant changes from our last application, both in
5 productivity and in reliability. In productivity we have
6 incorporated close to \$400 million. This is almost 15
7 times more in annual savings than was in our last
8 application. In reliability we have set aggressive targets
9 for our -- in our electricity distribution scorecard, in
10 our distribution OEB scorecard, and in our Hydro One team
11 scorecard. We've done so through enhanced work programs,
12 enabling us to update our reliability outcome, projecting
13 more than a 25 percent improvement without increasing the
14 revenue requirement. This is achieved through new ways of
15 doing things, including our changes in vegetation
16 management and our new worst performing feeders program.

17 We will continue to assess our assets, our programs,
18 and our processes. We need to address our end-of-life
19 assets and we will continue to look for ways to accomplish
20 more with less.

21 Step changes in performance often include new ways of
22 doing things. We have a team committed to leading this
23 type of transformation. As we progress through the five
24 years of this distribution system plan, we will continue to
25 assess and advance initiatives and programs through our
26 risk-based approach to identify and execute on productivity
27 and reliability initiatives, and we'll work within our
28 capital and OM&A envelopes.

1 As an example of what we've been able to achieve with
2 these new approaches as our vegetation management program,
3 this will allow us to transform our right-of-way
4 maintenance clearing while remaining within the funding
5 envelope.

6 The benefits we expect to gain are a reduction from
7 our current ten-year cycle to a three-year cycle, with a
8 new focused scope of work which will help us address the
9 backlog of circuits that haven't been cleared in many
10 years, a reduction in the associated safety risks, and
11 significant improvements in reliability. We expect our
12 vegetation-caused outages to be reduced by about 40 percent
13 compared to our five-year average.

14 The initial requirement of \$150 million for this
15 program is \$17 million less than was in our last
16 application, and it is the minimum we must spend in the
17 initial years to get this program started and to maintain a
18 three-year cycle. We do expect that up to \$20 million of
19 additional savings is possible once we reach 2023.

20 Other examples of continuous improvement initiatives
21 underway are our worst performing feeders program, where
22 we've conducted detailed analysis of each event that has
23 resulted in the interruption of service to our worst served
24 customers, and we've developed solutions that are specific
25 to each location.

26 In some cases we are anticipating reliability
27 improvements of more than 60 percent with this program.
28 This means some customers will not experience interruptions

1 that they would have in the past and those who do will see
2 their power restored much quicker.

3 You've heard from panel 1 about changes we have made
4 in our processes and governance framework for identifying
5 and tracking productivity, and you can see through our
6 application in the updates we've made that this is an
7 ongoing commitment.

8 I've outlined a number of examples to give you an idea
9 of the changes that we're making right now and expressed
10 our commitment to continuing this journey or pursuit of
11 operational excellence.

12 I'd like to close by updating you on our 2017 results
13 and our progress so far in 2018. On May 4th of this year
14 we filed our 2017 actual results with the Board. These
15 form the most recent numbers in evidence. Over the course
16 of the last three years, that is, 2015 to 2017, our capital
17 investments have been in line with the OEB-approved
18 amounts. There have been some variances year to year, but
19 over that three-year period they were very much in line.

20 Historically our in-service additions were above OEB-
21 approved levels. We have worked diligently to tighten
22 this, and in 2017 the in-service additions came within
23 2 percent of the OEB-approved amount.

24 In 2017 our OM&A came in at about \$34 million, or
25 5.8 percent below the OEB-approved amount. Primary
26 contributors to this were the adjustment to reassess
27 programs such as vegetation management and PCB programs as
28 we reassessed better ways of doing things.

1 Contrary to competing factors such as inflation,
2 expansion of our distribution system, and the increasing
3 maintenance demands of a deteriorating distribution system,
4 our OM&A in the 2018 test year is \$16 million, or about
5 2.7 percent lower than the 2017 OEB-approved amount. This
6 is a testament to our pursuit of efficiency and
7 productivity initiatives.

8 We're now almost halfway through 2018 and we're on
9 track to executing on our Plan B modified, which formed the
10 basis of this application. We're executing this with a new
11 vegetation-management program, and as expected we have
12 adjusted for the changing realities that we face day-to-
13 day.

14 For example, this spring, we've experienced three very
15 significant storms which collectively impacted about
16 \$1.3 million customers, resulted in unscheduled replacement
17 of about 1,000 distribution poles, with restoration costs
18 totalling nearly \$40 million. Each individual storm was
19 bigger than any one of the storms that we had in 2016 or
20 2017.

21 These are the dynamics and ongoing changes of our
22 operating environment that I spoke about earlier, the ones
23 that we have evolved our redirection process to account and
24 respond to.

25 While our actual 2018 work is not identical to what is
26 in our application, we are on track to our budget and we
27 are continuing in our pursuit of continuous improvement and
28 operational excellence to deliver safe, reliable, and

1 affordable power to our customers.

2 I hope you've given -- I've given you a flavour for
3 the difference that exists in our approach and our
4 commitment to continuous improvement and operational
5 excellence.

6 You may recall during the executive presentation day
7 on December 7th, 2017 our president and CEO Mr. Mayo
8 Schmidt shared with you his vision for Hydro One and our
9 purpose. Mr. Schmidt comments that we can provide evidence
10 that we are an organization that is learning to be
11 responsive and is listening. I believe that the
12 application before the Board and the resulting changes to
13 the application since we filed embody that evidence, the
14 evidence which demonstrates our unwavering commitment to
15 our purpose, to operational excellence, to listening and
16 responding to our customers, to the Board, and to others
17 who have provided us with valuable insights.

18 I hope I have given you some view into our enhanced
19 ability to listen and to be responsive. We are aware of
20 the trust that has been placed in us, and we must manage
21 these commitments with an eye to today, tomorrow, and the
22 future.

23 I know that some questions were asked last week with
24 respect to planning, including our commitment to our
25 capital program, in light of our new vegetation management
26 program and the impact of data on our ability to make sound
27 planning decisions. We look forward to discussing these
28 items with you.

1 Mr. Chairman, distinguished members of the Board,
2 counsel, and intervenors, thank you for allowing me the
3 opportunity to speak to you today, and our planning panel
4 welcomes the questions on planning and execution evidence.
5 Thank you.

6 MR. QUESNELLE: Thank you.

7 MR. NETTLETON: With that, Mr. Chair, this panel is
8 available for cross-examination.

9 MR. QUESNELLE: Okay. Thank you, Mr. Nettleton.

10 Why don't we deal with an issue that Ms. Grice raised,
11 and we'll get that cleared out of the way so we know what
12 to expect.

13 Mr. Jesus, you heard the conversation, and I believe
14 you and Ms. Grice took us to the transcript from when panel
15 1 was with us last week. I wonder if you could provide
16 some -- any information you have on that.

17 MR. JESUS: Sure. So exactly what is the -- sorry?
18 Exactly what is the issue in reproducing the table, Ms.
19 Grice? Can you elaborate on what the concern is or what
20 the difficulty is, and I'll be gladly (sic) to take you
21 through it.

22 MS. GRICE: Okay. Well, why don't we start by pulling
23 up the evidence with Tables 4 and 5.

24 MR. JESUS: Okay.

25 MS. GRICE: So if we can please go to Exhibit A, tab
26 3, schedule 1, page 16.

27 MR. JESUS: Can I take you to -- rather than taking
28 you there, can I take you to the most updated table, which

1 is Energy Probe 17? Is that acceptable?

2 MS. GRICE: Sure, sure.

3 MR. JESUS: So I-18 Energy Probe 17 is the most up to
4 date table that we've produced.

5 MS. GRICE: So my understanding -- the difference
6 between where I was going to take you and this
7 interrogatory response is in the original evidence. You
8 provide this table for the average of 2013 to 2015, and
9 then you updated the table here to bring in 2016.

10 So this is precisely my point, is that in order to
11 update this table with new information, new requests,
12 new -- for example, the vegetation management program in
13 the original application was the old vegetation management
14 strategy.

15 So when you look at the columns for plan A, B, C and
16 plan B modified, I'm having difficulty moving from the
17 first column and recreating it all the way that I get the
18 same percentages for the forecasted impact on SAIDI.

19 So given that you were so readily able to update the
20 table in this interrogatory, is there an underlying
21 spreadsheet that you used to calculate these numbers that
22 you put in the table? That's what I'm looking for.

23 MR. JESUS: So we don't have an underlying
24 spreadsheet. We built this table, so if you want the
25 spreadsheet that we've got, we can provide it. But
26 effectively, it's the numbers that you see here and I can
27 take you through how we calculate it.

28 All the calculations are underpinned by I29, Staff

1 164.

2 MS. GRICE: Okay. Maybe if I could get that
3 underlying spreadsheet I could clear up what my issues are.

4 MR. JESUS: When I say underlying spreadsheet...

5 MR. QUESNELLE: The microphones are connected, so if
6 one of you shuts them off, they both go off. Perhaps it's
7 on now.

8 MR. JESUS: Okay. So when -- I'm being -- I'd be more
9 than glad to produce that spreadsheet, but all you're going
10 to get is numbers and just multiplications in terms of how
11 we got the 7.4. The 7.4 is founded on AMPCO 13, which
12 provides all of the SAIDI numbers over the last five years.
13 All that is is an average over the period of '13 to '16, so
14 that's how we end up with 7.4.

15 The contributions to SAIDI, we take you through, again
16 from AMPCO 13 where we have the contributions by various
17 causes. We end up with the average over those five years
18 to come up with 6 percent due to poles, 2 percent due to
19 stations and other line components.

20 When we talk about other line components and poles, it
21 is really about -- we call it defective equipment, so it is
22 really the combination of those two.

23 So if you look back over the past five years, you will
24 see that when you add up the poles and the other line
25 components as well as the stations, they should sum up to
26 the average of the five years from a defective equipment
27 perspective.

28 Then the underlining calculations in terms of had you

1 we get 12 percent, 10 percent, they are provided again in
2 I-29, Staff 164, as well as appended by JT3.10.

3 MS. GRICE: Okay.

4 MR. QUESNELLE: So I want to go further, Mr. Jesus,
5 but I'm just going to suggest that perhaps the provision of
6 the spreadsheet along with the narrative you just provided
7 on the transcript would assist. Ms. Grice?

8 MS. GRICE: Yes, it would. Thank you.

9 MR. JESUS: Okay, thank you. We'll provide the
10 spreadsheet.

11 MR. SIDLOFSKY: Perhaps we could make that a new
12 undertaking number because there was a response to
13 undertaking J1. --

14 MR. QUESNELLE: Good idea.

15 MR. SIDLOFSKY: J6.1.

16 **UNDERTAKING NO. J6.1: TO PROVIDE THE SPREADSHEET AND**
17 **AN EXPLANATION OF HOW IT WAS DERIVED**

18 MR. QUESNELLE: Mr. Rubenstein?

19 MR. RUBENSTEIN: Thank you. Anyway, we just came back
20 from lunch. I am wondering if there is a sense of when you
21 wanted to take a break. I'm tired after the spreadsheet
22 already.

23 MR. QUESNELLE: Let's go to 3:30.

24 **CROSS-EXAMINATION BY MR. RUBENSTEIN:**

25 MR. RUBENSTEIN: All right. Thank you very much.
26 Panel, I have a compendium of documents. I don't know if
27 Board Panel has it, if we could have that marked.

28 MR. SIDLOFSKY: That will be Exhibit K6.2.

1 **EXHIBIT NO. K6.2: SEC CROSS-EXAMINATION COMPENDIUM**
2 **FOR HONI PANLE 5**

3 MR. RUBENSTEIN: And the compendium includes materials
4 from the record of this proceeding and materials from the
5 last proceedings, as well as a spreadsheet that I provided
6 -- those materials that I provided to my friend yesterday
7 morning.

8 The compendium contains most of the information I'll
9 be referring to. There is some stuff that accidentally got
10 left out, but I'll ask -- is this better?

11 MS. BRADLEY: That's better.

12 MR. RUBENSTEIN: I'd like to start off at a high
13 level, just to get a sense of what the capital request is
14 and to situate this application.

15 If we can turn to page 2 of the compendium, this is
16 your response to SEC 38 which you filed last week. Do I
17 have that correct?

18 MS. BRADLEY: Yes, that's correct.

19 MR. RUBENSTEIN: And this provides some of the most
20 up-to-date tables, as I understand it.

21 If we flip through and we move to page 4, this table
22 has the 2013 to 2017 capital expenditure numbers for Hydro
23 One. Do I have that correct?

24 MS. BRADLEY: Yes, that's correct.

25 MR. RUBENSTEIN: And what it shows is that if we add
26 up the totals in the actual columns for the last five
27 years, Hydro One spent approximately 3,235,000,000 in
28 capital expenditures. Do you accept that, subject to

1 check?

2 MS. BRADLEY: Subject to check, yes.

3 MR. RUBENSTEIN: And if we flip over to page 5, this
4 is the proposal for the custom IR period. Do I have that
5 correct, the capital expenditure request under "total"?

6 MS. BRADLEY: Yes, that's correct.

7 MR. RUBENSTEIN: And when I add that up, I get about 1
8 -- when sorry, when I add that up I get 3.571 billion in
9 the forecast expenditures. Do you accept that, subject to
10 check?

11 MS. BRADLEY: Sorry, you said three...

12 MR. RUBENSTEIN: 3.571.

13 MS. BRADLEY: Yes, that's correct.

14 MR. RUBENSTEIN: So in this five-year period, it
15 appeared to me you're forecasting to increase the capital
16 expenditures over the previous five-year period by about
17 10.4 percent?

18 MS. BRADLEY: Capital expenditures are increasing,
19 yes.

20 MR. RUBENSTEIN: Would you take it, subject to check,
21 that just these five years over the last five years, it's
22 about a 10.4 percent increase?

23 MS. BRADLEY: Subject to check, yes.

24 MR. RUBENSTEIN: And if we look through the various
25 categories of spending, the system -- access system,
26 renewal system, service and general plant, the largest
27 changes, as I see it, is reduction in system access, which
28 I understand is primarily non discretionary investments and

1 its increase in system renewal.

2 MS. BRADLEY: That's correct.

3 MR. RUBENSTEIN: And if we turn to page 7, we have --
4 we see the in-service additions between 2013 and 2017. And
5 I see that you brought into service about \$3.442 billion;
6 do you accept that, subject to check?

7 MS. BRADLEY: I'm sorry, can you repeat? I was just
8 trying to follow your table here.

9 MR. RUBENSTEIN: Sure. As I'm looking at table 1 on
10 page 7, this shows the actual and approved spending over
11 the five years on an in-service additions basis. And if I
12 just look at the actual spending, I get that you brought
13 into service, between 2013 and 2017, about \$3.442 billion;
14 do you accept that, subject to check?

15 MS. BRADLEY: Yes.

16 MR. RUBENSTEIN: And then if we look at table 8, this
17 is the forecast in-service additions -- sorry, on page 8,
18 if we look at table 6 on page 8, we see the in-service
19 capital addition forecast between 2018 and 2022, what this
20 application is based on; do I have that correct?

21 MS. BRADLEY: Correct.

22 MR. RUBENSTEIN: And what I see when I add all those
23 numbers are up, you are seeking in-service additions of
24 \$3.628 billion. Do you accept that, subject to check?

25 MS. BRADLEY: Yes.

26 MR. RUBENSTEIN: So you are seeking to add about 5.4
27 percent more in-service during the test year than you did
28 in the previous years, correct?

1 MS. BRADLEY: Correct.

2 MR. RUBENSTEIN: If we turn back to page 7, what we
3 see -- and I think you discussed this in your opening --
4 but if we take a look at what the actuals were versus what
5 you were approved in the last Board proceeding from 2015 to
6 2017, it looks like you brought into service an additional
7 \$122.5 million. Do I have that right? It's about 6.2
8 percent more?

9 MS. BRADLEY: Sorry, which lines are you looking at
10 right now?

11 MR. RUBENSTEIN: I'm just -- if we take a look at the
12 2015 to 2017 actuals versus OEB-approved, I have that you
13 brought into service \$122.5 million more than was approved;
14 do I have that correct?

15 MS. BRADLEY: Yes, you do.

16 MR. RUBENSTEIN: So that's about 6.2 percent more than
17 approved?

18 MR. BOWNESS: Sorry, if we look at the in-service
19 addition summary, which was Exhibit D1, tab 1, schedule 2,
20 that would have had the cumulative totals, correct, which
21 would have been -- which would have had a variance of 2015
22 of 104.6 million, a variance in 2016 of 33.2 million, and
23 then a 2017 negative variance of negative 44.2, so the
24 rough math on that in my head is about a \$95 million
25 variance.

26 MR. RUBENSTEIN: All right. Well, when I do the math,
27 looking at your table, we get 122.5.

28 MR. BOWNESS: Okay. Yes. So there was a -- with the

1 most recent updates there is an additional 31 million as
2 compared to the pre-filed evidence, so, yeah, that would
3 account for the difference, so that's correct. I'm sorry.

4 MR. RUBENSTEIN: Okay. So just so we're clear on the
5 record, the difference is 122.5 million.

6 MR. BOWNESS: Yes, that's correct.

7 MR. RUBENSTEIN: And that's about 6.2 percent more
8 than what was approved, correct?

9 MR. BOWNESS: Cumulative across the three years, yes.

10 MR. RUBENSTEIN: And am I correct that in the 2013-
11 0416 proceeding the Board granted you your entire request
12 with respect to capital expenditures and in-service
13 additions? Do you want me to pull up the decision?

14 MS. BRADLEY: Yeah, I'd have to look at the decision.

15 MR. RUBENSTEIN: Well, if we could pull up the -- go
16 to page 37 of the 416 decision. We see this right under
17 "findings". The Board says:

18 "The OEB has determined it will approve Hydro
19 One's proposed rate base and corresponding
20 capital expenditures plan for the 2015 to 2017
21 period as submitted."

22 MR. BOWNESS: Yes, for those three years. I thought
23 you were mentioning 2013's approved funding. That's where
24 the confusion was.

25 MR. RUBENSTEIN: No, I'm just talking about the last
26 proceeding --

27 MR. BOWNESS: The last proceeding for 2015 to '17,
28 yes.

1 MR. RUBENSTEIN: All right. So not only did you spend
2 what the Board approved for you to spend, you spent
3 6.2 percent more than that?

4 MS. BRADLEY: Correct.

5 MR. RUBENSTEIN: And you are seeking to add that to
6 rate base in this proceeding. You are seeking approval to
7 include that in the rate base going forward. Do I have
8 that correct?

9 MR. BOWNESS: Yes, we're seeking to true-up for the
10 actuals that have been in service over the previous period,
11 as well as the approval to move forward with the five-year
12 plan.

13 MR. RUBENSTEIN: And I take it by your request you
14 believe that ratepayers should have to pay for this -- for
15 your overspending over the past three years, compared to
16 approved?

17 MR. BOWNESS: So as the process works, we own the risk
18 during the rate filing period for any variances that occur
19 during the execution of the work program as compared to the
20 plan, and then we come back here and we need to explain the
21 variances and seek approval from the Board based on those
22 explanations, and we believe we've provided that
23 information in the in-service addition exhibit update,
24 which was D1, tab 1, schedule 2, as to the reasons for the
25 changes, but if there's further questions on the reasons
26 for the variances I'm happy to respond to those questions.

27 MR. RUBENSTEIN: No, but I take it -- so then your
28 answer is, yes, you believe ratepayers should, going

1 forward, have to pay for the additional \$122.5 million of
2 in-service additions --

3 MR. BOWNESS: Yes, we believe that the expenditures
4 over the prior period are prudent and that they were
5 required in order to meet the plan needs as well as some
6 emergent needs, especially with respect to joint-use work
7 that we did, as well as storm volumes that were over plan
8 in the 2015 period.

9 MR. RUBENSTEIN: Even though the Board gave you
10 everything you needed, you needed some more?

11 MR. BOWNESS: Things did change, yes, and we've
12 explained those variances.

13 MR. RUBENSTEIN: All right. So let's take a look at
14 what you did during the last few years, and if we can turn
15 to page 25 of the compendium. So you were asked in
16 interrogatory AMPCO 22, part A for an analysis of the
17 actual accomplishments of work compared to the investment
18 plan between 2014 and 2017; do you see that?

19 MR. BOWNESS: Yes, I see that.

20 MR. RUBENSTEIN: And if we move over to the next page,
21 where you provide your response, I see a lot of negative
22 numbers, mostly negative numbers; would you agree with me?

23 MR. BOWNESS: Yes, I would agree that the majority of
24 the unit count numbers are negative.

25 MR. RUBENSTEIN: And if we go down -- am I correct
26 that where we see in the -- at the table ISD, that means --
27 and we see the S numbers, S is what you called, at least in
28 the last proceeding, sustaining category of investments; am

1 I correct?

2 MR. BOWNESS: Yes, that's correct.

3 MR. RUBENSTEIN: And those generally map to system
4 renewal? I know it's not perfect, but that's a general
5 type?

6 MS. GARZOUZI: Generally, that's correct.

7 MR. RUBENSTEIN: And just -- so if we just look at
8 some of these, I see that you did less transformer
9 replacements than you said you would do in the last
10 proceeding? Do I have that correct?

11 MS. GARZOUZI: That's correct.

12 MR. RUBENSTEIN: Less station refurbishments? Do I
13 have that correct?

14 MS. GARZOUZI: That's correct.

15 MR. RUBENSTEIN: Less pole replacements? Do I have
16 that correct?

17 MS. GARZOUZI: That's correct.

18 MR. RUBENSTEIN: Less PCB lines requiring
19 replacements? Do I have that correct?

20 MS. GARZOUZI: That's correct.

21 MR. RUBENSTEIN: Less large sustaining initiatives?

22 MS. GARZOUZI: That's correct.

23 MR. RUBENSTEIN: So if we look at each of the ISDs in
24 there, every single one that has an "S", so sustaining
25 programs, every single one shows that Hydro One replaced
26 less assets and did less work than you said you would do
27 over 2015 to 2017; do I have that correct?

28 MS. GARZOUZI: The table in AMPCO 22 is an insular

1 table, it is very focused, it provides the program that you
2 just listed.

3 When we look at work accomplishment, it is a more
4 complex picture. I think we need to step back a little bit
5 to see what is accomplished.

6 An example is around sustainment initiatives. A
7 project is not -- all projects are not equal. There is a
8 lot of variation in project count, so the project in
9 itself, the accomplishment of it is not a reflection of
10 accomplishment.

11 If we look at the wood pole replacement as an example,
12 while it was slightly under-accomplished, it was still 91
13 percent accomplished. And if we look at stations here, we
14 see that the planned refurbishments were under, but we did
15 have numerous unplanned or demand failures that were
16 addressed. Those can be found in AMPCO 25.

17 And so I think that, looking at this very
18 specifically, we see that sustainment is under-
19 accomplished, but when we step back and we look at all the
20 categories, there is puts and takes from a Hydro One
21 perspective.

22 MR. RUBENSTEIN: Sorry, just back to the question I
23 was asking, if we look at each of the sustaining ISD
24 programs or projects that you have listed, I'm correct that
25 every single one you did are negative numbers. You did
26 less work than you said you would in your last proceeding.
27 That's what this table is showing me. Do I have that
28 correct?

1 MS. GARZOUZI: From that perspective, that's correct.

2 MR. RUBENSTEIN: So in the last application, the Board
3 gave you all the money you needed -- you asked for, and yet
4 you didn't do the work that you said you were going to do;
5 do I have that correct?

6 MS. GARZOUZI: There are external factors occurred.
7 We had -- we experienced more severe storms, as Darlene
8 Bradley mentioned. We accelerated the CDMA replacement so
9 there were demand factors that occurred, and so we
10 accounted for those, and that's why you're seeing some
11 negatives in this table.

12 MR. RUBENSTEIN: Well, in development capital as well
13 I'm seeing less new connections, less service upgrades,
14 less service cancellations, less upgrades driven by growth,
15 less asset life-cycle optimization and operational
16 efficiency, less reliability improvements; do I have that
17 correct as well? So the "D", which I -- development, I
18 believe, was the previous term, those are, my
19 understanding, demand-based, those are all also negative
20 numbers.

21 [Witness panel confers]

22 MS. GARZOUZI: So that's correct, that the development
23 project accomplishment listed in AMPCO 22 is under
24 accomplished, but we had some changes and we redirected
25 funding to other areas of the business.

26 MR. RUBENSTEIN: Am I correct that you are still going
27 to need to do some of the work that you obviously didn't
28 get to between 2015 and 2017, correct, with respect to

1 sustaining capital specifically? You still need to replace
2 some poles, you still need to refurbish stations, correct?

3 MS. GARZOUZI: Correct.

4 MR. RUBENSTEIN: So they just got pushed into this
5 application?

6 MS. GARZOUZI: They got deferred.

7 MR. RUBENSTEIN: Could I ask you to turn to 28 -- or
8 27 of the compendium?

9 We had asked you in SEC.42 to fill out a spreadsheet.
10 If we can turn to page 28, we see the spreadsheet and
11 essentially what it asked you to do was -- we took a table
12 from the last proceeding, and we asked you to fill out, on
13 the same basis, what you spent in those various categories;
14 do you see that? I've summarized what this table is,
15 correctly?

16 MS. GARZOUZI: Yes.

17 MR. RUBENSTEIN: And you were able to provide
18 information for between 2015 and 2017, but my understanding
19 is you couldn't do it on a going-forward basis because the
20 program numbers have changed and they are being
21 reorganized.

22 Do I generally have that correct? Not for all of
23 them, but for some of them, that's what I understood.

24 MS. GARZOUZI: For some, that's correct.

25 MR. RUBENSTEIN: And if I could ask you to turn to
26 page 30, this is SEC 52 and we again asked you to fill out
27 another table. And if we flip over to page 31, we see that
28 table and essentially it is a similar basis we -- and I

1 think this is actually where you got the numbers from, the
2 numbers match up to our previous table we were looking at.
3 This is on an asset basis. We asked you what did you say
4 you were going to do and then what the assets that you did
5 do and going forward.

6 Do I have that correct, what this table is
7 representing?

8 MS. GARZOUZI: That's correct.

9 MR. RUBENSTEIN: If you go to page 32, this is a chart
10 we put together to look at them both of them at the same
11 time for the sustaining category. And what the chart shows
12 is for each of the programs or projects, we have the costs
13 and the assets and the unit costs, just taking the assets
14 and dividing them by the costs in the first set of columns
15 for the -- what was in the EB-2013-0416 proceeding. Do you
16 see that?

17 MS. GARZOUZI: I do.

18 MR. RUBENSTEIN: And in the next three columns, we
19 have the same thing. But what you showed that you did do
20 for 2015, 2016, and the costs, the actuals, do you see
21 that?

22 MS. GARZOUZI: Yes.

23 MR. RUBENSTEIN: And we also then calculated a unit
24 cost by taking the assets and dividing by the costs; do you
25 see that?

26 MS. GARZOUZI: I do.

27 MR. RUBENSTEIN: And then we have the unit costs in
28 the last row, and this is calculating the change in unit

1 cost versus what you said you would do and what you did do;
2 do you see that?

3 MS. GARZOUZI: Yes.

4 MR. RUBENSTEIN: And I provided the spreadsheet to
5 Hydro One yesterday. You may not agree with what I did,
6 but was there any -- did you look at the numbers? There
7 was no calculation errors? I want to make sure we're not
8 argue about...

9 MS. GARZOUZI: I didn't verify your calculations, but
10 I'll take them, subject to check.

11 MR. RUBENSTEIN: Okay, thank you very much. If we
12 take a look at the comparison column, that's what I want to
13 focus on. What I see for transformer spares and
14 replacements is on a unit cost basis, you were below, which
15 is a positive in my mind, for 2015. You were above in 2016
16 and then you were below again in 2017; do you see that?

17 MS. GARZOUZI: Yes.

18 MR. RUBENSTEIN: Then for mobile unit substations, do
19 you see that there's two division errors in the Excel
20 spreadsheet and that's because you spent money, but you
21 actually -- there's no mobile unit substations.

22 Can you help explain that?

23 MS. GARZOUZI: So what you see there is the difference
24 between in-service additions and capex, so it's the delay
25 between the receiving of the unit and the spend on the
26 unit. And so the vendor was delayed, and that's why you
27 don't see the unit as a count. So it's a capex ISA.

28 MR. RUBENSTEIN: So the assets are in --

1 MS. GARZOUZI: ISA; when you receive it, it's ISA and
2 you spend when you're buying it.

3 MR. RUBENSTEIN: Is that for all of the -- would that
4 be similar for all the entities is, or is that just for
5 that one? So when you say an asset, you have asset in your
6 assets, is that on a capex basis or in-service additions
7 basis?

8 MS. GARZOUZI: Typically for lines assets, the ISA and
9 capex, it matches. It is usually very close to 90 to 100
10 percent.

11 On the stations asset, there is more an in-service
12 element that is very important, and so you will see that
13 more prevalent in the station refurbishments, the MUS
14 procurement, the demand work less so because it's occurring
15 in real-time essentially.

16 MR. RUBENSTEIN: All right. Well, if we go down that
17 table, we have spill containment and it shows two times,
18 one and a half times more than you had forecast on a unit
19 cost basis; do you see that? 196.7 percent and 167
20 percent.

21 [Witness panel confers]

22 MS. GARZOUZI: Two things are occurring there. In the
23 in-service capex, there is also a decrease in units to
24 accommodate for the higher cost that was accrued due to
25 more costly than expected spill containment, so difficult
26 spill containment installation.

27 MR. RUBENSTEIN: All right. And if we go down for
28 closers, again this one is 212 percent above your unit cost

1 forecast, 365 percent above your unit cost forecast and
2 then 334 percent above your unit cost forecast.

3 MS. GARZOUZI: The forecasted unit cost here was low.

4 The structural changes were needed really in order to
5 replace the reclosers with electronic reclosers to align
6 with our strategy to modernize the grid and replace devices
7 with more smarter devices where possible.

8 MR. RUBENSTEIN: Station refurbishments, I see, 211
9 percent more, 433 percent more, 209 percent more than you
10 had forecast.

11 MS. GARZOUZI: This is something that we discussed at
12 the technical conference. We talked about the fact that
13 when we came to you last time, we talked about an IMDS
14 which was a modular distribution station. It was quite an
15 innovative concept at the time, and the assumption that was
16 made was that we could build a distribution station for
17 a million dollars.

18 That proved to be incorrect and therefore, the IMDS
19 came in closer to \$1.9 million and that's why you see the
20 cost being higher. We also -- another thing occurred which
21 is the station-centric refurbishments, which you've heard
22 about also. So the combination of the more expensive IMDS
23 and the station-centric refurbishment is what you're
24 seeing. So there is -- in the station I will admit there
25 is a lot of shifting of capital between the various
26 categories, and it's not easy to track overtime.

27 MR. RUBENSTEIN: So the first part, the modular
28 station, you thought you could do it for a certain price,

1 turns out it's much more expensive?

2 MS. GARZOUZI: I think that the assumption of
3 1 million was highly optimistic. From what we've seen,
4 1.9 million is more realistic, if we look at the
5 transformer cost, the equipment cost, and our ability to do
6 them. Modular stations are more cost-effective than
7 traditional distribution stations. They just are not as
8 cost-effective as we had anticipated.

9 MR. RUBENSTEIN: If we go down to the, under the lines
10 category, pole replacements, do you see that you are doing
11 them about 5 percent, came in about 5 percent on average,
12 just eyeballing that, per year, correct? So you are more
13 efficient in the pole replacement than you had forecast?

14 MS. GARZOUZI: That's right, so that program was 91
15 percent accomplished at 86 percent of the approved budget,
16 which means that the unit price came in better than
17 expected in that case.

18 MR. BOWNESS: And on that, one of the main drivers for
19 that is our implementation of the mobile platform. That's
20 spoken to in a number of places in here, specifically on
21 the productivity exhibit, so pole replacement costs were
22 possibly impacted through our mobile implementation.

23 MR. RUBENSTEIN: And the mobile is, everyone has an
24 iPad, essentially.

25 MR. BOWNESS: A little more complex than that. It is
26 an SAP-based solution with GIS map layers on enterprise
27 rugged tablets, but, yes, in the same context of a mobile
28 device.

1 MR. RUBENSTEIN: And then we look, and we go down, and
2 we have got large sustaining initiatives, and that, we have
3 142 percent and 79 percent, and then you spent money that I
4 didn't -- I guess didn't -- you didn't complete the work, I
5 guess, in 2017.

6 Sorry, I'm looking at -- my apologies, that's PCB
7 lines equipment replacement, 142.4 percent and 79 and then
8 division error, since you did zero in 2017.

9 MS. GARZOUZI: Can you please repeat your question?

10 MR. RUBENSTEIN: Sure. If we look at PCB lines
11 equipment replacement, S11. I am reading 2015, you are
12 142.4 percent above, 79 percent below in 2016, and then I
13 get a division error, and that's because if you look at
14 2017 actuals you actually -- there is zero assets there,
15 but you spent money. And you can't divide a number by
16 zero, at least in Excel.

17 MS. GARZOUZI: If we look at the trends, so if what
18 you're getting at is the unit price, I don't agree that
19 it's getting worse. I think that it depends on the mix.
20 So this is a program that addresses pole top transformers
21 that are contaminated with PCB, and there was a pad-mounted
22 element to this historically, so there was pad-mounted,
23 pole-mounted. In some instances the pole is also being
24 replaced, which could affect your unit cost, so if you
25 consider the pole top and the pad, I don't think that there
26 is a unit price trend that can be correlated here. I would
27 say that it's average price.

28 MR. RUBENSTEIN: I wasn't making an assumption about

1 anything. If anything, it goes down. I'm accepting it
2 goes down in 2016.

3 MS. GARZOUZI: Sorry?

4 MR. RUBENSTEIN: I'm just looking at -- just walking
5 through the trend with you. It's 142 percent in 2015, in
6 2016 it's 79 percent, which is -- means you came in below
7 on the unit cost basis. Then my only thing is in 2017 it
8 appears you spent money, but you didn't do any assets, and
9 that may be an ISA issue, I don't know.

10 MR. NETTLETON: So, sorry, Mr. Rubenstein, are you
11 asking the witness --

12 MR. RUBENSTEIN: Do I have that correct?

13 MR. NETTLETON: Are you asking the witness why you
14 spent money but there is no assets recorded in the --

15 MR. RUBENSTEIN: Yes.

16 MR. NETTLETON: -- 2017 actual column?

17 MR. RUBENSTEIN: Sure.

18 MR. NETTLETON: Okay.

19 MS. GARZOUZI: On the actual spend I'll get back to
20 you at the break, on the 10.6. I'll let you know why
21 there's a number there. It could be an ISA. I'm not sure.
22 I can confirm.

23 MR. RUBENSTEIN: And last on my table we have all the
24 information, is large sustaining initiatives, and what I
25 see is in 2015 128 percent above on a unit cost base to 100
26 in 2016, 163 percent on a unit cost basis, and then in
27 2017, growing to 224.4 percent increase than what you
28 forecast on a unit cost basis; do you see that?

1 MS. GARZOUZI: I do. The line component specifically,
2 I wouldn't look at it as a unit cost approach. Some of
3 them could be half a kilometre, some of them could be six
4 kilometres in length, and so the cost and the project
5 division is not a reflection of unit cost. What would be a
6 better measure would be to potentially compare asset count
7 or distance. So this does not give you a meaningful
8 apples-to-apples comparison.

9 MR. RUBENSTEIN: All right. Well, what I take away
10 from this table, and I'll put it to you, is I see that
11 generally speaking you do the work at a higher cost than
12 you said you were going to in the last proceeding; would
13 you agree with that characterization?

14 MS. GARZOUZI: No, I don't.

15 MR. RUBENSTEIN: You don't?

16 MS. GARZOUZI: If we look at our largest capital
17 spend, it is really the wood pole replacement program,
18 trouble calls, joint-use programs, and when we look at
19 those, we see a positive unit price trend or we see that
20 we're doing a high volume of work quite efficiently.

21 MS. BRADLEY: The other thing I'll just add to what --
22 the other thing I'll add to what Ms. Garzouzi said is areas
23 where we did see a larger variance, such as station
24 refurbishments, there was a significant change in approach
25 to ensure we were doing the right work while we were there
26 instead of revisiting it later to do, like, multiple
27 visits. So, you know, yes, the price did go up, but there
28 was a significant change in the approach to that work which

1 led to a difference, and so I don't think that that's a
2 unit cost comparison, in that it was different work.

3 And the other one that Ms. Garzouzi spoke about is a
4 large sustainment initiative, which is similar in that we
5 are going to areas that need a large project, and the
6 reason they are characterized the way they are is they
7 aren't repeatable, and you do have to go out and
8 individually scope and develop each project and estimate
9 each project. So if the work priority changed and you are
10 going to a location with larger scope of work, it's going
11 to be very different, so the comparison of a unit price
12 isn't really applicable in these cases.

13 MR. RUBENSTEIN: So when the unit cost increases it's
14 because the scope or the method of doing the work has
15 changed?

16 MS. BRADLEY: It can be, yes.

17 MR. RUBENSTEIN: So in 2021 when we're back here, or
18 2022 when we're back here, and we're looking at the same
19 information in this case, and the unit costs are higher, it
20 is because your scope will have changed; is that...

21 MS. BRADLEY: It is not because the scope of work. I
22 mean, in some cases the stations, I agree, it was a change
23 in our approach in the scope of work. In other cases what
24 I'm saying is a unit price isn't an applicable measure to
25 measure effectiveness due to the variability in what the
26 work could be.

27 MR. RUBENSTEIN: Well, then how should we measure
28 effectiveness? If it is not unit cost and if we saw that

1 you've done less -- we looked at the assets. You've done
2 much less of the assets. How should the Board and parties
3 judge your performance over the last three years?

4 MR. BOWNESS: So I think there is a, you know, a key
5 message that I want to put out here is that we recognize
6 that the last number of years from a work execution
7 perspective hasn't met -- I'm sorry.

8 So the last few years within our performance is not
9 the performance that we anticipate going forward.

10 If you look at the numbers, there are could some
11 counts that are down. If you look at the variability, we
12 have variability in certain work programs.

13 If you look at some of our estimating practices,
14 historically we would use very much just unit cost basis
15 for stationery refurb. We heard a lot about station
16 refurb from the Navigant group this morning around issues
17 that we had with how we were managing those projects.

18 We made a decision back in 2015 to move the station
19 refurb program in under the project management group that I
20 used to run when I was on the transmission side, to bring
21 that rigour from a project estimating and a project
22 execution perspective.

23 So we very much believe that our results going forward
24 are going to be much tighter to our plans that we have put
25 forward. But we also have to anticipate that there is
26 going to be variability. If you look at this past month
27 alone, these two storms that we had where we had almost
28 500,000, greater than 500,000 customers impacted by storm

1 events, those two storms combined were \$40 million of
2 expenditure. That chewed up two-thirds of this year's
3 storm budgets. We are having to go through a process right
4 now around re-directing funds.

5 We are looking at levers that we have with worst
6 perform feeders. We're looking at levers we have around
7 pole replacements. We are managing within the capital
8 envelope and this year, you know, we anticipate when we
9 come back to present the results, we'll say storm costs are
10 higher than budget and therefore this other element is
11 going to be lower than budget, but we'll explain why.

12 What we're hopeful of over the five-year period is
13 that some of those level out. Perhaps next year becomes a
14 low storm year, and then we can reinvest those dollars that
15 are saved next year to catch up on the accomplishments that
16 we missed this year. So we do have to recognize that there
17 is going to be some variability as we move forward, and we
18 are also recognizing that our performance in the last
19 period wasn't as strong as we planned to have it for the go
20 forward period.

21 DR. ELSAYED: Can I interject for just one second? In
22 your introductory remarks, Ms. Bradley, you talked about
23 \$400 million in productivity in the last five years, since
24 the last application. What was the basis of that number?

25 MS. BRADLEY: That's the productivity that's
26 incorporated into this plan.

27 DR. ELSAYED: Yes, I'm not sure if it is incorporated,
28 but my note here says you mentioned \$400 million in

1 productivity in the five years since the last application.

2 MS. BRADLEY: It's 400 -- I might have misspoke. It
3 is 400 million in productivity, which is --

4 DR. ELSAYED: Maybe I misspoke.

5 MS. BRADLEY: -- in this plan.

6 DR. ELSAYED: Compared to the last one.

7 MS. BRADLEY: Which was significantly above what we
8 had in our last application.

9 DR. ELSAYED: So what makes up this \$400 million?

10 MS. BRADLEY: It's in Staff...

11 MR. BOWNESS: So if we could bring up Staff 123, which
12 is -- let me just get the issue number because I think
13 that's how we have to pull it up.

14 So if we pull up issue 25, Staff 123, if you scroll
15 down a little bit, you will see the productivity
16 initiatives that we have identified across the 2018 to '22
17 time period, broken down by initiative.

18 And down at the bottom, you will see the totals that
19 are -- you know, for the first year, 2018, we have
20 \$36 million of capital, \$30 million of OM&A, and 4 million
21 of common. So that works out to approximately 70 million.

22 If you look out to the last year, you will see that
23 that increases to about 90 million. So the average of that
24 is 80 million times five years is the \$400 million.

25 DR. ELSAYED: Thank you.

26 MR. RUBENSTEIN: Just going back to what we were
27 discussing, if your -- based on what we talked about at the
28 beginning, you spent -- you're seeking to put into rate

1 base because you spent, on the in-service basis,
2 \$122.5 million more than the Board gave you.

3 And, Mr. Bowness, you admit that your performance was
4 not as it should be. Why should ratepayers have to pay for
5 that additional amount of money you are seeking to put into
6 rate base?

7 MR. BOWNESS: So the way I would position it is the
8 difference is with respect to the estimated costs that were
9 put forward to the Board during the last panel and the
10 estimated volume of work that we would accomplish. And
11 that's the comparison to the actual units and then the
12 actual cost of what's been performed.

13 That's what I'm saying isn't as tight as we planned to
14 have going forward.

15 I can assure you that we continue to manage and
16 monitor costs on a project by project and program by
17 program basis, to make sure that we're delivering a
18 efficiently and effectively.

19 If I can go to your table that you have, an example
20 that I'd like to bring forward within the cost impacts that
21 we have that drive some of that overage is if we look at
22 the line assayed on the screen that we have, trouble calls
23 and storm damage.

24 So in the last plan, we believed that storm costs and
25 trouble costs during the three-year period would be
26 58 million, 61 million, and 62 million.

27 If you look at our actuals of what came in, they were
28 16 million higher, \$24 million higher and \$26 million

1 higher. These are external events driven by weather,
2 driven by trouble and outages that we have that we need to
3 respond to make sure that we restore the power and ensure
4 the lights are on in the province.

5 But when you balance that with a capital envelope, we
6 have to try to manage within our means. However, that
7 upward pressure of tens of millions of dollars does result
8 in us coming back at times to say you know what, we were
9 over.

10 The piece that I would like to put forward from a
11 timing perspective is you brought up the comment that we
12 were 6 percent over cumulative, over the full period of '15
13 and '16 and '17. We've put a lot more focus on ISA. We've
14 put a lot more focus on redirection. We were really trying
15 to manage within our means. And if we look at the
16 percentage dealt over the last two years, which is the 2016
17 and '17 period, we were within 1.3 percent or less than
18 2 percent variability over that couple year period.

19 So there is a lot more focus and attention around
20 managing within the envelope. 2015 is the anomalous year,
21 \$104 million within that one year, and we did explain that
22 within VECC 28 that the two main drivers for that were
23 external factors of joint use and relocations, as well as
24 trouble calls and storm damage.

25 So it's more of an issue with respect to what was
26 submitted of the plan versus the experience we had with the
27 assets.

28 MR. RUBENSTEIN: What is -- did you say joint use and

1 line relocation? Is that what you said?

2 MR. BOWNESS: Yes.

3 MR. RUBENSTEIN: And that is a driver for the
4 increased cost?

5 MR. BOWNESS: So maybe if we could pull up VECC 28.
6 It is issue -- Exhibit I, tab 23, so issue 23, I guess it
7 would be -- sorry, issue 33, VECC 28.

8 And you will see that in that -- oh, we're just
9 waiting for it for a second there.

10 So the variance within that overall year was
11 105 million. But 43 million of that, a substantial amount,
12 was with respect to joint use and relocations, which drove
13 a variance of a \$29 million change. Some of that was in
14 your work, some of that was work that was underway and
15 assets under construction, and was completed in 2015 to
16 make sure that we had the work fully completed to meet the
17 external need. As well as trouble calls and storm damage
18 in that one year was 15 million, but as we saw from
19 examples, that that variance carried forward into future
20 years.

21 MR. RUBENSTEIN: I understand why storm damage, you've
22 got to deal with the storms, right. I don't think you
23 would get any disagreement.

24 My question is this. If the view is on all the other
25 stuff, where your unit costs are higher than you forecast,
26 why should the ratepayers then have to spend in addition to
27 that? Why shouldn't that be netted out the additional
28 amounts? You overspent, not just an things that are

1 reasonable, I accept, but you appear to have overspent on
2 what you said would you do on a unit cost basis.

3 MR. BOWNESS: As compared to an estimated unit cost,
4 the actual costs were higher.

5 MR. RUBENSTEIN: Yes.

6 MR. BOWNESS: I wouldn't say that we overspent. We
7 paid for the materials, the labour, the fleet and equipment
8 to deliver the work, and the cost of doing the work was
9 more expensive than what we had estimated.

10 So what does that call upon us to do is get better at
11 estimating, and we are continuing to invest in our systems
12 and our processes and our reporting and our summary-level
13 documentation so that we can have a tighter alignment
14 between estimates and actuals going forward.

15 MR. RUBENSTEIN: And when the Board made its decision
16 in the 2013-0146 and it was looking at the dollars it was
17 going to approve versus the work you had going to do, and
18 if you had come in with, say, more realistic estimates in
19 your view, do you think the Board would have come
20 necessarily to the same decision?

21 MR. NETTLETON: I'm objecting to that question. It
22 calls for speculation, Mr. Chairman. I don't think it's
23 fair to have the witnesses speculate on what the Board may
24 or may not do if different estimates came in.

25 MR. RUBENSTEIN: Okay, I'll withdraw that question.

26 MR. BOWNESS: And I think macro-ly, going forward,
27 another thing that has changed significantly is the focus
28 in on the outcomes. Historically, we did focus in on the

1 unit production rates, which doesn't necessarily yield the
2 best outcome. So if you look at a pole replacement unit
3 cost, if you need to optimize and make sure you come into
4 the OEB here and make sure that we're able to say that our
5 unit cost numbers is bang-on, right, you may drive
6 behaviour on looking at the less expensive poles to
7 replace, the ones that are near the roads, the ones that
8 have easier access, the ones that are in the better soil
9 conditions, but what we're really focusing in on going
10 forward is the balanced view of the outcomes, so within our
11 scorecard going forward, you see the focus on reliability,
12 you see the focus on customer service, right, so if we can
13 deliver the right pole replacements and keep our unit costs
14 in check, then -- then that's great for the customer, it's
15 great for reliability, which is what the customer is
16 buying, that's their product, and we're making sure we're
17 balancing the cost that we have for unit costs.

18 So I think the framework and the scorecard going
19 forward which focuses in on unit costs and focuses on the
20 outcomes from a product perspective is going to drive the
21 right behaviours within our company.

22 MR. RUBENSTEIN: All right. Maybe we can take a
23 break.

24 MR. QUESNELLE: Let's take a 15-minute break. We'll
25 return at 3:50.

26 --- Recess taken at 3:37 p.m.

27 --- On resuming at 3:55 p.m.

28 MR. QUESNELLE: Please be seated. Mr. Rubenstein,

1 please proceed.

2 MR. RUBENSTEIN: If you could turn to page 31, I want
3 to correct something for the record.

4 I was asking about PCB line equipment replacements and
5 noticing that the unit cost was an error. And just to be
6 clear, the rationale for that is because there was no
7 spending as well as no assets for 2017, so just to clarify
8 that's why. I'd made it seem that there was some spending,
9 and I just wanted to clarify that.

10 MR. QUESNELLE: Okay, thank you.

11 MR. RUBENSTEIN: Mr. Bowness, when we left off, you
12 were mentioning that really the better way to look at
13 performance is not the number of units you do, but the
14 outcomes of the work. Did I hear that correctly?

15 MR. BOWNESS: I believe it's appropriate to look at
16 all dimensions. But I think looking at the outcomes, such
17 as reliability as well as unit costs -- as well as unit
18 accomplishments, but we need to be looking at the big
19 picture, yes.

20 MR. RUBENSTEIN: And if we could turn to page 33 of
21 our compendium. We had asked you in this interrogatory,
22 and I had brought this up with a previous panel as well.
23 We had asked you based on a table in the original evidence
24 that set out what you had -- based on the scorecard and the
25 outcome measures you had proposed in previous proceeding,
26 what your actuals were to those targets. Do you see that?
27 That's what this table is showing?

28 MR. BOWNESS: Yes, I see that.

1 MR. RUBENSTEIN: I want to ask about some that would
2 fall into this panel's bailiwick. When I see vegetation
3 caused interruptions for 2014 to 2016, when you look at the
4 target and the actuals, I see the outcome was worse than
5 you had targeted, correct?

6 MR. BOWNESS: Yes, that's correct.

7 MR. RUBENSTEIN: And I see substation caused
8 interruptions was better.

9 MR. BOWNESS: Yes.

10 MR. RUBENSTEIN: Then we go up to the next page,
11 distribution line equipment-caused interruptions, I see
12 worse?

13 MR. BOWNESS: Yes, I would agree that in 2016, it is
14 slightly worse. But if you look at the trend between '14
15 and '16, there's an improving trend.

16 MR. RUBENSTEIN: It's worse than the target, that's
17 what I mean by that.

18 MR. BOWNESS: Yes.

19 MR. RUBENSTEIN: And if we look at the number of
20 replaced poles -- I know you don't have this information on
21 this table. If we include 2017 information, and I'm
22 getting this information from page 31 of the materials, I
23 have that over the period of time -- and I think we had
24 this discussion -- you replaced less poles than you had
25 forecast?

26 MR. BOWNESS: We accomplished approximately 91 percent
27 of the pole replacement program, and it was primarily
28 driven based on the fact that we needed to redirect funds

1 to the CDMA external factor with the Bell shutting down the
2 CDMA network and needing to fund that investment during
3 that period.

4 MR. RUBENSTEIN: And the number of pole top
5 transformers, you did less than you said you would. I think
6 we had that discussion.

7 MR. BOWNESS: Yes.

8 MR. RUBENSTEIN: So of the five outcome measures from
9 your last proceeding, four of the five you did worse.

10 MR. BOWNESS: So some of these I would consider to be
11 outcome measures. A vegetation caused interruption is an
12 outcome measure of the impact on a customer due to a tree-
13 related outage. And as you know, we've made a very
14 strategic shift in our vegetation management program.
15 Substation interruptions and line equipment interruptions
16 are outcome measures as well, but I wouldn't consider pole
17 replacements and number of pole top transformers as outcome
18 measures; I would consider those unit production measures.

19 MR. RUBENSTEIN: So of the outcome measures using your
20 definition -- and I would tend to agree with that, I would
21 accept that -- two of the three you did worse than you had
22 targeted?

23 MR. BOWNESS: Yes.

24 MR. RUBENSTEIN: All right. I'd like to move on and
25 have a discussion about your investment planning process,
26 and I think the best way to do that is if we could start at
27 page 9.

28 This is a chart or table that you provided that

1 outlines the process. Do you see that?

2 MS. BRADLEY: Yes.

3 MR. RUBENSTEIN: And it is a high-level outline
4 obviously of the many steps in that process, correct?

5 MS. BRADLEY: Correct.

6 MR. RUBENSTEIN: And even simplifying this chart, I
7 just want to explain to you what I think the process is and
8 you can tell me if I'm right or wrong.

9 I'm starting at box 2.13, the needs assessment, and I
10 understand this to be that you determine your system needs
11 looking at those various factors and you develop candidate
12 investments that meet those needs, and you determine the
13 assessment of risk; do I have that correct?

14 MS. BRADLEY: In 2.1.3, in that part of the process,
15 we develop a list of the asset needs. The development of
16 solutions or the investments that will satisfy those needs
17 is in 2.1.4.

18 MR. RUBENSTEIN: So in 2.1.4, you take the system
19 needs based to follow up categories of information that you
20 have, and then you develop candidate investments, am I
21 correct?

22 MS. BRADLEY: Correct.

23 MR. RUBENSTEIN: And then you assess the risk of those
24 -- doing or not doing those investments, correct?

25 MS. BRADLEY: We would say with the need that we have
26 recognized, what is the risk to the system and to our
27 customers. And then if we do an investment and we might
28 have more than one option for how to address that need,

1 what is the residual risk at the end once we've done that
2 work, yes.

3 MR. RUBENSTEIN: And then at a high level, you then
4 prioritize and optimize those investments based on that
5 information?

6 MS. BRADLEY: Correct.

7 MR. RUBENSTEIN: And with respect to need, my
8 understanding is you are looking at a number of factors,
9 such as customer needs, age, condition, performance of the
10 asset, utilization, those sorts of things. That's what
11 we're talking about asset needs?

12 MS. BRADLEY: Correct, we're looking at the asset
13 itself and what needs there are with the asset, and as well
14 as what the system needs for that asset are.

15 MR. RUBENSTEIN: And considering most of your proposed
16 spending is in the system renewal category, I would assume
17 that condition of assets is one of the most important
18 factors in your needs assessment. Do you accept that?

19 MS. BRADLEY: Yes, I do.

20 MR. RUBENSTEIN: If we could turn to page 12 of the
21 compendium, this is your response to AMPCO 23.

22 They had asked you to fill out a table looking at the
23 condition of your assets in various asset categories over
24 time. Do you see that?

25 MS. BRADLEY: Yes, I do.

26 MR. RUBENSTEIN: And I understand you categorize your
27 assets into three -- the condition of you assets into three
28 categories: high-risk, medium-risk and low-risk.

1 MS. BRADLEY: In here they are reflected as poor, fair
2 and good.

3 MR. RUBENSTEIN: I'm sorry, I'm looking at the top.
4 So you have also -- you have high-risk, medium-risk and
5 low-risk, and I agree you also categorize into poor, fair
6 and good, correct?

7 MS. BRADLEY: Correct.

8 MR. RUBENSTEIN: And when I look at this table, I see
9 that for a number of major asset types, you don't actually
10 have condition assessment information for them. Do you
11 agree with that?

12 I'll show you an example of what I'm talking about, if
13 you like.

14 MS. BRADLEY: Sure.

15 MR. RUBENSTEIN: If we go down to line transformers,
16 this is all the way -- sort of the last asset category on
17 that page.

18 MS. BRADLEY: Correct, yes.

19 MR. RUBENSTEIN: I see that you have about 515 -- in
20 2017, you had about 515,000 line transformers; do you see
21 that?

22 MS. GARZOUZI: Yes, I just want to clarify this that
23 table. This table was provided by AMPCO and to be
24 populated as it was provided. So what you are seeing is a
25 risk score.

26 The reason there is a lot of N/As in the table is that
27 some assets don't have a risk score. You might have
28 information on them, you might have condition information

1 on them, but it is not a risk score.

2 MR. RUBENSTEIN: So you have condition information on
3 all 515,000 line transformers?

4 MS. GARZOUZI: No. So it depends on the asset. We
5 could talk about various asset types, but on our lines
6 assets especially, there is a really high volume of assets.
7 And so we report condition by exception.

8 In other words, if it's good, we don't report it. If
9 there is a problem, we collect it in the system.

10 MR. RUBENSTEIN: So you don't have a systematic asset
11 condition assessment process for your 515,000 line
12 transformers. Is that what you mean?

13 MS. GARZOUZI: I would say that it is not so much --
14 we do have a systematic approach. We do collect the data.
15 It is -- this is more of a big data discussion. This is
16 more about how are you reporting your data. And so this
17 table specifically is about ACA, so completing asset
18 condition assessments. If a transformer, a pulled-out
19 transformer, is leaking, that would be reported in our
20 system, but that's not an ACA. That would be reported as a
21 defect against that transformer.

22 MR. RUBENSTEIN: And do you know in the total
23 population of your line transformers what percentage of
24 them are -- have defects?

25 MS. GARZOUZI: Yes.

26 MR. RUBENSTEIN: And that is an assessment on all of
27 the line transformers or you just -- the ones you know that
28 you have defects because you are out in the field doing

1 some work or an issue has arisen so you know that that
2 transformer has an issue.

3 MS. GARZOUZI: So I'll just explain how we patrol our
4 assets. That might help. The stations receive a more
5 rigorous inspection. The urban stations are inspected
6 monthly and biannually for the rural ones.

7 For the lines asset, we patrol our system per the
8 distribution system code, Appendix C. Our rural assets are
9 patrolled on a six-year cycle. Our urban assets are
10 patrolled on a three-year cycle. Via this patrol we
11 collect defect information on our system and we record that
12 within our enterprise system.

13 MR. RUBENSTEIN: So you do know, so for example, line
14 transformers and conductors are similar, there is -- you
15 have a lot of N/As here for the assets. So you would know
16 the percentage that would be -- I guess if it's a defect
17 it's in poor condition -- you would know that information,
18 so there is a number somewhere in Hydro --

19 MS. GARZOUZI: It's more -- it's more that we don't
20 categorize it in high, medium, low risk, right, so this
21 question is about how risky is that asset, right, how
22 likely is it to fail based on information that you have,
23 and so based on the ACA view this table is completed and is
24 correct. However, if I see a frayed conductor while I'm
25 patrolling, I would report that this span of the conductor
26 is frayed, and that would be then reported, and it would be
27 actioned as a defect.

28 And so it's not that -- we don't view it as 1 percent

1 of my conductor's high, medium, or low risk, we would then
2 just treat that as a defect.

3 MR. RUBENSTEIN: Wouldn't you want to know what
4 percentage of your transformers are in high risk, medium
5 risk, low risk, or poor, fair, good, depending on which
6 classification?

7 MS. GARZOUZI: A pole top transformer's -- it is quite
8 common in the industry that they are run to failure assets,
9 and I think that reporting by exception, so in other words
10 reporting when there is a problem, if it has PCB
11 contamination or it's leaking, I think that it's
12 appropriate.

13 MR. RUBENSTEIN: Okay. If we turn now to page 15,
14 this is from AMPCO 24, and they ask you to fill out another
15 similar table with respect to asset failures; do you see
16 that?

17 MS. GARZOUZI: Yes.

18 MR. RUBENSTEIN: What I see is a lot of parts that you
19 couldn't fill out, correct?

20 MS. GARZOUZI: Correct.

21 MR. RUBENSTEIN: And just using the conversation we
22 were just having with respect to line transformers, which
23 you said you were running them to fail, I look -- you have
24 note 4 and note 5. Sorry, note 5 for that. And you say
25 you don't track failures at this level of granularity. So
26 you don't track how many line transformers fail; do I have
27 that correct?

28 MS. GARZOUZI: I think there is two things. There is,

1 how do we report reliability, right, so what granularity is
2 your reliability information being reported at, and the
3 other thing is, how are you collecting your data and how
4 are you grouping your data from an asset condition
5 assessment perspective.

6 So specifically for pole tops, from a -- did it
7 contribute from a reliability perspective, that granularity
8 we reported as a line component failure, but if there is a
9 defect from a patrol perspective, we would capture that.

10 MR. RUBENSTEIN: So you -- as I understood what we
11 just talked about before, for something like line
12 transformers, you wouldn't track the condition on an asset
13 condition assessment basis because you are running them to
14 fail, but here I see you don't even track how many you are
15 failing.

16 It seems like you would -- if you don't do the first,
17 you need the second set of information. Do I have that
18 correct?

19 MS. BRADLEY: I don't think the first part was
20 characterized properly. We don't -- when we do our line
21 inspections we don't ask the staff that are out doing that
22 inspection to report everything that's good. We ask them
23 to inspect the problems that they see as a defect so that
24 we can then plan to go back and fix it before it fails, but
25 we don't ask them to input the millions of assets that are
26 out there that, yes, this is good, yes, this is good.
27 Like, on one pole I believe there's eight characteristics
28 about a pole that they could report a defect on, but we

1 don't ask them to say it's good. We just ask them to say
2 when it's in poor shape. Then we can initiate the action
3 to go and fix it.

4 So I wouldn't say that we don't track -- we don't
5 track condition information in that if it's leaking you go
6 and fix it. You don't -- or replace it. You don't have to
7 monitor ten different characteristics and put them into an
8 algorithm to tell you its condition.

9 On the failures, in the past we've just said this is a
10 line equipment failure. I think there is the potential to
11 change that going forward with those tablets that you like,
12 you know, it will be much easier the line staff are out
13 repairing something that is trouble, it will be much easier
14 for them to categorize which piece was fixed as a result of
15 a storm, for example, when you have many, many things you
16 are fixing, it will be much more easy going forward to
17 characterize what the actual failure mode was, what the
18 device was.

19 MR. RUBENSTEIN: So you said, well, we don't go for a
20 pole -- I think what I heard you say, we know for a pole
21 there's eight different things that we could mark a defect.
22 We don't do -- we don't say if they're good or poor or
23 fair. did I understand that correctly? You used the pole
24 example specifically.

25 MS. BRADLEY: When we go out -- so poles are slightly
26 different, in that we do a pole test, so I might have used
27 the wrong asset, sorry. I'm just, I was getting around how
28 many pieces of data we do have in our system.

1 With a pole they do some testing and they input
2 whether it's in poor shape -- condition.

3 MR. RUBENSTEIN: Okay. So -- but if we take a look at
4 line transformers as an example. I know you say you
5 categorize them as well as others in the other line
6 components category, but going forward you're budgeting how
7 many line transformers you need to replace, and if you are
8 running them to fail, shouldn't you know how many are
9 failing historically? Seems like that's a key piece of
10 data one would want.

11 MS. GARZOUZI: So the way that the component -- so the
12 pole top transformer is tracked, it is actually done under
13 trouble, and the way the trouble program is forecasted is
14 based on historical average, and so we use that to forecast
15 the future.

16 MR. RUBENSTEIN: So it is based on total spending in
17 the category of trouble calls or not -- what we think is
18 going to need to be -- we have on hand what --

19 MS. GARZOUZI: For trouble calls it is forecasted
20 based on historical trends.

21 MS. ANDERSON: Sorry, trends in what? In dollars or
22 number of units?

23 MR. BOWNESS: So trouble is based on dollars. We use
24 dollars as the proxy for the amount of work. As Ms.
25 Bradley mentioned, we are looking to get more granular
26 information as we are doing storm and trouble response
27 using the tablets. We went live just a year ago. We
28 focused in on plant work that we have, new connects, pole

1 replacements, and such we are using for data line patrols,
2 and we are currently making sure that our line staff start
3 to use it to capture better information when we are in
4 storm and trouble situations to be able to feed better
5 information back to our asset planners.

6 But when we look at our storm and trouble forecasting
7 process for future years we are using historical averages
8 as to what we've seen, and then we are looking at, with
9 programs like vegetation management that have a goal of
10 driving 6- to \$12 million of cost reductions in the trouble
11 space, we will be looking to forecast those volume --
12 dollar volumes down in future hearings -- submissions.

13 MR. RUBENSTEIN: And am I correct that with respect to
14 how your asset strategy, with the exception of vegetation
15 management, there have been no changes since the last
16 proceeding? And I'm looking at page 16 of the compendium.
17 We asked you, has Hydro One's asset strategy changed since
18 EB-2013-0416 application? If so, please explain the
19 changes. And you say --

20 MS. GARZOUZI: That's correct. The nuance would be
21 the station discussion that we had, so the station centric
22 approach which was documented in the pre-filed evidence.

23 MR. RUBENSTEIN: Now I'm back at page 9 on the chart
24 there.

25 As I understand what you do in the optimization
26 process -- and I think you briefly discussed this -- is you
27 assigned a baseline risk level for each investment project
28 or program, and then you assign what is a residual risk, so

1 if you do the project, what is the change in risk from the
2 baseline. Do I have that correct?

3 MS. BRADLEY: If you do the investment, what is the
4 change in risk? That's the process, to assess different
5 options, to assess the risk, and we pick the one that adds
6 the most value.

7 MR. RUBENSTEIN: And the risk level, as I understand
8 it, is based on a composite of a number of different
9 individual risks that are mapped to your strategic
10 objectives, correct?

11 MS. BRADLEY: Correct.

12 MR. RUBENSTEIN: And if we turn to page 44 of the
13 compendium, this is that -- these are the weighting and the
14 criteria, correct?

15 MS. BRADLEY: Correct.

16 MR. RUBENSTEIN: So for an example, you've weighted
17 customer at 17 percent?

18 MS. BRADLEY: Yes.

19 MR. RUBENSTEIN: And you have a separate one for
20 reliability at 13 percent; do I have that correct?

21 MS. BRADLEY: Yes.

22 MR. RUBENSTEIN: So can you help me understand what
23 the separation is between customer and reliability? One
24 would assume that customers value reliability. What's the
25 difference between the two and are there overlapping
26 elements to those risks?

27 MS. BRADLEY: For reliability, we'd be looking at --
28 the way this is used in the optimization is if one

1 investment option, one investment would impact a larger
2 number of customers, for example, and have a bigger impact
3 on reliability overall, that would have a higher score in
4 the reliability category.

5 In customer, it's primarily used to drive -- you know,
6 there could be specific needs or outcomes of customers, say
7 around power quality. It could be that customers are
8 looking to connect to the system. That would be a customer
9 risk that you are mitigating that we have to connect that
10 customer, so we would have use that category of customer.

11 There are investments that are required for
12 communicating with our customers, or billing is a customer
13 aspect to it. So there are a number of non-reliability
14 factors in that customer risk factor.

15 MR. RUBENSTEIN: And I see that you have employees,
16 9 percent. Do you see that?

17 MS. BRADLEY: I do.

18 MR. RUBENSTEIN: And the business objective that is
19 mapping to is achieve and maintain employee engagement.

20 What kind of a work program would involve achieving
21 and maintaining employee engagement in your business?

22 MS. BRADLEY: Actually, Mr. Jesus might be able to
23 help. I can't think of any investments where in my
24 business we've use the employee engagement risk factor.

25 It could be in, say, an IT investment or something
26 like that. But in planning for assets, like whether it's
27 renewal or development, we don't.

28 It's in this table as this is one of the Hydro One

1 business objectives and we've worked to be inclusive and
2 ensure that we're weighing all our of our investments
3 against the objectives that the company believed were
4 important.

5 MR. JESUS: That's confirmed from an IT point of view
6 or from an HR point of view. We would weight those
7 investments looking at the employees and the employee
8 engagement and the risk that they pose.

9 MR. RUBENSTEIN: Okay. Now, I see financial benefit,
10 13 percent; do you see that?

11 MS. BRADLEY: I do.

12 MR. RUBENSTEIN: And I also see shareholder value,
13 9 percent; do you see that?

14 MS. BRADLEY: I do.

15 MR. RUBENSTEIN: What exactly is the difference
16 between financial benefit where I see the business
17 objective is achieving ROE and the shareholder benefit,
18 which one would assume is that?

19 MR. JESUS: So the financial benefits are the benefits
20 associated with an investment that's undertaken. So for
21 example, if you are doing an IT project, you want a payback
22 and a return on that investment. So you would identify
23 what those benefits are in order for that project to
24 proceed.

25 From a shareholder value, it's more about what the
26 reputation -- how it would impact reputation, media
27 attention, whether or not -- so those kind of factors are
28 what's driving the shareholder value.

1 MS. BRADLEY: The other thing that we use as an
2 example that's a bit more concrete under shareholder value
3 is ensure compliance with all codes, standards and
4 regulations. So while there is a reliability risk and
5 potentially a financial risk associated with not meeting
6 the codes and regulations that we're required to meet,
7 there also is that sort of shareholder value or the
8 reputational risk, if you are found to be non-compliant
9 with something. We really avoid that based on all factors.

10 MR. RUBENSTEIN: If we can turn up Energy Probe 26 --
11 and I apologize, I don't have that in the compendium -- and
12 that's under issue 25.

13 MR. BOWNESS: It's I22.

14 MR. RUBENSTEIN: I25 Energy Probe 36.

15 MR. JESUS: I22, Energy Probe 26.

16 MR. RUBENSTEIN: You have it. The one up on the screen
17 is correct.

18 And you mention in part A that there were some changes
19 made to the weighting in 2015; do you see that? Do I have
20 that correct?

21 MS. BRADLEY: Yes, do you.

22 MR. RUBENSTEIN: And you say, for example:

23 "Hydro One's management reassessed the weighting
24 in 2015 to reflect Hydro One's desire to improve
25 outcomes-based factor for customer satisfaction.
26 This resulted in the weighting assigned to the
27 business driver customer focus being increased to
28 20 percent. There is also a reduction weight

1 given to reliability from 20 to 15 percent."

2 Do you see that?

3 MR. JESUS: Yes.

4 MR. RUBENSTEIN: If we turn to page 45, this was a
5 technical conference undertaking from the previous
6 proceedings where you provided the weights in that at the
7 time. Do you see that? Do you have that?

8 MR. JESUS: Yes, I do.

9 MR. NETTLETON: Sorry, Mr. Rubenstein, you said this
10 was an undertaking from --

11 MR. RUBENSTEIN: The last proceeding.

12 MR. NETTLETON: -- the last proceeding. So this is
13 evidence that hasn't been filed in this proceeding?

14 MR. RUBENSTEIN: Well, I provided it to my friends
15 yesterday morning, following the 24-hour rule.

16 MR. NETTLETON: It wasn't included in the compendium
17 you gave to me this morning, or this afternoon.

18 MR. RUBENSTEIN: It's page 45 of the compendium, so
19 it's in that.

20 MR. NETTLETON: Which was given to me this morning.

21 MR. RUBENSTEIN: I sent the document to Hydro One
22 yesterday morning in furtherance of the 24-hour rule.

23 MR. QUESNELLE: I think that's acceptable, Mr.
24 Nettleton.

25 MR. NETTLETON: Absolutely, if it was. But I only
26 received this today.

27 MR. RUBENSTEIN: I'm almost certain I sent a number of
28 documents yesterday morning before the hearing began. All

1 right. Well...

2 MR. NETTLETON: Witnesses, have you seen this
3 document?

4 MS. GARZOUZI: Well, we have it in front of us now.
5 It's on page 45.

6 MR. QUESNELLE: The point is did you receive it
7 yesterday morning?

8 MR. RUBENSTEIN: I didn't send it to the witnesses. I
9 don't know their -- I sent it to Hydro One's team.

10 MR. NETTLETON: Maybe if we could pause and let the
11 witnesses take a look at it before, because again, I have
12 -- I was led to believe that all of the compendium
13 documents were materials that had been previously filed on
14 this record. So that there was no --

15 MR. QUESNELLE: New information in the compendium.

16 MR. NETTLETON: -- surprises.

17 MR. QUESNELLE: Well, I don't know what Mr.
18 Rubenstein's cover note said, but you did identify it in
19 your opening remarks that there were also filings from the
20 previous application.

21 MS. BRADLEY: It was with something that we did
22 receive yesterday. There was about 500 pages of stuff, and
23 it was in there.

24 MR. RUBENSTEIN: It was with the table that you said
25 the contents were okay, so I assumed it was okay. Not a
26 whole amount is turning on this. I just want to just -- so
27 if we look at it TCJ, this was, as I understand it, the
28 weightings that were -- the similar weightings that were

1 just simply in the other proceeding. Is that your
2 understanding of that as well?

3 MR. JESUS: I'm sorry, can you repeat the question?

4 MR. RUBENSTEIN: As I understand this technical
5 conference undertaking, it was the risk weightings that you
6 provided, at least in that proceeding. And as you said in
7 Energy Probe 36, there were changes made in 2015, and we
8 have the new weightings.

9 MS. BRADLEY: That's what this appears to be, yes.

10 MR. JESUS: Yes.

11 MR. RUBENSTEIN: Okay. And in Energy Probe 36, you
12 said that with respect to the changes you made this results
13 in weighting assigned to business driver customer focus for
14 being increased to 20 percent. This was a reduction given
15 to the reliability from 20 to 15 percent. I think we
16 talked about that.

17 And what I see was customer was 15 percent in the EB-
18 2013-0416 proceeding; do you see that?

19 MR. JESUS: Yes, I do.

20 MR. RUBENSTEIN: And if we flip back to page 44, I see
21 customer now being 17 percent, not 20 percent; do I have
22 that correct?

23 MR. JESUS: So from a risk weighting point of view the
24 same risk factors -- you see customer weighted at 20
25 percent, and as explained there the CFO and the CEO
26 reviewed these prior to this proceeding in May, and they
27 wanted to put in a greater emphasis on customer. This was
28 back in 2015, sorry.

1 So when you add the financial benefits, which has
2 always been prevalent, the risk weightings are changed, so
3 you are basically looking at normalizing it on a scale of 1
4 to 100. That's why you have the discrepancy.

5 MR. RUBENSTEIN: Yes, and I just -- as I understand,
6 it was 15 percent in the last proceeding and it is 17
7 percent now. Do I have that correct?

8 MS. BRADLEY: Mr. Rubenstein, I think the confusion is
9 in the Energy Probe document.

10 MR. RUBENSTEIN: Um-hmm.

11 MS. BRADLEY: It states that reliability was given a
12 -- reliability weighting was moved from 20 percent to 15
13 percent, and I think that was intended to say points.

14 If you look at the table in section B1-1-1, DSP
15 section 2.1 on page 27 or on page 44 of your compendium,
16 you will see that the customer points are 20 percent and
17 the weighting is 17 percent. So there was an error in --
18 the total points is 115 points, so that was an error in
19 this response.

20 MR. RUBENSTEIN: Okay. So then confirming then, if we
21 are talking about percentages, not points, you moved
22 customer from 15 percent to 17 percent; correct?

23 MS. BRADLEY: That would be correct.

24 MR. JESUS: Sorry, I think even in the last proceeding
25 the benefits portion would always be there, so we need to
26 look at whether or not it would have adjusted it as well.
27 And I don't know the answer to that.

28 So right now when we add the financial benefits in

1 there that's -- it's obviously skewing the overall
2 weighting of that particular factor. I just don't know
3 whether or not in the previous proceeding the same thing
4 had occurred, whether they left it out intentionally. I
5 can't tell you that.

6 MR. RUBENSTEIN: Okay. Well, I'd like to -- well, I'm
7 trying to understand what has changed, and obviously the
8 evidence shows there is a change, and I understand what you
9 are saying. You weren't there in that proceeding. Is
10 there some way that we could find out? I just want to make
11 sure we are comparing apples to apples when I look at
12 TCJ1.21 from the previous proceeding in this proceeding.

13 MR. JESUS: I would suggest to you that it is very
14 likely that they are the same, subject to check, that there
15 is an economic benefit even in the previous rate filing
16 that would have been tacked on similar to what we did in
17 the DSP.

18 MR. RUBENSTEIN: All right. Well, say -- okay. So
19 then we should -- we should not consider the financial
20 benefit and just look at the weight -- the weighting points
21 instead of the percentage if I wanted to do -- we assume
22 that you're correct -- that's the best way to look at the
23 comparison?

24 MR. JESUS: Which would make them identical,
25 effectively, from a customer point of view.

26 MR. RUBENSTEIN: If we go to page 45, shareholder
27 value is at 5 percent. Do you see that? And now it's 10
28 percent? It is ten points, so it's gone up five points or

1 percentages; do I have that correct?

2 MR. JESUS: It has gone up five points, yes.

3 MR. RUBENSTEIN: Why is that appropriate from a
4 customer perspective? How many customers benefit from
5 that?

6 MS. BRADLEY: I think in ensuring compliance with code
7 standards and regulations it is important to our customers.
8 It is ensuring that the value of the company is maintained.
9 It is consistent with the renewed regulatory framework. It
10 does talk about sustainability of the company and financial
11 performance, so this is looking at ensuring that we are
12 meeting the codes and regulations and that it doesn't
13 negatively impact -- it would be both our customers and the
14 company.

15 MR. RUBENSTEIN: If you could turn to page 17 of the
16 compendium. This is the response to AMPCO number 1, and I
17 apologize, I've accidentally only included page 2. I'm not
18 sure what happened in the compendium.

19 So you may want to -- if you are more comfortable, we
20 could put up the -- the folders could be put up on the
21 screen, but as I understand what this table, the table in
22 part B and C, is showing, is it's providing at each stage
23 of the investment planning process the number of candidate
24 investments and the expenditures in each of those years at
25 each of the different stages; do I have that correct?

26 MR. JESUS: That's correct.

27 MR. RUBENSTEIN: Now, if we moved to page 19 of the
28 compendium -- this is JT3.7 -- you broke it out into the

1 various categories, the access, renewal service, general
2 plant; do you see that? And OM&A; do you see that?

3 MR. JESUS: Sorry, what page on the compendium now?

4 MR. RUBENSTEIN: Page 19.

5 MR. JESUS: Okay.

6 MR. RUBENSTEIN: And am I correct where the chart says
7 O&M, it is really OM&A?

8 MR. JESUS: That's correct.

9 MR. RUBENSTEIN: So it is not simply operations and
10 maintenance expenditures, it's all the operations and
11 maintenance and administration costs, shared services?

12 MR. JESUS: That's correct.

13 MR. RUBENSTEIN: Now, does your system optimize O&M
14 costs in addition to capital costs? So if we go back to
15 the previous page where we had candidate investments at
16 each stage on page 17, is that simply capital work or does
17 that include OM&A work?

18 MR. JESUS: It includes both.

19 MR. RUBENSTEIN: SO if we are looking at JT3.7, if I
20 look at the capital, what I see is -- I'm sort of flipping
21 back between the two -- what I see is in the first stage
22 the investment development. Is that when people input the
23 various candidate investments into the system?

24 MR. JESUS: That's correct.

25 MR. RUBENSTEIN: And so there were 393 candidate
26 investments, correct?

27 MR. JESUS: Yes.

28 MR. RUBENSTEIN: And the total capital cost I get on

1 JT3.7 for that is about \$4.1-billion over the five years?

2 Do you see that, or would you take that subject to check?

3 MR. JESUS: 4.1-billion?

4 MR. RUBENSTEIN: You're right, does not -- yes, 4.1-
5 billion. Would you take that subject to check?

6 MR. JESUS: No, because if I just add the 1s, I am at
7 more than \$5 billion --

8 MR. RUBENSTEIN: Just talking about capital.

9 MR. JESUS: Oh, just looking at capital?

10 MR. RUBENSTEIN: Yes.

11 MR. JESUS: Okay, subject to check.

12 MR. RUBENSTEIN: Okay. Now, as I understand the
13 optimization process, how it works is you have a system, I
14 believe it is the Cloverfield system?

15 MR. JESUS: I'm sorry?

16 MR. RUBENSTEIN: You have --

17 MR. JESUS: Copperleaf?

18 MR. RUBENSTEIN: Did I say Cloverleaf -- I'm not sure
19 what that is. Salmon, I think. Copperfield. You have the
20 Copperfield system and you have put in the various -- it's
21 late in the day --

22 MR. JESUS: Copperleaf --

23 MR. BOWNESS: Copperleaf is the product vendor.

24 MR. RUBENSTEIN: Thank you, you put them in your
25 system, just refer to it as the system, with the various --
26 the baseline and the residual risk, correct, that we talked
27 about?

28 MR. JESUS: Yes.

1 MR. RUBENSTEIN: And as I understand, also what you do
2 is for certain programs or projects you put in various
3 levels of spending and -- in the work you would do,
4 correct? These are the alternatives? The --

5 MR. JESUS: Yes, there would be a vulnerable level,
6 there would be an intermediate level, there would be an as
7 optimal level, there would be number of levels that
8 planners would input.

9 MR. RUBENSTEIN: So this is what you are talking about
10 at page 23? This is an excerpt from one of the
11 presentations. That's what you are talking about.

12 So you would put in an asset optimal level with the
13 cost and the units you would be working on, intermediate
14 level, obviously less cost, less assets and the vulnerable
15 level, correct?

16 MR. JESUS: Yes.

17 MR. RUBENSTEIN: And so when it optimizes, am I
18 correct that it is only optimizing -- it could can only
19 choose one of those three options for a program, correct?

20 MR. JESUS: That's correct.

21 MR. RUBENSTEIN: So if you have, say for example,
22 poles in the asset optimal, you are going to do 16,000
23 poles at a cost, intermediate you are going to do 12,000
24 poles at less cost, slightly less cost, vulnerable at
25 10,000 poles at less -- it can only optimize between those
26 three alternatives, correct?

27 MR. JESUS: That's correct.

28 MR. RUBENSTEIN: How are you determining what the

1 levels are for those alternativ4es?

2 MR. JESUS: We're determining the levels based on the
3 risk that is present on the system. So a good example
4 would be to look at the number of poles that are in poor
5 condition, and if you were to have 107,000 or 106,000 poles
6 that are in poor condition and they're fairly old, they are
7 at end of life and they're looking -- they are probably
8 going to fail, very likely that they are going to fail
9 within the next 5 to 10 years, then -- let's assume that
10 they fail over the next five years, there is a 50 percent
11 probability of failure.

12 So you take the 109,000 and you multiply the 50
13 percent that it's going to fail over the next six years,
14 and then you would look at the impact. From a consequence
15 point of view, what's going to be the impact to our
16 customers.

17 Let's assume for all intents and purposes, every time
18 a pole fails there is a customer interruption of about 200
19 minutes. So from a customer minutes of interruption, you
20 would look at all of that, you would aggregate all the
21 poles that you are replacing in each one of the vulnerable
22 levels, you would add them up, you would go to table I24,
23 Staff 89, and in the appendix there. And if you look at it
24 from a reliability point of view, depending on the number
25 of customer interruptions -- so let's assume that from a --
26 the vulnerable level that we're going to have 500 to --
27 500,000 customer minutes of interruption, you would
28 actually pick that particular box.

1 And the likelihood on a probability scale, if you
2 continue to scroll down, you would pick what is the
3 likelihood of that particular pole or that group of poles
4 failing within the next five years.

5 So based on that assessment, we categorize the high
6 risk poles, the lower risk poles, we're putting them into
7 those buckets and each one of them would have a level of
8 risk that the planners would then go in and say this is the
9 risk that we're mitigating. The more money you spend, the
10 more risk you're mitigating. So that's the process that
11 they follow.

12 MR. RUBENSTEIN: I fully understand that, obviously,
13 the different levels of the engaged risk. But if you only
14 have sort of three options, right, the system doesn't -- as
15 I understand it, doesn't optimize 16,000 poles, you are
16 doing 10,000 poles, you are doing 8,000 poles. You can't
17 pick somewhere in between based on risk levels that would
18 obviously occur.

19 MR. JESUS: Right.

20 MR. RUBENSTEIN: How are you determining that
21 intermediate is 10,000 poles?

22 MR. JESUS: So the optimizer would look at the value,
23 total risk it's mitigating and the total value that it's
24 delivering in terms of selecting the proper option.

25 MR. RUBENSTEIN: I understand that that's how the
26 system work works. You -- a planner who is inputting has
27 to pick one for asset optimal, has to pick one set of poles
28 and the cost for intermediate, and one for vulnerable.

1 How do you determine what the intermediate is, or what
2 the Vulnerable is?

3 MR. JESUS: Because just as you have shown on page 23
4 of your compendium, there's increasing risk that you are
5 mitigating with each level of spend. You are doing more
6 poles and you are mitigating more risk, and so the planner
7 would go in and enter all of those poles.

8 So obviously there is 106,000 bad poles that we have
9 on the system. He's not going to -- he's going to be
10 focused in on those poor condition poles. He's not going
11 to be focused in on the remaining 1.5 million poles, if
12 that's where you are going, because it doesn't make any
13 sense to do that. Those poles are not in poor condition.
14 We are not going to enter the risk for those remaining
15 1.5 million poles.

16 MR. RUBENSTEIN: If intermediate sits between asset
17 optimal and vulnerable, I assume intermediate means
18 compared to asset optimal. You are spending less money,
19 you are doing less work, but obviously the risk is going to
20 be higher than asset optimal.

21 MR. JESUS: Right, and each one of the vulnerables --
22 the actual definition of vulnerable is that we are in the
23 red zone and that risk is deteriorating. There is
24 additional risk and in fact, the performance will
25 deteriorate.

26 The asset optimal is about maintaining. So
27 effectively, we're maintaining the reliability, we're
28 maintaining that level of risk.

1 In asset optimal means we're actually improving that
2 particular risk, and for poles we're effectively at asset
3 optimal is the selection where we landed on.

4 MS. BRADLEY: Mr. Rubenstein, I might be able to help
5 a little bit based on --

6 MR. RUBENSTEIN: You can, but I do now understand, I
7 think the last part explained it. But you can continue.

8 MS. BRADLEY: One of the recommendations from the
9 benchmarking study we did recently was around planning, in
10 a centralized manner, poles in a more granular -- like for
11 more of the program, having that pole program planned in
12 planning instead of in the field.

13 So one of the things that we have implemented or are
14 implementing going forward -- I think for 2018, we've done
15 this -- is breaking down poles by their risk to come up
16 with different levels. So one, we're not restricted to
17 three levels, but all of our poles have been categorized
18 according to the risk that they mitigate when we replace
19 them, or the risk associated with that pole.

20 So poles in areas where there's large numbers of
21 customers and if that pole was to fail, they would take out
22 tens of thousands of customers, are in one category, where
23 poles that are in locations where they would take out
24 hundreds of customers from a reliability perspective would
25 be in another category.

26 So to enable us to release specific bundles of work
27 where it's going to mitigate the most risk for our
28 customers, you know, that segregation has taken place going

1 forward based on the recommendation from that benchmarking
2 study.

3 So we won't be limited to three. We would have as
4 many as we saw fit to come up with meaningful bundles of
5 reliability-based pole replacements going forward.

6 MR. RUBENSTEIN: If I could take you to page 22 of the
7 compendium's response to AMPCO 36 part E, in my
8 understanding of what the table is showing that over the
9 different planning cycles, what the amount of the candidate
10 investments you can actually optimize, correct?

11 It's on page 22 of the compendium.

12 MR. JESUS: Okay, continue on. Yes, I'm there.

13 MR. RUBENSTEIN: Am I correct that what the optimized
14 portion of the plan in the table is showing is for the
15 different planning cycles, what percentage of the candidate
16 assessments or the dollars that make up the program -- not
17 sure which one -- can be optimized. Do I have that
18 correct?

19 MR. JESUS: That's correct.

20 MR. RUBENSTEIN: And when it's not optimized, that
21 means the program says you are going to do it. Do I
22 understand that?

23 MR. JESUS: That's correct, and so when we say we are
24 going to do it, it's largely due to compliance or other
25 rules and regulations that we need to comply with. So
26 there is not a lot of flexibility there. We need to
27 respond to storms, we need to respond to the ESA, we need
28 to do all of that work. So that's must-do work.

1 MR. RUBENSTEIN: And I would assume more optimization,
2 the greater percentage of the program that can be
3 optimizable is preferred. Would you agree with that?

4 MS. BRADLEY: I would agree with that. We are trying
5 to get that more investments are input that we can optimize
6 to pick the most value.

7 MR. RUBENSTEIN: So when I look at the table I have
8 for 2016 to 2010, I assume that means it's a typo and it's
9 2021. Do I have that -- is that correct?

10 MS. BRADLEY: Sorry, can you repeat that?

11 MR. RUBENSTEIN: It says the first is 2016 to 2010
12 cycle. I assume that should be 2021 cycle, correct?

13 MR. JESUS: That's correct.

14 MR. RUBENSTEIN: So that's 32 percent. Then I see the
15 2017 to 2022, it's actually at 23 percent. So it's
16 dropped. Do you see that?

17 MS. BRADLEY: I do.

18 MR. RUBENSTEIN: And this distribution system plan, is
19 it based on the 2017-2022 cycle?

20 MR. JESUS: Yes, it is.

21 MR. RUBENSTEIN: So it's actually dropped. And then
22 we have a big increase in 2018 to 2023; do you see that?

23 MS. BRADLEY: I do.

24 MR. RUBENSTEIN: What's driving the very significant
25 increase over that one cycle?

26 MS. BRADLEY: I would say that it's leadership
27 direction. We've had a change in the leadership team and
28 have really pushed to challenge, for every investment

1 people put in as non-optimizable, what's the document or
2 the proof that we have no choice and what's the level of
3 flexibility that we can really get to? We might say, you
4 know, it's required because of spills, and this -- you
5 know, we need to do this, and we've really challenged what
6 are other options, what are other ways to do this, and do
7 we have really firm supporting documentation to support you
8 saying it's -- there is no option.

9 MR. RUBENSTEIN: So you're doing it better now, I
10 guess; is that fair?

11 MS. BRADLEY: I think we're being more -- more
12 prescriptive in how people put things as a required.

13 MR. RUBENSTEIN: More accurate; is that fair?

14 MS. BRADLEY: That's fair.

15 MR. RUBENSTEIN: So if it's preferable to have the
16 higher percentage of your plan optimizable and the plan
17 that you are putting forward in this proceeding is based
18 on -- is lower than both the previous plan and about a
19 third of the one that's being in place for 2018, 2023, how
20 can the Board have proper comfort that your plan is proper?

21 MS. BRADLEY: I wouldn't say that a plan -- when
22 somebody says it's not optimizable or it is optimizable, it
23 doesn't mean that there isn't a need that exists. You
24 know, something could be in poor condition and you can
25 still optimize and do it when it fails or do it
26 proactively, for example.

27 So it doesn't -- it doesn't negate that there is a
28 need to act; it is just, our preference is for people to

1 let the optimizer pick the optimal work program.

2 MR. RUBENSTEIN: I'm not sure how long the Board wants
3 to continue. I can stop now or go for another ten minutes
4 or...

5 MR. QUESNELLE: If you have a natural break in your --
6 we can go a little longer if you've still got more in this
7 area.

8 MR. RUBENSTEIN: It would be preferable. I just want
9 too finish off this section.

10 MR. QUESNELLE: Sure, okay. Yeah.

11 MR. RUBENSTEIN: If we can turn to page 17, back to
12 page 17, so this is the -- back to the different stages in
13 the process.

14 So I take it the investment optimization stage, you've
15 now run -- you press "optimize" in the program and it spits
16 out based on the criteria a set of -- a capital plan for
17 the 2018 to 2022 period, correct? That's where we are at
18 that stage, at a high level.

19 MR. JESUS: So the optimization was run, correct, yes.

20 MR. RUBENSTEIN: What are the constraints you put on
21 the program? Is it a cost constraint? Is it a risk
22 constraint? Is it a reliability constraint? What's the
23 constraint that you put on the system?

24 MR. JESUS: So there are financial constraints that we
25 applied, and they are in one of the interrogatories, but
26 effectively they are financial constraints that are in the
27 system that we would -- that we would enter for each year.

28 MR. RUBENSTEIN: So we get to the investment

1 optimization stage, and then we move to the investment
2 approval and implementation stage, correct?

3 MR. JESUS: That's correct.

4 MR. RUBENSTEIN: And between the investment --
5 development and optimization I see less money is being
6 spent and I see less candidate investments, correct, at
7 that stage, you've reduced it, correct?

8 MR. JESUS: So in going from --

9 MR. RUBENSTEIN: Investment development to investment
10 optimization.

11 MR. JESUS: We dropped -- basically we reduced the
12 total levels by close to \$717 million in going through the
13 optimization, yes.

14 MR. RUBENSTEIN: But then at the investment approval
15 implementation stage you are adding candidate investments
16 and the dollars go up.

17 Can you help explain to me what happened there?

18 MR. JESUS: Sure, so there were a number of -- so
19 there were a number of projects that were currently in
20 execution, so what we did was we looked at the projects
21 that had been deferred from -- from '17, from the previous
22 year, that had not been completed, and we accounted for
23 those dollars, as well as, there were some IT changes that
24 occurred, and the -- from a -- from a security point of
25 view, from an IT implementation, those costs and those
26 investments were included.

27 MR. RUBENSTEIN: And do you -- why wouldn't you
28 then -- it seems to me what you are saying, the reasons why

1 you added that, you wouldn't have just changed the inputs
2 for those investments and then rerun the optimization using
3 the same constraints? Why do you just sort of add it
4 afterwards?

5 MR. JESUS: So that's a meeting with the business that
6 basically we have the discussion and we have an enterprise
7 -- as part of the enterprise engagement that we are
8 carrying out with the business, and they've effectively
9 changed the IT strategy, so there is a mix of investments
10 that are coming into play that would then be included
11 because, again, they need to be carried out.

12 MR. RUBENSTEIN: So it is just a timing thing?

13 MR. JESUS: It is a timing issue.

14 MR. RUBENSTEIN: All right. We could break. Thank
15 you.

16 MR. QUESNELLE: Yeah, we just have a question from Mr.
17 Elsayed.

18 DR. ELSAYED: I just want to understand the term
19 "optimization" as you use it. We talked about probability,
20 consequences, and risk. You look at different investments,
21 you look at the risk associated with each. How do you draw
22 the line to say this is an optimum plan?

23 MR. JESUS: So drawing the financial budget is
24 characterized based on the previous OEB ruling, so we would
25 have looked at the previous plan, the decisions that the
26 OEB have dictated and provided to us, that would be used to
27 inform the line.

28 The other piece, the other big piece, is the customer

1 engagement that we carry out, so we've had a huge process
2 that took all of our customer needs and preferences into
3 account, and customers told us resoundingly that cost is an
4 issue, but we need to balance the rate impacts, we need to
5 balance the condition in the asset needs, as well as the
6 customer needs and preferences.

7 So at the end of the day we need to make sure that the
8 assets are in good working order, so there is a lot of
9 competing elements that will drive how we draw that budget
10 line. And in this particular business DSP before you we
11 actually have Plan A, B, and Plan B modified, where we
12 basically said, you know, we were recommending Plan A
13 because we thought we needed to do -- we absolutely needed
14 to do all of these investments because there truly is a lot
15 more investment on the system that needs to occur because
16 the system is aging, so the senior management came back to
17 us and said, No, go back and come back with B modified, so
18 that's how we drew the line. That's how we arrived at the
19 line that we did.

20 DR. ELSAYED: So you mentioned customer input and you
21 mentioned OEB rulings. I'm just trying to understand where
22 risk comes in. How much risk tolerance are you building
23 into this plan? How do you determine that?

24 MR. JESUS: Right. So the risk --

25 DR. ELSAYED: What's the liability for it?

26 MR. JESUS: Exactly. So the chart that I will take
27 you again is Staff 29, back to that risk chart, and for
28 each one of those investments planners are picking,

1 selecting, the preferred investment, identifying what the
2 baseline risk is, and then what the investment required to
3 mitigate that risk, and what's the cost of -- what's the
4 remedial risk or the residual risk left on the system.

5 So the optimizer looks at that and it shifts the
6 investments as much as possible and it comes up with the
7 most optimum plan, is how it does that, and it is selecting
8 the highest risk investments.

9 So in the first candidate development plan we had 310
10 projects with additional \$717 million that potentially were
11 in the system and that we eliminated because of the risk --

12 MR. BOWNESS: So it might be helpful just to look at
13 the liability and the risk scorecard and maybe give an
14 example of what is low and medium and a high risk. It's
15 just really small font on the screen, so it might be
16 helpful to show an example.

17 MR. JESUS: So again, from a green -- green has been
18 categorized into five different categories, minor 1 to
19 minor 5 risk, from a consequence point of view, and that's
20 because each individual pole in itself is not going to have
21 a huge risk. But when you aggregate 100,000 poles the risk
22 starts accumulating, and when we look at it from a
23 reliability point of view you will see that if we go to
24 reliability -- this one? There. So from a reliability
25 point of view we are looking at the duration of
26 distribution outages and the impact to customers. So
27 basically from the customer they would actually calculate
28 what the impact is and they would select the proper box.

1 They would do that for each one of these categories.
2 So they would do it for reliability, they would do it for
3 customer, how many customers we're impacting, whether
4 they're critical customers that we're going to be
5 impacting, and again they would pick the proper box.

6 And we aggregate customer risk, the reliability risk,
7 the environmental risk, the shareholder risk, weighted as
8 we talked about earlier, and we end one a total risk value
9 that the planners would then input.

10 MS. BRADLEY: To help for one second, you asked how we
11 draw the line and one of the factors that relates to this
12 table is we hold -- Bruno actually holds a workshop with
13 the executives where we talk about which one of these
14 risks, save for reliability, are we okay with.

15 So where would you never invest to fix this problem?
16 And, you know, where would you always invest to fix this
17 problem, almost like a -- you know, we would never want
18 this situation to exist on our system, and we do that for
19 all the risk factors.

20 So part of drawing the line is saying all of the risk
21 that is we said we would never invest -- we would never not
22 invest to fix this, it has to be remediated. All of those
23 contribute to, you know, where's the line of your minimum
24 spend. We don't want any of those red risks to remain on
25 the system.

26 So that process is a process that we do regularly
27 with the executives to say, you know, what level of risk
28 tolerance do we have as a company, and that helps inform

1 where the overall funding line is when it comes to asset
2 risk.

3 MR. ELSAYED: Thank you.

4 MR. QUESNELLE: Thank you very much. We'll resume on
5 Thursday morning at 9:30 with this panel and continuing
6 with Mr. Rubenstein. Thank you.

7 --- Whereupon the hearing adjourned at 4:57 p.m.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28