



ONTARIO ENERGY BOARD

FILE NO.: EB-2017-0049 Hydro One Networks Inc.

VOLUME: Volume 9

DATE: June 25, 2018

BEFORE: Ken Quesnelle Presiding Member and Vice-Chair
Lynne Anderson Member
Emad Elsayed Member

THE ONTARIO ENERGY BOARD

Hydro One Networks Inc.

Application for electricity distribution rates
beginning January 1, 2018 until December 31, 2022

Hearing held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Monday, June 25, 2018,
commencing at 9:09 a.m.

VOLUME 9

BEFORE:

KEN QUESNELLE	Presiding Member and Vice-Chair
LYNNE ANDERSON	Member
EMAD ELSAYED	Member

A P P E A R A N C E S

JAMES SIDLOFSKY	Board Counsel
MARTIN DAVIES KEITH RITCHIE	Board Staff
GORDON NETTLETON GEORGE VEGH SAM ROGERS	Hydro One Networks Inc. (HONI)
LISA (ELISABETH) DeMARCO JONATHAN MCGILLIVRAY	Anwaatin Inc., Energy Storage Canada (ESC)
SHELLEY GRICE	Association of Major Power Consumers in Ontario (AMPCO)
MICHAEL BUONAGURO	Balsam Lake Coalition (BLC) Arbourbrook Estates
TOM BRETT	Building Owners and Managers Association, Toronto (BOMA)
EMMA BLANCHARD ERIN DURANT SCOTT POLLOCK	Canadian Manufacturers & Exporters (CME)
JULIE GIRVAN	Consumers' Council of Canada (CCC)
BRADY YAUCH TOM LADANYI	Energy Probe Research Foundation
ROBERT WOON	Ontario Sustainable Energy Association (OSEA)
RICHARD STEPHENSON BODHAN DUMKA	Society of United Professionals
MICHAEL McLEOD	Quinte Manufacturers' Association (QMA)
JAY SHEPHERD MARK RUBENSTEIN	School Energy Coalition (SEC)
RICHARD STEPHENSON	Power Workers' Union (PWU)

A P P E A R A N C E S

BOHDAN DUMKA

Society of United Professionals
(SUP)

MARK GARNER
BEN SEGEL-BROWN

Vulnerable Energy Consumers'
Coalition (VECC)

ALSO PRESENT:

JODY McEACHRAN

Hydro One Networks Inc.

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:09 a.m.	1
Preliminary Matters	1
HYDRO ONE NETWORKS INC. - PANEL 5: ASSET MANAGEMENT PLANNING & WORK EXECUTION, resumed	15
D. Bradley, B. Jesus, L. Garzouzi, B. Bowness; Previously Affirmed	
Cross-Examination by Ms. Grice (Cont'd)	15
Cross-Examination by Mr. Sidlofsky	36
--- Recess taken at 10:55 a.m.	57
--- Upon resuming at 11:15 a.m.	57
--- Luncheon recess at 1:11 p.m.	116
--- On resuming at 2:15 p.m.	116
Questions by the Board	125
Re-Examination by Mr. Nettleton	135
--- Recess taken at 3:01 p.m.	141
--- On resuming at 3:13 p.m.	141
DECISION	141
HYDRO ONE NETWORKS INC. - PANEL 6, SHARED SERVICES	143
T. Irvine, R. Berardi, L. Frost-Hunt, I. Merali; Affirmed	
Examination-In-Chief by Mr. Nettleton	143
Cross-Examination by Mr. Ladanyi	146
Cross-Examination by Ms. Girvan	159
--- Recess taken at 4:13 p.m.	178
--- On resuming at 4:27 p.m.	178
Cross-Examination by Mr. Segel-Brown	178
--- Whereupon the hearing adjourned at 4:58 p.m.	195

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT NO. K9.1: BOARD STAFF CROSS-EXAMINATION COMPENDIUM FOR HONI PANEL 5	38
EXHIBIT NO. K9.2: CCC CROSS-EXAMINATION COMPENDIUM FOR HONI PANEL 6	159
EXHIBIT NO. K9.3: VECC CROSS-EXAMINATION COMPENDIUM FOR HONI PANEL 6.	178

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. J9.1: (a) TO ADVISE WHETHER THERE WAS A GAIN ON THE SALE OF THE PROPERTIES; (b) TO ADVISE WHETHER HONI WAS SHARING OR DID SHARE IN THE PAST THE PROFIT ON THE SALE WITH THE RATEPAYERS.	147
UNDERTAKING NO. J9.2: TO EXPLAIN WHY VEHICLES ARE NOT LISTED IN THE DEPRECIATION RATE REVIEW AT EXHIBIT C1, TAB 6, TAB 1, SCHEDULE 1.	151
UNDERTAKING NO. J9.3: TO SUBMIT THE REVISED FORECAST.	170
UNDERTAKING NO. J9.4: TO PROVIDE THE LEVEL OF TRANSITION COSTS INCLUDED IN THE 44 MILLION TO BRING THE CONTACT CENTRE IN-HOUSE	177
UNDERTAKING NO. J9.5: TO PROVIDE THE HISTORICAL NUMBER OF METERS THAT STILL REQUIRE MANUAL READINGS	186
UNDERTAKING NO. J9.6: TO ADVISE, FIRST, WHETHER HYDRO ONE WILL BE REPLACING THE METERS AT THE ACQUIRED LOCAL DISTRIBUTION COMPANIES ;AND, SECOND, WHETHER HYDRO ONE CUSTOMERS WILL BE BEARING THOSE COSTS.	193
UNDERTAKING NO. J9.7: TO PROVIDE THE TIMELINES FOR NOTIFICATIONS TO RESIDENTIAL CUSTOMERS, AND ULTIMATELY THE DISCONNECTION NOTICE.	195

1 Monday, June 25, 2018

2 --- On commencing at 9:09 a.m.

3 MR. QUESNELLE: Good morning, Mr. Nettleton. Any
4 preliminary matters for yourself?

5 MR. NETTLETON: Good morning, Mr. Chairman, Panel
6 members. We have no preliminary matters, but I do believe
7 my friend Mr. Rubenstein does.

8 MR. QUESNELLE: Okay, Mr. Rubenstein?

9 **PRELIMINARY MATTERS:**

10 MR. RUBENSTEIN: Good morning, Panel. This is with
11 respect to Undertaking J7.1. Can you hear me? Good
12 morning. This is with respect to Undertaking J7.1. This
13 was, if you recall, the Boston Consulting presentation
14 undertaking, and my friends filed it on Friday afternoon,
15 and in doing so, it filed -- it made two sets of
16 redactions, I think it is just in generally with the
17 discussion that we had on Friday. It redacted in black
18 areas that were outside the scope of the proceeding, so
19 transmission or unregulated or otherwise, and then in red,
20 material that in its view was confidential because, in
21 reading from the covering letter accompanying -- or not the
22 covering letter but the text of the undertaking response,
23 that it believed related to sensitive commercial
24 information related to third-party contract negotiations
25 that have not publicly disclosed -- or staffing matters
26 impacting unionized employees that have not been publicly
27 disclosed.

28 There is a very significant amount of red redactions

1 that I submit, first, it's unclear the nature of them. In
2 many cases it's just simply pages, the full amounts, that
3 are redacted in red, but putting that aside, I'm unclear,
4 and I'd ask for the Board's guidance, what the Board's
5 intentions would be. We would submit that at the very
6 least the information should be provided on a confidential
7 basis to those parties that have signed the declaration and
8 undertaking.

9 It's my understanding that my friend's intention is
10 not to so, just to leave it as is and keep the amounts
11 redacted. I think they're clearly -- the information is
12 clearly relevant to aspects of this application. They
13 relate -- there are plenty -- there are -- I mean, I'm not
14 sure if the undertaking could be brought up on the screen
15 so -- if this may be helpful to the Board. I'm not sure if
16 it's had a chance to review the undertaking yet.

17 MR. QUESNELLE: We just received it literally minutes
18 ago, so, no, we haven't reviewed it.

19 MR. RUBENSTEIN: So I can just -- if we can just put
20 it up on the screen and walk through maybe a couple of
21 examples, and I'll leave it to the Panel if it wants to
22 review it in full later.

23 Can J7.1 be brought up, please? So if we can go to an
24 attachment 1, page 52, 51, 52. So on this page, this is
25 with respect to -- this is just one small example with
26 respect to potential application -- this is again a
27 presentation, I believe, from early 2016, so this is
28 redacted specific, I believe, elements that could be

1 meeting this optimized with respect to the fleet.

2 If we could just go to the next page, which further
3 redactions -- the next page we see it again with facilities
4 management. If we can go to attachment 2, page 48, I'll
5 just -- just as another example...

6 We see under the executive summary "organizational
7 effectiveness", and then for the next six pages it is
8 entirely redacted. So I obviously can't speak to the
9 contents, and if it meets the Board's guidelines of
10 confidentiality, but I would say at the very least this
11 information is clearly relevant. I think my friends
12 recognize by putting it in the red that it falls within the
13 scope of the proceeding, and I'd ask at the very least that
14 those who signed the declaration undertaking can have the
15 ability to review this material.

16 MR. QUESNELLE: Thank you. Mr. Nettleton?

17 MR. NETTLETON: Well, Mr. Chairman, let me just
18 explain, sir, the effort that has gone into obtaining this
19 information. You can see that there are over 400 pages of
20 presentation material. If we go to the explanatory, which
21 is the first page of the undertaking, and I'll wait for it
22 to come up, I would encourage and impress upon the Board
23 the need to carefully read the language setting out what it
24 is that this 400 pages of material relates to.

25 It concerns a series of meetings of the steering
26 committee, known as the "Good to Great Initiative", that
27 all fed into the board of director presentation that we did
28 file on an unredacted basis that went to the board of

1 directors.

2 The text of this explanatory goes out of its way to
3 impress upon the reader that these are working drafts, that
4 this is all material that was used by the steering
5 committee and by the Good to Great Initiative for purposes
6 of preparing the work product that went to the board of
7 directors.

8 Mr. Rubenstein is overstating the belief that this is
9 clearly relevant to this proceeding. The series of
10 meetings that took place took place were over a year before
11 this application was filed. It related again to an
12 internal initiative arising out of the going-public
13 transaction to find and make organizational changes to
14 Hydro One.

15 So if we, for example, go to the second page, you can
16 see that this was the first meeting held on February 9th,
17 2016. And if we go to the next page -- sorry, keep
18 going -- here is the typical agenda that you will see for
19 each and every one of the meetings where there were
20 presentations delivered.

21 And you can see that with each meeting there were
22 presenters that came into the committee, gave their
23 submissions. There was obviously discussions held
24 regarding what the presentation was intended for, and that
25 interaction, of course, would not have been captured in a
26 PowerPoint presentation. It was clearly intended for
27 dialogue, internal dialogue.

28 If we start going down the path, Mr. Chairman, of

1 starting to look at individual conversations and individual
2 dialogues and only capture part of the process, namely a
3 presentation, and suggest that that has some relevance to
4 an application that is then filed over a year later, I
5 really question what weight, what reliability, what
6 relevance it has to the application that's before this
7 Board.

8 MR. QUESNELLE: Mr. Nettleton, I think this might be
9 as simple as the Board -- or the -- your client's protocol
10 that attached to this, that is redacted in black, it is not
11 relevant, if it is redacted in red it is commercially
12 sensitive, or other matters, so I think Mr. Rubenstein's
13 question is: If it's not redacted in black, then it's
14 relevant. Why wouldn't you just apply the Board's usual
15 protocol of confidentiality and allow those who have signed
16 a declaration to see it?

17 MR. NETTLETON: Again, we have not said it's relevant.
18 We've said that the redactions in red relate to
19 commercially sensitive information of the company.

20 The relevance that we say applies to this hearing
21 relates to the application that has been filed before the
22 Board. If there are numbers, for example, in the red that
23 relate to, I think Mr. Rubenstein put up "fleet
24 management", that happened in February 2016, and those
25 numbers differ from what has been applied for in this case,
26 we are now going to have a conversation of what was in your
27 mind in 2016 when you made a presentation to steering
28 committee and what were the exchanges that took place, and

1 the problem, Mr. Chairman, is if you look at the leads, if
2 you look at the people on the screen, Mr. Penstone is no
3 longer with the company, Mr. Schneider is no longer with
4 the company, Mr. Rebick is no longer with the company.
5 There are individuals who are in these meetings that are no
6 longer here.

7 Again, I don't know how and why this material,
8 regardless of its content, is relevant to an application
9 that has been filed where the company is relying on that
10 evidence in this proceeding to justify the relief that's
11 sought.

12 MR. QUESNELLE: So if -- the clarification you are
13 providing this morning, Mr. Nettleton, is even if it is
14 redacted in red, it may not be relevant?

15 MR. NETTLETON: Correct.

16 MR. QUESNELLE: Mr. Rubenstein?

17 MR. RUBENSTEIN: I understand my friend hasn't agreed
18 that this stuff is relevant. He opposed the production of
19 these in the first place. I think to some degree, at some
20 level, we are past that. I don't agree they are not
21 relevant.

22 One of the problems that intervenors and, I would
23 submit, the Board always has in proceedings is you don't
24 know the counter-factual scenario. So I think it is
25 relevant if my friend -- I don't know what's behind this,
26 but if a slide says we think we can achieve X amount of
27 savings and ultimately they don't come forward with that or
28 it's in different areas, it is fair for the Board to wonder

1 what has happened.

2 I recognize it may not be the exact same people who
3 are up before -- I brought you to the fleet panel because
4 that's the shared services panel that is up later on today.
5 But that they're not the same individuals, I accept that.
6 But that's essentially always the case with utilities; over
7 time, people change and the -- and it's the institution
8 that is, in essence, before the Board.

9 You know, with respect, all of the important -- as I
10 went through this presentation, essentially I'd submit it's
11 all the important stuff appears to be redacted to make --
12 to fully understand what was going through the board --
13 going through this committee and through the company as it
14 was moving from its Good to Great Initiative.

15 I mean, I don't fully -- if my friend's view is
16 ultimately this is not the most -- it is not the best
17 reflection of what ended up happening or something, that's
18 fine. The Board -- that can go to weight and the Board can
19 determine this was an early draft, things change. Everyone
20 understands that. But I'm not sure why, full stop, it
21 should be redacted.

22 MR. QUESNELLE: Mr. Nettleton, is there a version
23 that's available to the Panel?

24 MR. NETTLETON: I'm sure we can -- I don't have it.
25 I'm sure that --

26 MR. QUESNELLE: It hasn't been filed?

27 MR. NETTLETON: It has not been filed, no, sir.

28 DR. ELSAYED: Can you remind me what was the timing of

1 these presentations, relative to the timing of the
2 presentation to the board?

3 MR. NETTLETON: Dr. Elsayed, the board presentation --
4 my understanding is that the board presentation was made in
5 May of 2016. So these presentations -- there was a series
6 of six meetings that took place where there were
7 presentations, and as outlined in the undertaking response,
8 there was a variety of presenters; not every work stream
9 presented at each session. There was differing levels of
10 agenda leads and time for the presenters that came to
11 steering committee.

12 The first meeting of steering committee was dated
13 February 2016. So it happened there was a period of time
14 between February -- and I don't have all of the dates, but
15 they are on -- they are recorded on the undertaking
16 response with each presentation deck in terms of when the
17 presentation happened.

18 DR. ELSAYED: So these presentations were made in a
19 period starting February 2016 to some other date?

20 MR. NETTLETON: Yes.

21 DR. ELSAYED: And...

22 MR. NETTLETON: Up until -- between February and May.

23 DR. ELSAYED: So there was not like -- the argument
24 you were making earlier about the time that elapsed between
25 those presentations and the information in these
26 presentations relative to what has been presented to the
27 board, which you argue is relevant to this application, was
28 not long.

1 MR. NETTLETON: Sorry, let me be clear. This
2 application was filed in March 2017. So the first
3 presentation happened 13 months before the application was
4 filed. The presentation to the board of directors happened
5 in May 2016, so almost ten months in advance of the filing
6 of this application.

7 DR. ELSAYED: No, I understand that. But would you
8 consider the presentation to the board in May 2016 and the
9 content of that presentation to be relevant to this
10 application?

11 MR. NETTLETON: It has not been filed in this
12 proceeding as being something that Hydro One is relying on,
13 because the product of whatever happened in the May 2016
14 board of directors' meeting then followed subsequent steps
15 that were taken by the company through the customer
16 engagement process, through additional board memos, the
17 consolidated business plans that were filed, and ultimately
18 the presentation of the application that was filed in March
19 2017.

20 So again, sir, I think the context here is really
21 important, that what we're dealing with here is a company's
22 ability to work internally through an internal working
23 process, a working committee, a working ability and then a
24 year before -- more than a year before filing an
25 application and having this regulator effectively say it's
26 fair to open the door and have every communication, every
27 document come forward, whether it's a working document or
28 not, that's presented to a committee and be disclosed.

1 In my respectful submission, there needs to be some
2 guidance and some limitations placed on that type of
3 disclosure. It's not something that the company is relying
4 on. This isn't about, as my friend indicated, you know an
5 institutionalized review of the organization. It is about
6 considering the application that is before this Board and
7 the relief that's sought and having a reasonable basis to
8 test the evidence that the company's relying on.

9 MR. QUESNELLE: Mr. Nettleton, I think the -- I think
10 we have to take a step back, and think of the evolution of
11 how we arrived at where we are today, just the
12 conversations we had last week.

13 The original question was: Is there anything akin to
14 the vegetation management report that came out of any one
15 of these streams, these work streams? And I think the
16 response was, well, there may have been a presentation,
17 there may have been a PowerPoint, and the Board ruled that
18 it was interested in that.

19 Now we have 400 pages of response. That isn't what we
20 had envisioned. That isn't what -- but you described it as
21 we were going along, and it described the work. But the
22 original attempt was to get something that was probably a
23 little more concise, a little more packaged. As it turns
24 out, that isn't the case.

25 But I think that at this point, to say that this is
26 what the Board should be avoiding and a typical going down
27 to these depths, the response has shown the depths in which
28 these papers go, and there is no recordings of

1 conversations. I think what the board is looking for is
2 papers, what happened, and would put that to weight and it
3 will do so.

4 Now, I think the next question is whether or not there
5 is any merit in having this disclosed. You've made your
6 argument on the rationale as to why it shouldn't. And I
7 think the counter-point that Mr. Rubenstein is making is a
8 typical one: Well, how do we know what's there? It has
9 been produced.

10 And I also take it, just from the few examples that
11 we've seen, is -- and I'm not suggesting you go back to 400
12 pages and identify this is the nature of this information.
13 I think you've done -- you know, attempted to do that well
14 in the narrative that sets up the response.

15 But I think that at the very least, we should have a
16 version that this Panel can look at and that's a typical
17 approach that we've taken as a Board, and the Board will
18 take a look at it and rule further.

19 Mr. Rubenstein, are you satisfied with that at this
20 juncture?

21 MR. RUBENSTEIN: Sure.

22 MR. NETTLETON: Mr. Chairman, I do need to comment on
23 one thing, and that is the nature of the original request
24 to see if there was something that was similar to veg
25 management.

26 I think it's fair to say that the company was very
27 sensitive, very concerned that we would be making judgment
28 calls on things that are obviously not consistent with the

1 type of presentation that was given to the veg management
2 stream.

3 As I indicated before, veg management was not one of
4 the work streams.

5 MR. QUESNELLE: No.

6 MR. NETTLETON: It was a stand-alone report that was
7 prepared, and we said in our minds, look, we owe it to the
8 Board to be clear and show them the nature of the process
9 that was going on and the level of disclosure that we
10 thought was relevant and consistent, because we did not
11 want to be accused later on of suggesting that we were
12 picking and choosing.

13 I think that where we have picked and choosed is a
14 reasonable balance by showing you and all parties the
15 nature of the process that was undertaken internally
16 through Hydro One, the context or the type of discussion
17 that you would reasonably expect from the level of
18 disclosure that's been given, and for us then to say, okay,
19 would these reasonably be considered as working papers, as
20 working drafts, as something that's built into the board of
21 director presentation that has been disclosed.

22 MR. QUESNELLE: Okay.

23 MR. NETTLETON: So with that, we will get you the --

24 DR. ELSAYED: Just one quick question. Are the 400
25 pages all PowerPoint presentations? Forgot about that.

26 MR. NETTLETON: Yes.

27 DR. ELSAYED: They're all PowerPoint presentations;
28 okay.

1 MR. NETTLETON: Over a six -- there were six meetings
2 that took place, and so we felt that it was important to
3 give you all presentations.

4 MR. QUESNELLE: Thank you, Mr. Nettleton. And the
5 Board does not take it lightly. We appreciate the effort
6 and recognize how much work has gone into this.

7 MR. RUBENSTEIN: If I could just, if I could make one
8 comment. I am unclear now, is the red material -- as I
9 understood when I first reviewed this that the red material
10 that was redacted was specific to confidential -- things
11 that would normally fall under the Board's confidentiality
12 guidelines, but as I heard Mr. Nettleton's argument, it is
13 more -- it is unclear to me what the difference is between
14 that information and the other stuff that has been
15 produced, because if that falls within its bailiwick of
16 things they don't feel the Board needs to see or parties
17 need to see -- so if it -- my question then through you is:
18 Is the red material more than that category of information?

19 MR. QUESNELLE: Well, yeah, I've sought the same
20 clarification, Mr. Rubenstein, and the response was, yes,
21 there is a relevance question to the red redaction as well,
22 and I don't know where we go with that. Mr. Nettleton?

23 MR. NETTLETON: Again, I think that, you know, to
24 place this into context, if someone had a number that
25 presented to steerco that related to a category of
26 distribution expenditure, that at the time in February was
27 a particular number different from the number that's been
28 presented here in this application, then the question is:

1 What do we do with that? Are we now going to go into an
2 exploratory exercise that says Hydro One is not relying on
3 this information, the way in which it was modified may or
4 may not be explained, because the people -- the resources
5 that were involved in this meeting have not, and do not,
6 are no longer with the company, and quite frankly, I don't
7 know if there is anyone here still with the company that
8 was in attendance at these meetings when there was a
9 discussion that could explain what the difference in the
10 numbers are. So --

11 MR. QUESNELLE: You will accept, Mr. Nettleton, that
12 that's a rationale that is separate and distinguishable
13 from the rationale of it being financially sensitive, that
14 the descriptor of the material that is redacted in red
15 doesn't go as far as that. It doesn't include that.

16 MR. NETTLETON: No, no, but it does go, and if I call
17 up the first page again, it's the last paragraph that we --
18 where we talk about the redactions. And what Mr.
19 Rubenstein did mention was that the redactions do relate to
20 sensitive commercial information related to third-party
21 contract negotiations that have not been publicly
22 disclosed, or staffing matters impacting unionized
23 employees that has not been publicly disclosed and/or that
24 could have an impact on labour negotiations.

25 MR. QUESNELLE: And what you're adding to that this
26 morning is, or information that may lead to disclosure that
27 wouldn't have any -- wouldn't be warranted because if it's
28 stalemated or --

1 MR. NETTLETON: I don't know how you for -- example,
2 if a pole replacement metric came in that said, as Mr. --
3 as my -- as -- if B.C. Hydro's pole replacement cost came
4 into the discussion that said it's \$2,000 or \$1,500, how
5 does that information become relevant to this --

6 MR. QUESNELLE: The argument has merit, Mr. Nettleton,
7 I'm just suggesting it's not in the note that Mr.
8 Rubenstein read.

9 All right. We'll -- well, we'll see what the timing
10 is and what we can do. We'll try to respond to this as
11 soon as we can, but if the Panel could obtain an unredacted
12 version, totally unredacted, and then we'll take a look and
13 go from there.

14 Okay. Ms. Grice.

15 **HYDRO ONE NETWORKS INC. - PANEL 5: ASSET MANAGEMENT**
16 **PLANNING & WORK EXECUTION, RESUMED**

17 **Darlene Bradley,**

18 **Bruno Jesus,**

19 **Lyla Garzouzi,**

20 **Brad Bowness; Previously Affirmed**

21 **CROSS-EXAMINATION BY MS. GRICE (CONT'D):**

22 MS. GRICE: Thank you. Good morning, panel. If we
23 could turn, please, to page 56 of my compendium. So as
24 part of AMPCO's compendium I filed the 2015 asset condition
25 assessment for Thunder Bay Hydro that was undertaken by
26 Kinectrics as part of their 2016 cost-of-service
27 application. And I want to review some of the key findings
28 in the report at a high level with the witnesses.

1 So in terms of context for this report, Thunder Bay
2 was asked by Kinectrics to perform an asset condition
3 assessment on its key assets to facilitate the development
4 of a distribution system plan, and if you can turn to page
5 80 --

6 MR. NETTLETON: Sorry, Ms. Grice, can you just confirm
7 -- I notice in the bottom left-hand corner there is a
8 reference to confidentiality and proprietary information.
9 Has this been placed on the public record?

10 MS. GRICE: Yes, it has.

11 MR. NETTLETON: Okay. Thank you.

12 MS. GRICE: If we can turn to page 80, please. This
13 is the outcome of the assessment that Kinectrics did for
14 all of the key assets in Thunder Bay's distribution area.
15 They've provided the population of each asset group, the
16 sample size that had data for it, and then they came out
17 with a health index distribution for all of the assets and
18 rated them according to very poor, poor, fair, good, and
19 very good. You see that there?

20 MS. GARZOUZI: Yes.

21 MS. GRICE: Okay. Thank you. And then if you turn
22 the page to page 81, just puts the same information in a
23 chart form and shows the distribution of health of those
24 assets, with the red being very poor and the dark green
25 being very good.

26 And then if we can next turn to page 84, the report --
27 based on the asset condition assessment that was
28 undertaken, Kinectrics came up with a ten-year flight for

1 action plan for all of the asset groups that were analyzed
2 in the report as a recommendation to Thunder Bay in terms
3 of quantities of assets to be replaced, recognizing that
4 this proposal was based on condition only.

5 And then if you can please turn to page 88 of the
6 report. Okay. This is the area that I want to focus on.
7 The other thing that Kinectrics did was they did an
8 assessment of data availability and they did a data gap
9 analysis for each key asset group. And they defined the
10 data availability as relative to what Thunder Bay was
11 currently collecting in terms of data and then the data gap
12 was relative to information that was not being collected.

13 And they came up with two key recommendations based on
14 this assessment, and the first one was that Thunder Bay
15 should bring its data availability to 100 percent for all
16 of its asset groups and maintain it at this level.

17 And then in terms of the data gaps they recommended
18 that data that was not being collected be gathered in a
19 prioritized way and that the data gaps would relate to
20 additional sources of data from testing, and they gave a
21 couple of examples of pole strength testing or cable
22 testing.

23 And you can see those recommendations on page 89 at
24 the bottom, number 7 and 8. And those are the two I just
25 summarized, the first one being bringing the data to 100
26 percent and the second one being to fill in the data gaps.

27 So if we can now please turn to page 87. Kinectrics
28 has a finding, and that's in the first paragraph, that

1 begins after "as such." "Even if an asset group has a high
2 data availability" -- sorry, I'm on the top of page 87, in
3 the first paragraph, third sentence. It begins with "as
4 such."

5 "Even if an asset group has a high data
6 availability, this does not mean information for
7 this asset group is complete; i.e., if there are
8 numerous data gaps, the degree of confidence that
9 the health index reflects true condition may
10 still be low."

11 Would you agree he with that statement?

12 MR. NETTLETON: Well, Mr. Chairman, I'm objecting to
13 the question. I don't know how this witness or these
14 witnesses would be able to comment on a third-party report
15 prepared for a company that is not related to Hydro One,
16 would be able to comment on the conclusions that that
17 expert has made in this report.

18 MR. QUESNELLE: Ms. Grice?

19 MS. GRICE: Well, I'm just putting forward a general
20 proposition.

21 MR. NETTLETON: But it's not general. It's talking
22 about a specific statistic called DAI that is not something
23 that, I believe, has come on to the record in this
24 proceeding.

25 Certainly Kinectrics, the author of this report, is
26 not a report that -- or an expert that has testified in
27 this proceeding. I don't know how Hydro One would be able
28 to comment on that.

1 MR. QUESNELLE: I don't know that this isn't a general
2 observation, Mr. Nettleton. I think that knowing the
3 expertise of the witnesses that -- and there was some
4 discussion of this last week as to how, with a -- I'm
5 thinking back to part of the conversation where there's
6 conditions are not kept on run-to-fail assets because
7 you're not planning on doing anything with it, their
8 determinations are not being made mid-life, those types of
9 conversations.

10 I think this is in line with that general proposition
11 and I think it's a general comment and an observation. And
12 as for whether or not Hydro One's approach takes this into
13 consideration and if they don't, and it is something that
14 they lack an understanding of what this means, I think
15 that's a fair response as well.

16 MS. BRADLEY: Not knowing exactly what data is here,
17 if we were doing an assessment like this, we would have
18 meetings to understand exactly the context or the
19 information that Kinectrics was referring to.

20 But for example, in the last paragraph where it says
21 "underground cables had only age information", I would
22 assume the missing data doesn't help you make a condition-
23 based decision because they only have age data. And they
24 said fewer than half the cable population even had that
25 information.

26 So with that kind of missing information, yes, I could
27 see that if you had an age-based program, you have half
28 your population for which you are not going to plan work.

1 So as we talked about earlier, it will result in a smaller
2 program than anticipated. But obviously you are not going
3 to pick those cables up in your program.

4 I'm not sure if that's exactly what your question was.

5 MS. GRICE: Thank you. I should have stated that the
6 condition -- that data that they used was test data
7 inspection records, the age of the asset, and the make,
8 model and type.

9 And I guess if we can go back to page 88 and just look
10 at the table, perhaps wood poles, so this fits with the
11 finding that I just read that they have the data one 100
12 percent of the poles related to information that they are
13 currently collecting; that's what the data availability is
14 tracking. But the data gap is medium to high, and I
15 referenced the recommendation where they state in it,
16 number 8, that additional sources of data would come from
17 testing, example pole strength testing. So that's the data
18 gap for poles in this example.

19 So I just wanted to see if you would agree with their
20 statement that if there are numerous data gaps, and you --
21 even if you have a high data availability, the degree of
22 confidence that the health index reflects true condition
23 may still be low because of that data gap.

24 MS. BRADLEY: I don't think that you can generalize
25 that statement. With wood poles, if they have a hundred
26 percent of the data of pole test results, but they have --
27 I'm not sure how they consider it a high percent with a
28 high gap. Say they had a portion of their poles that

1 aren't in their database at all so they don't have
2 information on that, they are not going to plan to replace
3 them, clearly.

4 So I think every one of these categories would be very
5 different, depending on the type of information that was
6 being sought and how relevant it is.

7 MR. NETTLETON: Mr. Chairman, I mean I don't know how
8 to explain the difference between a box on a chart that
9 says all 100 percent average DAI, but how they got to a
10 conclusion in the next column that says data gap of medium
11 to high.

12 That is, I think, what Ms. Bradley is saying, is that
13 it's not clear.

14 MR. QUESNELLE: And that provides Hydro One's thinking
15 on how they would approach this.

16 MS. GRICE: I'll move on. But as part of Navigant's
17 unit cost benchmarking report that was done, Navigant
18 identified a gap with respect to Hydro One's pole testing,
19 correct?

20 MS. GARZOUZI: Can you please be more specific?

21 MS. GRICE: Sure. If we could turn to page 102, this
22 is a page out of the Navigant report and at the bottom
23 under section 3.2, "Pole inspection costs and frequency",
24 it says in the third sentence:

25 "Hydro One performs visual and light physical
26 inspections on a shorter interval than most other
27 companies (three to six years compared to 10 for
28 the panel) and Hydro One is the only company that

1 does not use bore, excavation, or ultrasonic
2 methods on a dedicated schedule (seven to 20
3 years)."

4 So I take that to mean, in the context of our
5 discussion around Kinectrics, that there is a data gap with
6 respect to testing of poles that was identified by
7 Navigant.

8 MS. GARZOUZI: I don't think that highlights a data
9 gap. I think what that highlights is a different practice.

10 MS. GRICE: Okay. And then if we turn to page 101,
11 please. Navigant had a key recommendation regarding pole
12 replacement, which was that Hydro One should consider
13 modifying the pole replacement program to include more
14 complete people inspections: sound, bore, excavation.

15 Can you confirm, then, that Hydro One is not doing
16 this currently?

17 MR. NETTLETON: Mr. Chairman, it does go on. In
18 fairness, it says "and a longer approximately 10 year
19 inspection cycle." I think it's only fair to put the whole
20 recommendation to the panel.

21 MS. GARZOUZI: As noted in the Navigant report, we
22 actually inspect our assets more frequently, so on the six-
23 year cycle for rural and then a three-year cycle for urban,
24 than the peer group in the benchmark. And that is
25 specifically the point regarding the boring on a cycle, or
26 on a time cycle.

27 So we are considering, or we are looking at more
28 cyclical, intrusive testing or ultrasonic testing and we're

1 commencing that this year.

2 Based on our findings, we will adjust the cycle
3 accordingly. It might align with our inspections per the
4 DSC appendix C, or it might be longer or shorter. So we're
5 working through that right now.

6 MS. GRICE: Can you just confirm that the investment
7 plan that makes up this application, the poles that are
8 proposed for replacement, they do not reflect this more
9 rigorous pole testing; is that correct?

10 [Witness panel confers]

11 MS. GARZOUZI: Ms. Grice, can you please repeat the
12 question?

13 MS. GRICE: I'm sorry, I just -- oh, I was -- I was
14 asking for confirmation that the investment plan, the
15 capital investment plan around pole replacement, the
16 quantities that are in the plan and the spending does not
17 reflect this more rigorous pole testing; is that correct?

18 MS. GARZOUZI: That's correct. However, the more
19 rigorous testing would find more, so I would look at it not
20 that we failed poles that are not failed. If the hammer is
21 going through the pole at the ground level, it means that
22 there is rot at the ground level. If there is a bore test
23 or there is a lot of woodpecker activity throughout the
24 pole it will jeopardize the structural integrity of the
25 pole. However, additional testing might find something
26 that the current inspector is not finding on the spot. And
27 rot typically exhibits at the ground level and below and at
28 attachments where there is -- premature rot or decay may

1 occur.

2 MS. GRICE: Would you agree with me that if you did
3 more rigorous strength testing on your poles you would have
4 noticeably better information to make decisions on which
5 poles to replace?

6 MS. GARZOUZI: It would depend on the effectiveness of
7 the test. There's many methods out there and they provide
8 different benefits. You might find -- you know, similar to
9 an MRI, you might find, you know, tumours that weren't
10 found before, but you don't know if it's actually
11 jeopardizing the structural integrity of the pole, so it
12 would really depend on the method that you would choose.

13 MS. GRICE: Okay. Can we turn to page 93, please.
14 And in response to part B you provide the asset analytics
15 algorithms for the assets where you have these. And if we
16 can turn the page to 94, it shows the asset analytics
17 algorithm for wood poles, and it shows the five tests there
18 that you do. A few of them are visual inspections, and
19 then, I believe, there are some light physical inspections
20 as well.

21 You haven't ranked the weightings of those tests,
22 which is different than what you've done for the other
23 asset groups, and you have a note to explain that. You
24 say:

25 "Wood pole supporting factors are considered
26 individually and do not have relative
27 weightings."

28 But if you were to begin doing a more rigorous

1 strength testing of poles, would you agree then if you
2 brought that test in that it would have a higher relative
3 weighting than these tests?

4 MS. GARZOUZI: So I'm not sure I agree with that. So
5 if we look at the elements of that table, a shell thickness
6 of 2.5 inches or less does not meet CSA. Hence that would
7 fail on its own. The hammer test, if the hammer is going
8 through at the ground level and so you are seeing porous
9 wood essentially, that fails the pole. If there is
10 extensive woodpecker damage or extensive damage, you know,
11 visual damage that is -- so visual and woodpecker can be
12 lumped together, because there's something that you are
13 visually inspecting -- that could jeopardize the structural
14 integrity of the pole.

15 So these elements are bores, if -- so it's not an ants
16 -- so it is not a weighting, and so the more rigorous
17 testing would be another component of this that fits into
18 shell thickness or hammer test.

19 MS. GRICE: So then would you say it has an equal
20 weighting? Is that what you would give it?

21 MS. BRADLEY: Can I just add that -- like, those tests
22 you are talking about are going to pick up a condition
23 earlier, but since we go every three to six years, we
24 believe that these tests, which they basically say you have
25 this problem, not you might get it in ten years, so if you
26 were doing other testing it might pick up a condition
27 earlier, but if it's failed one of these tests it already
28 is demonstrating visually the woodpecker damage or the

1 visual damage assessment, so you would have to act sooner
2 with these tests.

3 More intrusive tests, the more -- the tests you're
4 talking about are going to allow you to plan for ten years
5 out instead of for six years out. They are just giving you
6 an earlier indicator of poor condition.

7 MS. GRICE: Okay. Could we turn to page 95, please.
8 This is an undertaking where Hydro One provided the data
9 availability level for certain assets, and it shows that
10 under your station structures and MUS structures you have a
11 100 percent of the data. For circuit breakers it's 38
12 percent and then for station transformers, mobile unit
13 substations, and reclosers you've got data less than 100
14 percent, but in the 80-plus, 80 percent range.

15 How did you -- what did you base your data
16 availability level on? Is it asset units, or did you bring
17 in an assessment of the information that you're collecting?

18 MS. GARZOUZI: In this table, what constitutes the
19 percentage are the elements that we would collect as part
20 of our inspections or that we would use to determine the
21 condition or the end of life of the asset.

22 MS. GRICE: Okay. Thank you. And we've discussed
23 this before, but you've indicated for all of your line
24 assets the condition is recorded on an exception basis, and
25 therefore condition data availability is less than 100
26 percent.

27 Do you have a data availability level for poles? Do
28 you have a percentage for that?

1 MS. GARZOUZI: We have 100 percent for poles.

2 MS. GRICE: Okay, thank you.

3 And if we could turn to page 54, please. This is a
4 memo that went to your board of directors, and if you turn
5 the page to page 55, under part C, "Investment plan
6 process", it says:

7 "Hydro One's investment plan and process is based
8 on ISO 55000 principles, which are best practices
9 for holistic asset management."

10 I'm not familiar with ISO 55000, but as a follow-up I
11 wanted to ask: Does that standard recommend that assets be
12 collected -- that asset condition be recorded on an
13 exception basis? Is that something that comes out of that
14 standard?

15 MR. JESUS: So the ISO 55000, it was -- is a -- came
16 afterwards, past 55, which is the publicly available
17 specification for asset management. They've actually
18 subsequently turned it into an ISO governance model.

19 I'm not sure whether or not the ISO 55000 talks about
20 collecting of condition information. It's more process-
21 oriented, which indicates that you have to have some
22 process that determines what the condition of the assets
23 are and make the right decision.

24 But specifically, I can't talk to it. I'm not up-to-
25 speed on what it says regarding condition.

26 MR. BOWNESS: I think one piece for context that's
27 important is when we are capturing defects on an exception
28 basis we by default are also capturing information of -- on

1 a positive basis, and we're just not writing it down in the
2 system. We're not saying that the pole is fine, the cross
3 arm is fine, the guy wire is fine. It doesn't -- we don't
4 do anything with that. We capture the defect associated
5 with each one of those attributes, so we don't see that
6 there is any need to capture the positive record of okay;
7 we capture the defect. And therefore, based on having the
8 defects, we can do percentages. We can say this many poles
9 have failed the condition test out of the 1.6 million, as
10 an example.

11 MS. GRICE: I'm going to move on to a new area. Page
12 1, please. At the very bottom there, this is a page out of
13 your 2016 annual report and the paragraph title is "Risks
14 relating to asset condition and capital projects."

15 And I note that this same passage appears in your 2015
16 annual report, so it's a, I guess, a condition that has
17 existed for a while. I'll just read it:

18 "The company continually incurs sustainment and
19 development capital expenditures and monitors the
20 condition of its transmission assets to manage
21 the risk of equipment failures and to determine
22 the need for and timing of major refurbishments
23 and replacements of its transmission and
24 distribution structure. However, the lack of
25 real-time monitoring of distribution assets
26 increases the risk of distribution equipment
27 failure."

28 Can you just explain further what that risk is?

1 MS. GARZOUZI: This speaks to the way we operate the
2 distribution system. We talked about the distribution
3 system is largely not monitored and not automated, and so
4 we don't have real-time monitoring. For example, if the
5 transformer is approaching or exceeding its loading limits,
6 we're not seeing that in real-time or near real-time,
7 whereas on the transmission system, we do have all that
8 information to the second, to the minute.

9 And so this is really less about a condition and more
10 about operations, utilization of the system, loading of the
11 system.

12 MS. GRICE: Is there a long-term plan to address this
13 risk, or is that just the nature of the distribution
14 system?

15 MS. GARZOUZI: So over time, it would be -- as we
16 monitor and control and automate the distribution system,
17 we would be addressing that risk. And so the transmission
18 grid starts resembling more of a transmission grid, but
19 again, it has to be cost-effective in order to do so.

20 So not all circuits -- some circuits it may not be
21 cost-effective to have automated switches on them or
22 automated monitoring. And for many it will be, and we'll
23 get there over time. But it's a journey; it will take some
24 time.

25 MS. GRICE: Thank you. My next area -- I apologize, I
26 don't have the page in my compendium, but I did give a
27 reference to Hydro One on Friday and it may have been miss
28 -- moved along, but I'll give the reference. It is Exhibit

1 B1, tab 1, schedule 1, section 1.3, page 17.

2 And I asked this question at the customer panel and I
3 was asked to bring it forward to panel 5. So it is just
4 relating to the first bullet:

5 "For large customers, power quality events and
6 unplanned momentary power interruptions of less
7 than one minute, rather than sustained
8 interruptions of one minute or more, are the
9 primary concern. Some customers have capacity
10 challenges and want more access to power in order
11 to grow their enterprises."

12 My understanding is there are components in the
13 investment plan that address power quality, but I just
14 wanted to further understand, from a systematic
15 perspective, what the limitations are around tracking
16 momentary power outages.

17 And I should -- sorry, we did ask an interrogatory to
18 ask if you were tracking MAIFI and MAIDI and the response
19 was that you are not, and I'm just wondered what the
20 limitations are to do that.

21 MS. GARZOUZI: Ms. Grice, it's along the similar lines
22 that we just discussed. So it's that the distribution
23 system is not monitored, with the exception for the Owen
24 Sound area, which is a Smart Grid area where we had a pilot
25 and we automated a lot of the system there.

26 So for the rest of the province, we don't have that
27 level of monitoring, which means we don't have visibility
28 for momentary interruptions which is different from the

1 transmission system, which we would have that level of
2 visibility.

3 MS. GRICE: Okay. And long term, is that something
4 that, as you change your system, that might be able to be
5 captured?

6 MR. JESUS: Yes. Going forward, we're looking at
7 leveraging the smart meter network to be able to start
8 reporting on momentary interruptions. So the actual smart
9 meters that we have in people's homes, we would bring back
10 that information and start reporting on the momentaries.

11 MS. GRICE: Okay, thank you. If we could please turn
12 to page 110, this is the distribution scorecard, and under
13 pole replacement, you've got gross cost per unit. And when
14 -- if will you take it, subject to check, that when you add
15 up 12, 13 and 14 and arrive at an average, it is \$8,398 per
16 pole. Will you accept that, subject to check?

17 MR. BOWNESS: Subject to check.

18 MS. GRICE: Thank you. And if you could please turn
19 to page 104, this is a page from the Navigant study and
20 under "Pole replacement costs", the last sentence says:

21 "Across the comparison group, the average cost to
22 replace a pole is \$7,105. For Hydro One, that
23 cost is \$8,266."

24 So that's a different number than the one I just read
25 to you that came out of the scorecard of \$8,398.

26 Are you able to account for the difference between
27 those two average costs for the same time period?

28 MR. BOWNESS: Yes, we are. The Navigant benchmarking

1 approach asked for specific breakdowns of specific types of
2 costs, labour, material, fleet equipment. We made sure
3 that we were specifically answering to those buckets that
4 Navigant asked for, so that we could benchmark across the
5 other utility sets.

6 And we do know what the deltas are between the small
7 amount of dollars which is -- sorry, could you just repeat
8 the average that you had?

9 MS. GRICE: Sure. 8,398.

10 MR. BOWNESS: So it's about a 130-dollar difference,
11 and the differences in that are some of our miscellaneous
12 charges and some of our procurement card charges that are
13 within our broader corporate common groups that get
14 allocated across.

15 So really the Navigant benchmark was really the
16 bottom-up, apples-to-apples comparison of direct costs on
17 pole replacement, and then we did have a small percentage
18 of dollars that were an allocation from the rest of the
19 business. But Navigant did not ask us to provide that
20 information.

21 MS. GRICE: Okay. Are you able to provide the pole
22 unit costs for the years 2015 to 2022, using the same
23 methodology as the Navigant report, so that we can do an
24 apples-to-apples comparison with this report?

25 MR. BOWNESS: So the data that we've provided in SEC
26 29 is the forward-looking view of our unit cost projections
27 following our fully grossed-up costs.

28 If we were to look at our average delta in the

1 Navigant study of about \$130, you would effectively
2 subtract \$130 from those projections in SEC 29, and that
3 would be in line with what would be in the Navigant
4 information.

5 MS. GRICE: Is it possible to get the specific
6 calculations for those years?

7 MR. QUESNELLE: Ms. Grice, I think it's been
8 demonstrated, looking back anyway, and the evidence just
9 given is that it would be the same going forward. It is
10 138 delta per pole.

11 I'm just -- I'm looking for a -- I recognize that
12 there is a difference, but I think it's been explained that
13 that is the difference. I think precision on that, unless
14 I'm missing something...

15 MS. GRICE: No, that's fine, that's fine. Thank you.

16 And then we just had one -- another area where the
17 historical cost for poles appear to be different than
18 what's in the application. Can you please turn to page 108
19 and 109. And I'm looking at the historical cost for 2012
20 and 2013. And then the number of poles replaced. So the
21 55.5 and the 73.9, and then the number of poles replaced on
22 the next table, 7,452 and 10,720. That's from the last
23 application. I'm sorry, I didn't specify that.

24 And then if we go to the DSP, B1-1, section 1.6,
25 attachment 1, page 14, it's showing different numbers, and
26 I guess I'm just looking for clarification on the numbers
27 that are in the last application compared to what's in this
28 application in terms of pole cost and number of poles

1 replaced. And maybe the easiest way to do this would be by
2 undertaking just to account for the difference.

3 MR. BOWNESS: So could you just explain one example,
4 and then I think I'll be able to respond. So maybe we
5 could take one of the years that you're suggesting there's
6 a difference. Could you pick one that you're seeing a
7 difference?

8 MS. GRICE: It is 2012 and 2013.

9 MR. BOWNESS: Okay. So in 2013, if we can scroll up,
10 you're seeing the cost for pole replacements at
11 73.9 million?

12 MS. GRICE: Right.

13 MR. BOWNESS: To replace -- if we could scroll down to
14 2013's number of poles, would be 10,720. So based on my
15 math, subject to check, that would be \$6,893 and that is a
16 delta to what would be in the OEB scorecard table, which
17 would show that the average pole replacement cost would be
18 7,824; correct? That's the example delta that you are
19 looking to have explained?

20 MS. GRICE: Yes.

21 MR. BOWNESS: Okay. So the difference between these
22 two numbers is the difference between gross and net costs,
23 so the difference that we have on a replacement is a
24 replacement includes removing the old pole, and it is
25 approximately 10 percent of the cost, so if you look at the
26 delta that's in this table, this is -- the evidence in your
27 compendium is net cost. The number that's within our
28 scorecard is gross cost.

1 MS. GRICE: Okay, okay. Thank you.

2 And I just have two quick questions. One is a follow-
3 up. You've said in questions regarding your capital plan
4 that high-risk means you replace the asset within five
5 years.

6 Do you actually do that? Is that something that you
7 track and execute in that way?

8 MR. BOWNESS: So if you look at the way we plan the
9 asset, the failed condition high-risk is an asset that has
10 a high probability of failure in the next five years, and
11 that's what's formed the basis of the number of poles that
12 we have in a high-risk or a poor asset condition.

13 We then go through an exercise to prioritize work from
14 an execution perspective, to deliver that work as
15 efficiently and effectively as possible, so we would bundle
16 work together, we would look at geographic distribution, we
17 would make sure that we have the crews and the resources,
18 the fleet, equipment, in order to replace the poles, and we
19 would balance that execution between items that are in that
20 portfolio of 72,000 poles that we would replace over the
21 five-year period, and look to deliver it on the most cost-
22 efficient manner.

23 MS. GRICE: Okay, thank you.

24 And my last question: Just in terms of the interplay
25 between the distribution capital budget and the
26 transmission capital budget, if you have a priority in the
27 distribution business or the transmission business, does
28 money flow between the two capital programs?

1 [Witness panel confers]

2 MS. GARZOUZI: So when we prioritize investments there
3 is no trade-off between the transmission dollars and the
4 distribution dollars. The flowing between T and D would be
5 for things like, there are instances where distribution is
6 a tenant on a transmission corridor, and so there is a
7 rental fee that is charged, or there are instances where
8 distribution is paying transmission for a capital
9 contribution project, but there isn't a trade-off amongst
10 capital between those two businesses; they are separate and
11 distinct.

12 MS. GRICE: Okay. Thank you, those are my questions.

13 MR. QUESNELLE: Thank you, Ms. Grice.

14 Mr. Sidlofsky? Can we target about 10:40, if there's
15 a natural spot in your cross around 10:40, Mr. Sidlofsky?
16 We'll start the break then.

17 MR. SIDLOFSKY: I'll keep that in mind, sir. Thank
18 you.

19 **CROSS-EXAMINATION BY MR. SIDLOFSKY:**

20 MR. SIDLOFSKY: Good morning, panel. My name is James
21 Sidlofsky. I am counsel for Board Staff. And I have a
22 number of areas to take you through, but I'll start with
23 your proposed level of spending and associated reliability
24 impacts.

25 According to Hydro One, the plan detailed in your
26 distribution system plan which corresponds to Plan B
27 modified sets out the minimum possible rate increases or
28 the minimum investment level required to sustain constant

1 reliability performance over the planning period.

2 Is that an accurate characterization?

3 MS. BRADLEY: The desired outcomes is to get the right
4 balance between customer needs, between sustainability of
5 our assets and the needs of the assets in the system, and
6 to maintain reliability. It's the combination of the
7 three.

8 MR. SIDLOFSKY: Okay, and would it be fair to say that
9 you've rigorously and accurately validated that your
10 reliability performance can't be held constant unless you
11 make the expenditures that you've proposed under Plan B
12 modified?

13 MS. BRADLEY: We have the tools at our disposal to
14 rigorously and accurately predict the impact of the spend
15 on assets condition and our ability to sustain the fleet of
16 assets.

17 I know in the areas where we've got the table that
18 walks through scenario A, B, and C and the impact that
19 those scenarios have on reliability, we do state that those
20 are high-level assumptions that are put into coming up with
21 that reliability assessment.

22 There are many factors that contribute to the
23 reliability outcome.

24 MR. SIDLOFSKY: Okay. Maybe just for reference I can
25 take you to page 2 of the Staff compendium.

26 MR. QUESNELLE: Do we have a Staff compendium, Mr.
27 Sidlofsky?

28 MR. SIDLOFSKY: Sorry, sir, Mr. Davies has copies for

1 the Panel.

2 MR. QUESNELLE: You certainly do have a Staff
3 compendium.

4 MR. SIDLOFSKY: And that would be Exhibit K9.1.

5 **EXHIBIT NO. K9.1: BOARD STAFF CROSS-EXAMINATION**
6 **COMPENDIUM FOR HONI PANEL 5**

7 MR. SIDLOFSKY: So perhaps, Ms. Bradley, I can ask
8 that question a different way: Do you need to do all of
9 the expenditures you are proposing under Plan B modified to
10 maintain reliability at its current level?

11 MS. BRADLEY: We do know with the vegetation
12 management program that we are introducing we expect a
13 reliability improvement. And we've had a lot of discussion
14 over that over the last few days. We do need that level of
15 spend to be able to maintain the current condition of
16 assets.

17 But as we've discussed a number of times, the
18 vegetation management program will introduce an improvement
19 to reliability.

20 MR. SIDLOFSKY: Okay. At page 3 of the compendium,
21 we've reproduced Exhibit B1.1, which is distribution plan
22 section 2.4, page 2 of 8.

23 And in that extract, Hydro One explains that the level
24 of capital spending in each scenario is related to
25 reliability performance and that reliability impacts for
26 the proposed scenarios were modeled using the effective
27 relative investment impacts for vegetation management, pole
28 replacement, and distribution stations and other line

1 components. The first three that I mentioned are the
2 contributors to the majority of reliability impacts.

3 And you've summarized the impact on SAIDI and SAIFI
4 for each scenario in tables 52 and 53 of section 2.4 of the
5 DSP, and those are on pages 4 and 5 of the Staff
6 compendium.

7 Perhaps I could turn you to table 52 first, the SAIDI
8 projections. Under the contribution to SAIDI column, is it
9 fair to say that the overall impact on reliability is more
10 highly weighted on vegetation management with a 27 percent
11 contribution to SAIDI relative to other line components,
12 poles and stations?

13 [Witness panel confers]

14 MR. JESUS: Again, I'm -- yes, vegetation is a big
15 contributor to SAIDI. I think the updated numbers again
16 are in the Energy Probe 17 exhibit and we subsequently
17 provided the numbers under an undertaking.

18 But yes, vegetation is definitely a big contributor
19 towards SAIDI.

20 MR. SIDLOFSKY: And would similar thinking apply to
21 table 53 on the next page of the compendium?

22 MR. JESUS: That's correct.

23 MR. SIDLOFSKY: So contributions of other line
24 components at 18 percent and vegetation management at
25 16 percent are also more highly weighted than poles and
26 stations?

27 MR. JESUS: So could we turn to I18, Energy Probe 17
28 for the latest and greatest calculations?

1 MR. SIDLOFSKY: Absolutely.

2 MR. JESUS: Perfect. So in this interrogatory,
3 vegetation is contributing 31 percent and defective
4 equipment is 30 percent, in total.

5 MR. SIDLOFSKY: Sorry, I'm seeing vegetation 31
6 percent. Where is the 30?

7 MR. JESUS: I saw poles station and other line
8 components to categorize it as defective equipment, which
9 adds up to 30 percent.

10 MR. SIDLOFSKY: Okay. Now, if I could take you back
11 to page 6 of the Staff compendium, OEB Staff Interrogatory
12 number 164. That was Exhibit I, tab 29, schedule Staff
13 164, asked that -- asked Hydro One to calculate the
14 different SAIDI and SAIFI impacts that would result from
15 implementing each of the plans.

16 And Hydro One provided a sample calculation for poles,
17 and that's shown on page 8 of the Staff compendium. We've
18 given you the full response, but I'd like to take you to
19 the last page of that interrogatory response.

20 The reliability calculations shown in that table
21 suggest that under Plan B modified, if you replaced
22 7 percent of your poles, your reliability impact is also
23 7 percent. So -- in the table, to be fair, it's
24 6.6 percent change in fleet condition for poles, and a
25 7 percent positive reliability impact.

26 You'd agree that's essentially a one-to-one ratio? If
27 you change out 1 percent of your poles, you've got a
28 1 percent impact on reliability?

1 MR. JESUS: Yes, that's correct.

2 MR. SIDLOFSKY: And just to make sure I understand it,
3 that's a 7 percent impact on the 3 percent reliability
4 impact attributable to poles in table 52?

5 MR. JESUS: That's correct, and the tables, the way
6 they're done, all the contributions would then be
7 multiplied by that performance improvement. So you'd
8 actually end up with the contributions multiplied by the
9 percentage improvements, right?

10 So if we go back to your table 52, you can see that
11 for poles, there, it's shown as .2 contribution. The .2
12 would then be multiplied for each one of the performance
13 improvements associated with plan A, B, C and B modified to
14 arrive at the overall contribution for poles.

15 MR. SIDLOFSKY: Okay. I guess my question that comes
16 out of that, though, is that's only roughly a .21 percent
17 impact on SAIDI; is that right?

18 MR. JESUS: For which plan?

19 MR. SIDLOFSKY: Under Plan B modified.

20 MR. JESUS: It would be 7 percent times .2 would be
21 the contribution for Plan B modified for its poles. Yes,
22 that's correct.

23 MR. SIDLOFSKY: My question then is whether you
24 consider it prudent to make such a large investment,
25 because poles represents such a significant capital
26 investment, to obtain what seems to be a very small
27 performance improvement.

28 MR. JESUS: So from a --

1 [Witness panel confers]

2 MS. BRADLEY: The numbers that we see reflected in
3 this chart represent actuals, historically, and we've had a
4 proactive program to manage our end-of-life pole population
5 which has helped to keep this number in check.

6 So our pole replacement program is based on not
7 letting that fleet deteriorate beyond what it is today to
8 enable these kinds of outcomes. So I would expect a more
9 significant derivation from what we have today if all of a
10 sudden we said let's just let them all go. And it would
11 take a long time to catch up and recover from that.

12 MR. BOWNESS: Another reason why we think it is very
13 prudent in the interrogatory that we submitted the other
14 day is that from a public safety, reliability, and a cost
15 perspective, it's a more -- it's a better approach to make
16 sure we don't have poles falling down which lead to long
17 outages to restore poles on a reactive basis. It also
18 leads to higher cost to replace a pole on a reactive basis.

19 So yes, we do believe it's prudent to move forward
20 with the number of poles that we've recommended to be
21 replaced in this plan.

22 MR. SIDLOFSKY: Does the impact on SAIDI, the
23 calculation of the impact on SAIDI account for any weather
24 variability?

25 MR. JESUS: So that calculation, again, the
26 contribution from poles in the updated table is roughly
27 0.5. But the loss of supply and the force majeure events
28 have been excluded from that calculation, if that's what

1 you're asking.

2 So it's basically the contribution strictly from a
3 normal or storm day, without the storm day being force
4 majeure days, if that helps.

5 MR. SIDLOFSKY: Okay, and is there any -- that does
6 help. Thank you. Is there any confidence interval or
7 expected range of variability around those numbers as a
8 percentage of overall reliability impact?

9 MR. JESUS: Sorry, just confidence around which
10 number?

11 MR. SIDLOFSKY: Around the 7 percent.

12 MS. BRADLEY: When we presented these numbers to our
13 board, and this is in our board memo that's filed in SEC.4,
14 we do have a note that said SAIDI and SAIFI impacts are
15 calculated on high-level estimate basis using simplified
16 assumptions and are approximate.

17 It wasn't -- this was to give a feel for directionally
18 where would reliability go with different scenarios around
19 maintaining our asset fleet.

20 MR. SIDLOFSKY: So you have no sense of 7 percent give
21 or take a certain percentage or anything like that?

22 MR. JESUS: I would suggest to you that the 7 percent
23 is calculated, as we've shown in Staff interrogatory --
24 Staff 100, as well as the subsequent interrogatories that
25 we filed for all the calculations in the latest spreadsheet
26 that was submitted as the update to Energy Probe 17. And
27 it really is a simplistic calculation, basing the
28 relationship based on the level investment for each one of

1 those categories.

2 MR. SIDLOFSKY: So because it's that high level an
3 approach, Hydro One -- sorry, is Hydro One able to confirm
4 that there is this linear relationship between the
5 individual replacements and expected reliability?

6 [Witness panel confers]

7 MR. SIDLOFSKY: So put another way, if you move to
8 more or less than 6.6 percent, are you anticipating that it
9 -- that the reliability increase is going to correspond to
10 that new change?

11 [Witness panel confers]

12 MR. JESUS: I would suggest to you that the -- we've
13 used the best information that we have available based on
14 historicals and the contributions to SAIFI and SAIDI, and
15 that's how we've arrived at those calculations.

16 MR. SIDLOFSKY: So you don't know whether changing
17 5 percent of your poles out will lead to a 5 percent
18 reliability increase?

19 MS. BRADLEY: We've used our historic actuals. Year
20 to year there are so many factors beyond asset condition
21 that impact reliability. There are storms, there's motor-
22 vehicle accidents, there's a number of events that take
23 place and influence. We've used the best information that
24 we have available, and I can't guarantee it's going to be
25 exactly like that next year. There's external factors that
26 have an impact.

27 MR. SIDLOFSKY: Okay, could we go to page 10 of the
28 compendium, please. And at lines 17 and 18 of that extract

1 from the transcript from the March 5th session of the
2 technical conference, that's at page 40 of the transcript,
3 and at lines 17 and 18 Hydro One confirms that the same
4 logic that you followed for poles would be applied to other
5 components.

6 And in Undertaking JT3.10 from that technical
7 conference -- and that is at pages 11 to 13 of the
8 compendium -- you've provided some similar tables and
9 calculations related to changes in fleet conditions and
10 reliability impacts, so on page 11 of the compendium you
11 have a similar table for stations, and with respect to that
12 table you explained that the original calculation shown in
13 tables 52 and 53 assumed that eliminating all stations in
14 poor condition -- that's Plan A -- would lead to a
15 14 percent improvement in station reliability.

16 Now, the updated calculation provided in Undertaking
17 JT3.10 assumes that eliminating all stations in poor
18 condition is expected to only lead to a 9 percent
19 improvement in reliability. And corresponding reliability
20 impacts for the other plans are then calculated relative to
21 that assumption.

22 Can you tell me how the 14 and 9 percent were
23 calculated and why the assumption changed between your
24 original filing and the undertaking response?

25 MR. JESUS: So the 9 percent, what we did when we
26 calculated this updated table was we looked at the stations
27 that were in poor condition and their contribution to the
28 overall SAIDI and SAIFI impact. And what we found was that

1 the stations that are in poor condition and the ones that
2 have failed only contributed 9 percent towards the
3 unreliability. Ergo, that's why we changed the number from
4 14 to 9 percent.

5 MR. SIDLOFSKY: And do the calculations assume that
6 every station presently assessed as being in poor condition
7 will fail over the forecast period unless it's refurbished?

8 MR. JESUS: Yes, that's correct.

9 MR. SIDLOFSKY: And what's the basis for that
10 assumption?

11 MR. JESUS: The basis is that the transformers and the
12 stations have a high probability of failure. They have
13 been assessed. The transformers are in poor condition, and
14 the expectation is that they would be -- that they would
15 have a high probability of failure within the next five
16 years. And so the assumption was that they would fail.

17 MR. SIDLOFSKY: But as part of Plan B modified you are
18 proposing to maintain a total of 70 stations in poor
19 condition to -- in order to maintain constant reliability?

20 MR. JESUS: That's correct.

21 MR. SIDLOFSKY: So are you anticipating that those 70
22 stations will fail?

23 MR. JESUS: I guess I can't speak to exactly when
24 they're going to fail. No one knows exactly when they're
25 going to fail. No one in the industry knows when a station
26 or a transformer is going to fail. From a probabilistic
27 point of view, the answer is, yes, we expect that those
28 stations would fail, but with Plan B modified we're

1 maintaining the level of condition that we currently have,
2 so right now we have 70 stations in poor condition. The
3 plan that's before this Board would maintain that level at
4 70 stations.

5 MR. SIDLOFSKY: Moving to the next page, page 12 of
6 the compendium, there's a similar table for other line
7 components, and further line components, you say on page 2
8 of the undertaking that the calculations are relative to
9 Plan B, but the relationship between the reliability
10 impacts of Plan B and the reliability impacts of other
11 plans isn't entirely clear.

12 Could you take me through your calculation for this
13 category and explain how the reliability impacts are
14 calculated for each of the plans? So for example, how's
15 the initial negative 5 percent reliability impact from Plan
16 B modified calculated?

17 MR. JESUS: Okay, so with plan -- let's just start off
18 at Plan -- let's start off with Plan A. So Plan A, the
19 funding available to address line components in the plan
20 was \$50 million. And \$50 million, assuming that we would
21 address defects in the system and that addressing those
22 defects would mitigate or improve reliability by addressing
23 those defects, at \$2,000 a defect we end up with 25,000
24 defect corrections over the plan period, so with 25,000
25 defects corrected, we took -- and there's 300,000 defects
26 currently on the system -- we subtracted the 25,000 from
27 the 300,000, which is the basis of that calculation, or an
28 8.3 percent improvement.

1 For Plan B modified, the plan before this Board, only
2 \$9 million in funding is available to deal with line
3 components. And when you follow the same logic, 9,000
4 components -- actually, below 9,000 -- sorry, we have
5 \$9 million less in Plan B modified, \$9 million less, at
6 \$2,000 a defect, gives us 4,500 defects or 5,000 defects,
7 which is a reduction of 1.7 percent. That was the logic
8 that we applied.

9 MR. SIDLOFSKY: Okay, thank you.

10 Could I take you to page 13 and the discussion about
11 vegetation management. At page 3 of that undertaking
12 response Hydro One says that there is a 9 percent
13 improvement expected to offset the increase in the
14 vegetation backlog, and in the spreadsheet provided in your
15 response to Undertaking 6.10 -- and I apologize, that's not
16 in the compendium -- there's a note under Table 10 that
17 says:

18 "The 9 percent impact to reliability is based on
19 vegetation management feeder model impact on
20 reliability."

21 Could you explain what the vegetation management
22 feeder model is and how the 9 percent was calculated?

23 MR. JESUS: Sure, so the feeder model, basically, all
24 the feeders are on a right-of-way vegetation management
25 cycle. And so Plan B modified -- plan A, B and B modified
26 would have moved a thousand kilometres from the high
27 priority rights of way -- sorry, would have moved it from
28 the low priority rights of way to the high priority rights

1 of way, and the incremental -- so the model that we have
2 shows all the feeders and all the cycles, and the current
3 cycle that they're on, and what we did was we looked at the
4 impact to SAIFI and SAIDI based on moving that 1,000
5 kilometres from low priority to high priority.

6 So on the low priority rights of way, we would have a
7 1 per cent reduction in SAIDI. And by moving the thousand
8 kilometres to the high priority, they actually looked at it
9 and which rights of way would be cleared and the impact
10 associated with each feeder, and we determined that there
11 would be a 9 per cent improvement associated with it.

12 Ergo, the 9 per cent improvement in moving the
13 thousand kilometres to high priority, less the 1 per cent
14 degradation, gave us 8 per cent for Plan A, B and B
15 modified.

16 We then followed the same process for Plan C, except
17 in Plan C, we removed a thousand kilometres and again, we
18 looked at the model and what would mean from removing 1,000
19 kilometres from the plan and what the impact would be, and
20 it would be 9 per cent less the 4 per cent for an -- sorry,
21 less 5 per cent for an improvement overall of 4 per cent.

22 So it is a model that's being run in the background to
23 arrive at those calculations. However, from an OCP point
24 of view, from an optical cycle protocol, these numbers are
25 totally irrelevant because the benefits that we've stated,
26 we will achieve a 20 to 40 per cent improvement over the
27 five-year period.

28 MR. SIDLOFSKY: I'm sorry, you are suggesting that the

1 discussion about the 9 per cent is really superseded by
2 your updated vegetation management plan? Is that correct?

3 MR. JESUS: That's correct.

4 MR. SIDLOFSKY: Mr. Quesnelle, it's 10:40 right now.
5 I've got a couple of more questions in this area. I think I
6 could be finished in about five minutes.

7 MR. QUESNELLE: Certainly. Carry on.

8 MR. SIDLOFSKY: Taking you back to page 12 of the
9 compendium, you also confirmed that other line components
10 is funded under project SR-10, distribution lines planned
11 component replacement, correct?

12 MR. JESUS: That's correct.

13 MR. SIDLOFSKY: If we could go to the table starting
14 on page 16 of the compendium, that's an extract from
15 Exhibit B1.1, section 3.7 of the DSP. The total spend for
16 ISD SR-10, and that's actually shown on page 17 of the
17 compendium, is approximately \$35 million over the planning
18 period. That compares to SR-06, which is station
19 refurbishment of \$148 million, and pole replacement, SR-09,
20 at 579 million.

21 And I think you could confirm that tables 52 and 53
22 that we saw earlier show that other line components have a
23 significantly higher reliability impact than both station
24 refurbishments and pole replacements combined; would that
25 be accurate?

26 MR. JESUS: Yes, that's accurate.

27 MR. SIDLOFSKY: So is it reasonable to suggest that a
28 dollar spent on SR-10 would provide higher reliability

1 improvement impacts than a dollar spent in either SR-06 or
2 SR-09?

3 MS. BRADLEY: No, that's not fair to say. There
4 aren't early indicators of condition for line components,
5 so while we can rely on oil samples for power transformers
6 and stations in a test on a pole to know to replace it
7 before it fails, we don't have that same level of
8 information on the other line components. So we could
9 spend it and we wouldn't know what condition it's in.

10 MR. SIDLOFSKY: So did you consider at all reducing
11 spending in station refurbishments or pole replacements,
12 and increasing spending in line components, SR-10?

13 MS. BRADLEY: It's similar. Given the nature of those
14 other line components and the inability to do -- or the
15 fact that we don't have a proactive test to identify an
16 impending failure, there wouldn't be a value in doing that.

17 So we've planned to maintain the condition of the
18 assets for which we can man monitor condition, and replace
19 assets in a planned manner.

20 MR. SIDLOFSKY: Sorry, if you could just bear with me
21 for a moment.

22 Now, on Thursday last week, Mr. Rubenstein had a
23 similar discussion with the panel. The discussion took
24 place in volume 7 of the transcript at pages 138 to 140,
25 and unfortunately I don't have that in the compendium. But
26 Mr. Rubenstein suggested to you that since Plan B modified
27 was approved under the premise that the capital envelope
28 would maintain overall system reliability at current

1 levels, there should be room to adjust the capital program
2 as a result of the significant improvement in reliability
3 resulting from the revised vegetation management plan, and
4 you disagreed with that at the time.

5 Now, we've just gone through four sets of calculations
6 that Hydro One used to derive the expected system
7 reliability based on impacts of the four key drivers of
8 poles, stations, other line components, and vegetation.

9 So is it not plausible that you could use the same
10 simplified linear calculations that you used to adjust
11 spending in those four areas already in order to maintain
12 status quo reliability?

13 MS. BRADLEY: The plan that we have is based on
14 achieving a balanced set of outcomes. So we've used the
15 OEB's Renewed Regulatory Framework that focuses on
16 customers, operational effectiveness, public policy
17 responsiveness, and financial performance. It isn't only
18 reliability that drives our investments; it is sustaining
19 our fleet of assets.

20 So we didn't do a lot of investigation of scenarios
21 that would focus on only one factor; we focused on the
22 balance of factors for long-term sustainability.

23 MR. SIDLOFSKY: But do we agree that status quo
24 reliability is the basis of the Plan B modified proposal?

25 MS. BRADLEY: I view the primary driver of the Plan B
26 modified as being to sustain the fleet of assets and not to
27 enable them to deteriorate. We can walk through some of
28 the board materials that we presented when we were going

1 through plan A, B, C and B modified, and in that material,
2 I can walk you through where we demonstrated to our board
3 of directors the impact on our fleet and the condition of
4 our fleet as a primary factor in the discussion with our
5 board, and then we came back with Plan B modified to enable
6 that sustained plan.

7 MR. SIDLOFSKY: The discussion about the RRFE and
8 improving reliability really only seems to have come up
9 during the hearing, though. My understanding of Plan B
10 modified was that you were maintaining reliability.

11 MR. BOWNESS: Sorry, I think something that's
12 important here is between the time of submitting the
13 evidence, which was based on a Board approval around
14 maintaining reliability, we came up with a very innovative
15 approach of implementing our new vegetation management
16 strategy.

17 We looked at the cost envelope that was submitted to
18 the Board and we challenged ourselves to do better, and
19 we've committed to doing better.

20 If what you're suggesting is that based on being able
21 to achieve a better outcome in a certain area for lower
22 cost would allow us to then degrade the assets from another
23 dimension and do fewer pole replacements of poles that have
24 a high likelihood of failure, I think that that stretch --
25 what I struggle with is that if we don't replace those
26 poles on a planned basis, they are going to fail -- have a
27 high probability of failure on a reactive basis within the
28 next five years. So the cost of trouble and storm and such

1 will go up.

2 So I'm really not seeing the correlation to making a
3 better strategic decision on vegetation management should
4 result in us degrading our asset base, to negatively impact
5 reliability and cost for our ratepayer.

6 I think macro-ly there has been some discussion here
7 around Hydro One's reliability performance and comparing to
8 other utilities, and if we could just, you know, for
9 reference pull up the chart within Exhibit A, tab 5,
10 schedule 1, page 35 of 52, this is the summary level SAIDI
11 impact of ourselves as compared to other Ontario LDCs, so
12 if we could just pull that up for a second, page 35 of 52.

13 So if you look at this, with the exception of the 2013
14 year, which was -- that was the -- which was a direct
15 impact of most utilities with the ice storm, I think it's
16 fair to say that Hydro One's performance is far poorer for
17 Ontario ratepayers as compared to the other major LDCs.
18 That's the nature of the size of the stack bars. And we
19 are really challenging ourselves to improve our
20 reliability. We want to achieve a better outcome. We
21 believe that for the costs that our ratepayers in Ontario
22 pay, they deserve better reliability, and that is why the
23 basis -- that's one of the bases (sic) for our
24 vegetation management strategy is to get this in check. We
25 don't believe that we should be harvesting that savings and
26 degrading the assets and passing on costs to future periods
27 and future generations.

28 MS. BRADLEY: But I'd also like to add that I strongly

1 disagree with your strong characterization that reliability
2 was the only thing that was mentioned and that the fleet of
3 assets and condition is only now coming up. In every piece
4 of documentation we have in our business plan, our summary
5 on the top of the second page talks about the need of the
6 plan to appropriately align the needs and preferences of
7 customers, customer rates, and effective stewardship of the
8 distribution system by Hydro One.

9 In every board meeting we talk about reliability, we
10 talk about condition of our assets, we talk about being
11 sensitive to our customers and rates. I don't know that I
12 can find any spots in our documentation, whether it to be
13 to the board or to our board of directors, where the fleet
14 of assets and the condition of our system aren't forefront
15 in any discussion that's taking place.

16 MR. SIDLOFSKY: Sorry, Ms. Bailey (sic), maybe I
17 wasn't clear. I wasn't suggesting that the condition of
18 your assets has only come up recently. What I'm suggesting
19 is that you came to the Board with a plan that maintained
20 the reliability of your system and balanced that against
21 prices for customers. That was Plan B modified, correct?

22 MS. BRADLEY: It maintained the condition of our
23 assets, the reliability of the system. It considered
24 shifts in our capital plan to mitigate the risk of first-
25 year rate impacts.

26 I don't recall anywhere seeing that it was only about
27 maintaining reliability and those other factors weren't
28 involved. It's a balance. It's a balance between all of

1 them.

2 MR. SIDLOFSKY: And again, I'm not suggesting that
3 maintenance of your assets wasn't a consideration in
4 developing Plan B modified, what I'm referring to is your
5 discussion with Mr. Rubenstein where you began to talk
6 about the RRFE in the context of improving -- improving
7 your vegetation management practices and improving
8 reliability where Plan B modified involved the maintenance
9 of the reliability of your system at the status quo.
10 That's what I'm referring to.

11 So again, if status quo is the basis of your Plan B
12 modified proposed -- excuse me, status quo reliability is
13 the basis of your Plan B modified proposal and the premise
14 for the applications that Hydro One listens to its
15 customers and since cost was a primary concern you chose
16 Plan B modified because it provided the lowest rates while
17 holding reliability constant; is that correct?

18 [Witness panel confers]

19 MR. BOWNESS: Yes, and subsequent to that we
20 determined a way to achieve a better outcome, improved
21 reliability, for the same cost as was submitted in the
22 plan. So I -- our ongoing approach with vegetation
23 management of maintaining the cost of approximately
24 \$150 million a year and achieving a 20 to 40 percent
25 improvement in reliability I believe is absolutely in line
26 with our ratepayers' expectation of keeping costs in check
27 and delivering the best possible outcome.

28 MR. SIDLOFSKY: Okay, thank you, Mr. Bowness.

1 Those are my questions in this area, sir. I'm moving
2 to another area, so this would probably be a good time for
3 the break.

4 MR. QUESNELLE: Okay. Let's do that. We'll return at
5 11:10.

6 --- Recess taken at 10:55 a.m.

7 --- Upon resuming at 11:15 a.m.

8 MR. QUESNELLE: Okay, Mr. Sidlofsky, whenever you're
9 ready.

10 MR. SIDLOFSKY: Thank you. Panel, I'd like to ask
11 some questions about your bottom-up budgeting approach.

12 If I could take you to pages 27 and 28 of the
13 compendium, those are extracts from the March 5th session
14 of the technical conference and specifically pages 120 and
15 121 of that transcript.

16 On lines 21 and 22 of page 120 of the technical
17 conference excerpt, Hydro One states that:

18 "There is no capital spending target set from an
19 investment planning point of view."

20 And on lines 7 to 9 of the following page, you go on
21 to state that planners are focused strictly on a bottom-up
22 approach to identify the needs of the system. Is that
23 still an accurate statement?

24 MR. JESUS: Yes, it is.

25 MR. SIDLOFSKY: Okay. Page 30 of the compendium is an
26 extract from Exhibit I, tab 24, SEC 40, attachment 11, and
27 specifically that's page 2 of attachment 11 of Hydro One's
28 response to SEC Interrogatory No. 40.

1 Under the AIP term "Optimizer", it is stated that the
2 asset investment planning optimizer tool determines the
3 best selection and timing of investment alternatives,
4 maximizing risk and satisfying the financial constraints
5 and dependencies."

6 I'm reading that accurately, right?

7 MR. JESUS: Yes, that's correct.

8 MR. SIDLOFSKY: At page 32 of the compendium, in your
9 response to Staff interrogatory 89, A1, and that's Exhibit
10 I, tab 24, Staff 89, page 2 of 6, you provided a table of
11 financial parameters used in the initial AIP optimization.

12 Is it fair to say that the optimizer starts with user
13 defined financial constraints that you've shown in table 1?

14 MR. JESUS: I'm sorry, can you repeat that question?

15 MR. SIDLOFSKY: Sure, is it fair to say that the
16 optimizer starts with user-defined financial constraints as
17 you've shown them in table 1?

18 Maybe I'll go on so I can get one -- a single answer
19 to a couple of points from you. And then is it also
20 accurate to say that it takes into consideration all the
21 investments available to the tool -- to the system, and
22 optimizes it by find the maximum amount of risk mitigated
23 while adhering to the defined financial constraints?

24 MR. JESUS: The planners don't actually see what that
25 final number is. They're focused in on developing the
26 candidate plans to mitigate the risk that they have on the
27 system.

28 So we're developing plans to mitigate asset risk,

1 system risks, as well as address customer needs and
2 preferences. They have no line of sight, I'll suggest to
3 you, to the over-arching envelopes that are shown there in
4 your Staff 89. That envelope is informed might previous
5 business plan, as well as direction provided by the Ontario
6 Energy Board.

7 I've also indicated in this -- I've also indicated
8 that it is an iterative process whereby we look at the
9 starting business plan. We look at the customer needs and
10 preferences. We look at the various risks that is we have
11 on the system, which is exemplified by the A, B, C and B
12 modified that went to our board of directors where, bottom
13 line, they said this was not satisfactory, that we had to
14 come back with a B modified that minimized rate impacts in
15 2018, and reduced actually the envelopes from there.

16 MR. SIDLOFSKY: So are you saying that the financial
17 parameters that you've shown in table 1 aren't seen by the
18 planners?

19 MR. JESUS: That's correct. It's a tool, so the tool
20 has the overarching envelopes that we're looking to
21 optimize to. But those -- as I indicated how we set those,
22 the planners don't see those numbers. They're busy
23 inputting plans, candidate plans into the system.

24 And again, as per AMPCO 1, if we turn to AMPCO 1, so I
25 24, AMPCO 001, we can see in that first table shown there
26 that we had close to -- close to \$3.9 billion and in order
27 to get to the optimization, we cut that plan by
28 \$717 million, I believe, is the number.

1 So plans -- the planners are developing candidate
2 plans, the optimization cut the 717 plans and bottom line
3 is they don't see what those envelopes are and they don't
4 use them.

5 MR. SIDLOFSKY: Could I take you to page 37 of the
6 compendium, please? That's an extract from Exhibit I, tab
7 3, SEC.4, attachment 2; specifically it's from page 4 of
8 your response to Schools Interrogatory No. 4.

9 In that excerpt, in the third bullet that we have
10 highlighted here for you, the third bullet from the top of,
11 that bullet states that:

12 "Rate base asset growth, originally limited to
13 4.2 percent as in the previous business plan."

14 And I believe from what we heard on Friday -- and I
15 don't have it in the compendium, but it's from volume 8,
16 page 51, lines 13 to 19 of the transcript, you indicated
17 that the 4.2 percent applies across the entire enterprise;
18 is that right?

19 MR. JESUS: That's correct.

20 MR. SIDLOFSKY: Transmission and distribution?

21 MR. JESUS: As well as Bruce by Milton, as well as all
22 the remotes, as well as every business that Hydro One Inc.
23 owns.

24 MR. SIDLOFSKY: Can you explain how the 4.2 percent
25 relates to the financial parameters that you used in the
26 AIP optimizer?

27 MR. JESUS: There is no direct relationship to the
28 4.2 percent. As I indicated, the starting position was the

1 previous business plan that we used to inform the plan.

2 MR. SIDLOFSKY: Now, the planners may not see the
3 financial parameters, but if there is some pre-defined
4 growth rate or constraint that other people in the
5 organization see, then is the idea that Hydro One has
6 already decided how much money it needs to spend and then
7 the optimizer prioritizes projects and picks them and sort
8 of fills up that bucket until the expenditure limits' been
9 determined -- or been reached?

10 MS. BRADLEY: I believe the note you have up here,
11 this is our -- is this a briefing to the board? I don't
12 know -- I'm not sure. So this was a briefing to our board
13 of directors?

14 MR. SIDLOFSKY: I think that's right. I'm sorry, I'm
15 not sure I have the entire interrogatory response here.

16 MS. BRADLEY: This page looks to me like it came out
17 of one of our board briefings. So if we're briefing our
18 board of directors, every year we have an annual planning
19 process and it would be important for our board of
20 directors to know how this plan compares to the plan that
21 they approved the previous year.

22 So there when it says the asset-based, asset growth
23 originally limited to 4.2 percent as in the previous
24 business plan, that gives them context so we can talk to
25 what's changed in this plan compared to the last year, and
26 that was reflecting our first -- our first cut of the plan,
27 right, that it was originally limited to.

28 MR. WOOLF: And I think -- you know, you started off

1 this line of questioning with respect to the difference
2 between targets and constraints, and I think with your
3 recent question, you asked if we set a goal and we fill it
4 up to achieve that goal.

5 That's not how the process worked. The way the
6 process has worked is we've identified that the assets
7 require a higher level of investment than our customers can
8 afford. So what we've determined is a constraint that
9 we've had to put on the optimizer to determine the most
10 amount of risk that can be mitigated for the dollars of the
11 constraint.

12 So there's a difference between target and constraint.
13 We do not set a target with respect to our capital
14 expenditure, but we have set a constraint based on the
15 feedback we've received from our customers around their
16 concern that's around cost.

17 MR. SIDLOFSKY: Well, just on that point, I'm trying
18 to understand the difference between a target and a
19 constraint.

20 I think what you are suggesting is that if you didn't
21 have enough projects to meet that constraint or if the
22 projects that your planners had decided were necessary to
23 do didn't total in value to that constraint, then you
24 wouldn't try to meet that constraint; is that the
25 difference between a constraint and a target for you?

26 MR. BOWNESS: Yeah, so if we went through our first
27 round of investment planning and the bottom-up plan only
28 required \$3 billion in investment in the asset needs, we

1 wouldn't be putting forward anything more than that
2 \$3 billion. However, you do see within the evidence that
3 Mr. Jesus put up the initial bottom-up asset need
4 assessment was that there was more work that's required to
5 be done than the constraint allowed for.

6 MR. SIDLOFSKY: So there was never any question about
7 your needs amounting to less than that constraint.

8 MR. BOWNESS: Through the last ten years of planning
9 cycles that I've been involved in, our assets have needed
10 more investment than we can afford to spend. So, no, that
11 wasn't a specific conversation that we had at the senior
12 leadership level, because we've been hearing the similar
13 story for plan over plan for a number of years, and as the
14 planners went through their bottom-up exercise, that
15 assumption was validated again that there is more work to
16 be done than we can afford to do.

17 MR. SIDLOFSKY: I'm going to point you to a couple of
18 other references to the term "available funding", and maybe
19 I could ask you just to comment on those and give your
20 thoughts as to whether that's consistent with your comments
21 about constraints versus targets.

22 At page 38 of the compendium there is an extract from
23 Undertaking JT2.10. And on the second page of that
24 undertaking, which is actually page 39, at lines 5 to 7
25 Hydro One states that:

26 "The overall portfolio is ranked using the fixed
27 score, and funding is allocated from highest to
28 lowest priority until all available funding has

1 been allocated."

2 And just to give you the next one as well, at page 40
3 of the compendium there is an excerpt from the investment
4 calibration sessions materials that were provided in
5 attachment 1 to Exhibit JT2.9, so that was another one of
6 the responses to technical-conference undertakings.

7 And at page 13 of 139 in that extract it is stated
8 under "approach to mandatory" -- and that's the category --
9 that:

10 "The remaining projects should then be measured
11 on their strategic value and benefits and ranked
12 for delivery according to available funding."

13 So again, does that -- when "available funding" is
14 referred to in both of those contexts is that a reflection
15 of your constraint again?

16 MS. BRADLEY: Yes, that, would be the constraint -- as
17 Mr. Bowness mentioned, we've got more investments than we
18 know is affordable for our customers to be included in the
19 rates, so in doing any prioritization you pick what level
20 of funding you are going to run that scenario on, so it's
21 the funding level that you set as a constraint as you're
22 going through that optimization process.

23 MR. SIDLOFSKY: Okay. Thanks, Ms. Bradley.

24 MR. JESUS: I'd also like to clarify when you started
25 this question about page 39, Interrogatory JT2.1, so just
26 to be clear -- Oh. Just so we're clear, the request or the
27 question came from the OEB Staff that talked about
28 optimization versus prioritization, and we're just

1 explaining what the difference is between optimization and
2 prioritization. That's not to suggest in the first
3 highlighted sentence that you have that we do a ranked
4 order prioritization. We go on to say that we do an
5 optimization, which is a weighted multi-criteria
6 assessment.

7 MR. SIDLOFSKY: Sorry, a weighted multi-criteria
8 assessment?

9 MR. JESUS: That's correct.

10 MR. SIDLOFSKY: Could you just explain that,
11 Mr. Jesus?

12 MR. JESUS: Certainly. So there's various risk
13 factors that we've mentioned that we've seen the
14 weightings. So we have the variability, the customer, the
15 shareholder, the environment, and so on, and for each one
16 of those risk factors the planners are evaluating the risk
17 associated with each one of those risk elements based on
18 the risk tolerance table that is part of -- part of I24,
19 Staff 089, and we went through previously, so if we want to
20 bring up that table again.

21 But the -- so Staff 89 in the Appendix, the tables.
22 Keep going. Again, this is the risk tolerance table that
23 the planners would evaluate each one of those risk factors
24 across the top, determine what the risk is, and then from a
25 multi-criteria and the weightings we would evaluate what
26 the total risk is associated with each one of those plans,
27 we would establish what the baseline risk is and what the
28 risk being mitigated is, and that's how we carry out the

1 process. It would be the difference between the two for
2 the dollars that we are spending.

3 MR. SIDLOFSKY: So just to make sure I understand,
4 probably Mr. Bowness's comment earlier, there's -- is the
5 constraint similar to a spending envelope?

6 MR. BOWNESS: Yes, that's a fair characterization.

7 MR. SIDLOFSKY: Okay. And that constraint is
8 established based on -- well, you've said it's based on
9 your customer's desires?

10 MR. BOWNESS: It is informed by our customers' needs
11 and preferences. You know, when we look at setting the
12 overall factors associated with optimization, there is
13 discussions with our board of directors, with our senior
14 leadership around determining the risk factors that we have
15 that to go into the optimization. We also make sure that
16 we consider the direct customer feedback, and we know that
17 customers are very concerned about rates, and our board of
18 directors and our senior leadership is also very concerned
19 about rates, so we have put forward here the best plan that
20 we can within that envelope of dollars that we believe is
21 prudent with respect to what our customers need to pay for
22 the upcoming period.

23 MR. SIDLOFSKY: While maintaining reliability status
24 quo?

25 MR. BOWNESS: With the initial target of maintaining
26 reliability, and as I spoke to before the break, the
27 subsequent improved reliability that we're targeting with
28 our vegetation management program for the as-submitted

1 dollars.

2 MR. SIDLOFSKY: Okay. I'm going to move on to another
3 area specifically related to project deferrals.

4 What's the basis for classifying projects as non-
5 discretionary?

6 MR. JESUS: So non-discretionary are projects that are
7 mandatory in nature; i.e., required for compliance that are
8 -- that occur year after year, such as trouble calls,
9 demand programmes, break/fix programs, new connections,
10 system access, all of the connections, the work that's
11 required under the Distribution System Code, all of those,
12 as well as even IT projects where we have systems to manage
13 on a regular basis, and Mr. Lincoln will be talking about
14 that, but there are certain investments required to sustain
15 those systems.

16 Everything else, from a -- when we say discretionary
17 spend, it's about, okay, so which projects are we actually
18 going to do from a stations point of view. Although we
19 call it discretionary, there are 70 poor-condition
20 stations, and the question is how much money are we going
21 to allocate to those stations. That is still considered
22 discretionary.

23 MR. SIDLOFSKY: Is it fair to say that a significant
24 portion of your forecast capital spending is non-
25 discretionary?

26 MS. GARZOUZI: Yes.

27 MR. SIDLOFSKY: And thinking in particular about
28 system renewal projects, can you give a sense of which of

1 those projects would be non-discretionary or non-
2 deferrable?

3 MS. GARZOUZI: Trouble calls would be a good example.

4 MR. SIDLOFSKY: Trouble calls are an ongoing issue. I
5 mean, they come up as they come up.

6 But do you have any projects that you've proposed
7 currently for system renewal that are holdovers from your
8 last cost-of-service application?

9 MS. GARZOUZI: The PCB program for the pole top
10 transformers specifically would be a good example of that
11 to comply with the federal legislation.

12 MR. SIDLOFSKY: Were those considered non-
13 discretionary or non-deferrable in that filing?

14 MS. GARZOUZI: So I would distinguish non-
15 discretionary and then deferrable separately. And the
16 reason I'm just separating deferrable is just by when. So
17 for the PCB legislation is by 2025, so there is some time
18 to meet that time line, whereas a trouble call -- you know,
19 the pole is down, or the line is down, the customer is out
20 of power, so we respond immediately. So there's two
21 components to this.

22 MR. SIDLOFSKY: Have you ever repeatedly deferred
23 projects that you've considered to be non-deferrable?

24 MS. GARZOUZI: If we considered them non-deferrable,
25 then they would get done.

26 [Witness panel confers]

27 MR. SIDLOFSKY: Sorry, was there more to that answer?

28 MS. GARZOUZI: I'm just distinguishing again between

1 discretionary, non-discretionary, deferrable and non-
2 deferrable. I think there's just two elements to the
3 conversation.

4 MR. SIDLOFSKY: Okay. Could we go to pages 41 and 42
5 of the compendium? In that extract from day 6 of the
6 hearing -- and that's from pages 136 and 137 of the
7 transcript for day 6 -- Mr. Rubenstein and this panel
8 discuss what was accomplished in terms of sustaining
9 capital programs. In the current application, those are
10 system renewal projects compared to the planned investments
11 between 2014 and 2017.

12 And in that discussion, you confirmed that Hydro One
13 undertook fewer transformer replacements, fewer station
14 refurbishments, fewer pole replacements, fewer PCB line
15 replacements, and fewer large sustaining initiatives than
16 originally planned.

17 I know you mentioned the pole top transformers before,
18 but I'd like to just touch on a number of examples of those
19 investments in a bit more detail. At pages 43 to 47 of the
20 compendium, we have a discussion about station
21 refurbishment, ISD number SR-06. Historically, that was
22 project S7.

23 So the ISD for station refurbishment project S7 is
24 included in the compendium at pages 43 through 47, and
25 that's from Hydro One's previous application, EB-2013-0416,
26 Exhibit D2.2.3, reference number S07, and the station
27 refurbishments planned over the five-year period were
28 listed at pages 44 to 46 of the compendium.

1 So just in looking at that, would you agree that
2 between 2015 and 2016, Hydro One had planned to refurbish a
3 total of 74 stations in that application?

4 I would be happy if you took that to subject to check,
5 because I don't need you to count it right now.

6 MS. GARZOUZI: Subject to check, yes.

7 MR. SIDLOFSKY: If we turn to Staff Interrogatory 159
8 starting at page 48 of the compendium, and that's from
9 Exhibit I, tab 26, Staff 159 in the current proceeding,
10 there is a list of stations refurbished in the last three
11 years. That's provided in response to part E on page 51 of
12 the compendium.

13 Based on that list, I'm seeing only 40 of the 74
14 originally listed stations that were refurbished, correct?

15 MS. GARZOUZI: That's correct. That's in the planned
16 program fashion. In addition to those, some transformers
17 or stations were addressed via unplanned, and so we did
18 experience additional failures over the planning period,
19 and so the risk mitigated was addressed for those stations.
20 But from a planned to planned program, that's correct.

21 And the reason for that, as we discussed earlier, was
22 the assumption for the unit cost of the distribution
23 station. The assumption was that we can do a distribution
24 station refurbishment for \$1 million using the IMDS, which
25 was a new and innovative approach at the time.

26 That assumption was incorrect, and so we did spend our
27 capital budget, but we accomplished less units from a
28 planned perspective.

1 MR. SIDLOFSKY: Okay. Now, category SR-12, that's
2 distribution line sustainment, and my understanding is that
3 historically that was -- that was project S-12.

4 Staff have included the ISD for project S-12, line
5 sustainment initiatives at pages 63 through 67 of the
6 compendium. That comes from Exhibit D2.2.3, reference
7 number S-12 of your previous cost-of-service application,
8 EB-2013-0416.

9 And at pages 3 to 4 of that ISD, you listed the line
10 sustainment initiatives planned over the five-year period
11 for your proposed custom IR period. And at that point, I'm
12 seeing 33 planned line sustainment initiatives above
13 a million dollars and that was -- sorry, that was 2015 to
14 2017. Again, I'll take that subject to check.

15 MS. GARZOUZI: Yes.

16 MR. SIDLOFSKY: And if we look at your current
17 application, ISD SR-12, which we've reproduced at page 68
18 of the compendium, there is a list of planned line
19 sustainment initiatives and it appears that 18 of the 33
20 originally listed projects are repeated in this
21 application.

22 Would you say that's correct?

23 MS. GARZOUZI: Yes.

24 MR. SIDLOFSKY: Another category, the system -- excuse
25 me, category SS-02, system upgrades driven by load growth
26 and historically that was project D-02.

27 We've reproduced the ISD from your 2013 application
28 for category D-02, system upgrades driven by load growth.

1 That's at pages 88 through 93 of the compendium. And your
2 planned projects are listed on pages 3 to 5 of the ISD, and
3 is it appears that between 2015 and 2017, you had planned
4 36 system upgrade projects above a million dollars.

5 Is that correct, subject to check?

6 MS. GARZOUZI: Yes.

7 MR. SIDLOFSKY: And moving along to page 94 of the
8 compendium, we've got the ISD SS-02 from your current
9 application. There is a list of planned system upgrade
10 projects at page 101 of the compendium.

11 Based on the that list, it looks like 14 of the 36
12 originally listed projects are repeated in this
13 application; is that correct?

14 MS. GARZOUZI: That's correct. What you are seeing in
15 this table, so it was the combination of SEC.42 and SEC.52
16 is really the shifting of dollars between projects --
17 sustaining in particular, or system renewal.

18 So if we look at just those categories, it is true
19 that some projects are repeated and that's because they
20 were deferred so that other things could occur.
21 Specifically, trouble calls for the period '15 to '17 were
22 much higher than planned. And so starting with that, money
23 is redirected to that program, hence we're taking away from
24 large sustainment and other programs and projects within
25 the sustaining category.

26 So the pole replacement program is the largest one in
27 the category, which was 92 or 91 percent accomplished, 86
28 percent spend. The next one in that same table is the

1 trouble call, which is, again, in the \$250 million range
2 for the three-year period, and then it drops significantly
3 after that to around \$100 million for large sustainment
4 station refurbishment, and then the line components and the
5 PCB and the MUS and all of those are, you know, below
6 \$50 million.

7 And so shifting to trouble calls has a significant
8 impact on the other smaller capital programs within the
9 sustaining envelope.

10 MS. BRADLEY: The one thing I -- if you look at the
11 trouble calls in the list that was provided last week,
12 trouble calls and storm damage were \$66 million over in the
13 three-year period. We don't have the option of just
14 leaving customers out of power. We connect them, so that
15 envelope was over.

16 If you look on the screen right now, it takes a lot of
17 these projects to be deferred to make up that \$66 million.

18 MR. SIDLOFSKY: So it's really a matter of -- sorry,
19 the carry-over projects really resolve from items that --
20 capital items that were completed -- sorry, that weren't
21 completed because capital had to be redirected to higher-
22 priority projects; is that right?

23 MS. GARZOUZI: That's correct.

24 MR. SIDLOFSKY: Now, at page 116 of the compendium,
25 we've reproduced Exhibit I, tab 23, Staff 84, and in your
26 response to part C of Staff Interrogatory 84 you explain
27 that the process of assessing the need to redirect capital
28 happens on annual basis, correct?

1 MS. GARZOUZI: So redirection is actually an activity
2 that occurs monthly. So we look at our programs and
3 projects for OM&A, ISA, and capital on a monthly basis, and
4 we look at emerging needs, if they do exist, and we
5 reprioritize via the redirection process.

6 MR. SIDLOFSKY: Are you able to correlate the projects
7 that I mentioned that were deferred to particular reasons
8 for the redirection of funds?

9 MS. BRADLEY: Redirection doesn't happen on a project-
10 by-project sort of swap basis. We meet monthly and talk
11 about the number of factors that result in changes each
12 month. It could be changes due to storm activity. It
13 could be changes due to customer needs have changed. It
14 could be a project is being deferred for a reason, you
15 know, customers might not want it in-service at the time.
16 We could have had some environmental factors that led to a
17 delay.

18 So we talk about things that are changing, both adding
19 more needs to the system or the year's budget or plan, and
20 we talk about things that are reducing, so we might have
21 less of something needed because of changes in conditions
22 as well.

23 So it's not like you say, I need to do this project so
24 let's defer this project; we talk about the budget as a
25 whole and the envelope of work and the impact on outcomes
26 as a whole, and make those decisions on a monthly basis.

27 MR. BOWNESS: And the feed-in to that is the process
28 that my team executes on are monthly basis to update

1 forecast based on actuals. You know, an example that I
2 think we spoke to a few days ago was, you know, this year
3 with the two major storms that we had around the 500,000
4 customer mark. Those were \$40 million worth of storms.
5 Our storm budget for the whole year is \$65 million.

6 So we're currently going through a process of looking
7 at which other program line items can be deferred this year
8 out into future years. And that's the type of process we
9 go through on a monthly basis.

10 DR. ELSAYED: Can I ask: Who approves these changes?
11 When you make changes at the project level, who approves
12 that?

13 MR. BOWNESS: We go through a process that is
14 facilitated by Ms. Bradley's planning group on a monthly
15 basis with vice-presidents and directors across the company
16 to review the results. The summary of that is then
17 presented to our executive leadership team, which involves
18 our C level executives, with a summary of any major changes
19 that we would have within the program.

20 DR. ELSAYED: So that is formally approved with a --
21 monthly?

22 MS. BRADLEY: Yeah, each individual project change is
23 approved by the person with accountability for that
24 program. So if we were removing something I'd have to
25 be -- I have to be able to approve a project and the
26 outcomes associated with deferring it, for example. But it
27 is reviewed and it's approved monthly, and the summary of
28 the changes, in terms of financial changes, accomplishment

1 changes, and impact on outcomes is taken to our executive
2 leadership team on a monthly basis.

3 DR. ELSAYED: Thank you.

4 MR. SIDLOFSKY: All right. Now, since the projects
5 that we discussed as having been deferred from the last
6 application were all included in your most recent previous
7 application, they must have made it to the prioritized list
8 of projects when you were developing your capital plan for
9 your last application, correct?

10 MS. GARZOUZI: That's correct.

11 MR. SIDLOFSKY: So presumably those projects needed to
12 be completed to meet your reliability targets in your last
13 application? Am I right? Otherwise they wouldn't have
14 made your list?

15 MS. GARZOUZI: Yeah, a combination of depending what
16 project we're talking about, there might be different
17 drivers, so that PCB is not a reliability example, it's an
18 environmental legislation example. Some of the system
19 renewals are, you know, condition-based failures, so those
20 would be correlated to reliability, so it really depends on
21 the project that was deferred.

22 MR. SIDLOFSKY: Can you tell me if there were any
23 negative consequences to reliability associated with those
24 deferrals?

25 [Witness panel confers]

26 MR. SIDLOFSKY: Maybe it's fairer to ask you if you
27 actually identified any negative consequences to
28 reliability.

1 MR. BOWNESS: If you look at item-by-item impacts, so
2 if you think -- you know, we accomplished 92 percent of the
3 pole replacement program. Out of the 8 percent that we
4 didn't accomplish, did that have a negative impact on a
5 reliability performance? Potentially. Do we trace
6 everything down to every single pole and every outage and
7 what was the impact on SAIDI? No. That's not how we look
8 at it. We look at it at the aggregate.

9 But if you do look at our reliability performance last
10 year, as an example, within SEC 29 we had a target last
11 year of 7.5 hours as our objective for the year. We missed
12 the objective. We failed. We came in at 7.95, and the
13 primary reason for that last year was a much higher volume
14 of tree-related outages. We had over 45 percent of outages
15 last year were tree-caused.

16 So this is something that we look at on a more system
17 basis. We look at tree-caused outages causing a more macro
18 impact on SAIDI, and we are doing something about it.

19 So I would think that, you know, if you are trying to
20 look at, this pole was deferred and therefore it was this
21 impact on SAIDI, we don't track things to that level of
22 granularity. We look at it on a much more macro basis.

23 But within the redirection process we are trying to
24 make the best decisions as we can within the envelope of
25 funds that we have. You know, when we have the example
26 scenario from the last few weeks of the incremental storm
27 costs, you know, we recognize that that's going to have an
28 impact likely on our pole replacement volumes and our

1 investments in worst-performing feeders this year; but it
2 is an item that is out of our control, and it is an item
3 that rolls up within our overall capital envelope, and we
4 have to shift dollars out in -- or we have to shift work
5 out into future years to deal with that external factor of
6 two very extreme weather events.

7 MR. SIDLOFSKY: But you determined -- and I understand
8 what you are saying about overall impacts on reliability,
9 but you found that you were able to defer these projects
10 for upwards -- in some cases, upwards of five years.

11 Are there any compelling reasons why some of those
12 previously deferred projects couldn't continue to be
13 deferred? Has their status changed somehow or, you know,
14 is what you felt was -- what you felt was important at the
15 time you established your plans for the past cost of
16 capital -- or capital investment period, has it become more
17 urgent to do those projects? Is there some reason they
18 couldn't be deferred?

19 MR. BOWNESS: So I think what we need to look at is we
20 need to look at the rolling nature of the deferrals. So
21 when we have something that's redirected out of this
22 calendar year, we target to do it as early as possible
23 the following calendar year. And yes, that's going to push
24 something out that's in the last quarter of next calendar
25 year, out into the first quarter of the following calendar
26 year.

27 So by deferring something, it's not necessarily taking
28 it and moving it out five years; it's about rolling it

1 ahead into a future one-year plan.

2 If you look at the items that are within this
3 distribution station scenario, the items that were in the
4 2015, '16, '17 period would have a high probability, and
5 subject to check, of things that we're doing within 2018
6 and 2019. So it's not that they are far beyond the
7 delivery period; it is within a year or two of when we want
8 to do it, and that's the basis of the decisions that we
9 have when we go into redirection.

10 There are some scenarios, though, when we get into
11 redirection and we say, you know what, we just can't afford
12 to push that work out into future years. And that's where
13 we have to make a conscious decision as to whether we will
14 need to go over our capital envelope and then we will need
15 to come in to true-up and secure that over-allotment in
16 future submissions.

17 But we really try to work within our means and manage
18 within our means as best we can.

19 MR. SIDLOFSKY: Could I take you back to page 16 of
20 the compendium? That's an extract from Exhibit B1-1-1,
21 section 3.7 of your DSP, and if we look at the forecast
22 capital associated with the number of drivers -- and I'm
23 just going to list them: SR-06, stationary refurbishment,
24 we spoke about a bit about that a bit before. SR-08, PCB
25 equipment replacement, SR-12, distribution line
26 sustainment, also something we touched on earlier. SR-13,
27 life cycle optimization. SS-02, system upgrades driven by
28 load growth; we also touch on that one. And finally, SS-

1 03, reliability improvements.

2 When I look at those half dozen investments -- those -
3 - just those six drivers appear to account for about 20
4 percent of your overall capital expenditure for the next
5 five years. And I take it, subject to check, that the
6 total expenditure of those six drivers for the five-year
7 test period -- the five-year plan period is \$730 million,
8 approximately.

9 So the way I got my 20 percent was 730 million of a
10 total of 3.6 -- sorry, 3,676,000,000 in total capital
11 investments.

12 Can we agree on that, subject to check?

13 MS. GARZOUZI: Yes.

14 MR. SIDLOFSKY: Each of those categories of
15 expenditures include carry-over projects from your previous
16 filing. Is that right, Ms. Garzouzi?

17 MS. GARZOUZI: Yes.

18 MR. SIDLOFSKY: And it appears that on average, or is
19 it -- I'll ask you if it's fair to say that on average,
20 about 40 percent of the projects in those categories were
21 redirected in favour of other investments?

22 MR. BOWNESS: I would characterize it that they were
23 redirected due to external factors that were beyond our
24 control, such as weather and an increase in trouble calls,
25 as well as an external factor with Bell making the CDMA
26 network obsolete.

27 MR. SIDLOFSKY: But the 40 percent figure is accurate?

28 MS. GARZOUZI: Subject to check.

1 MR. SIDLOFSKY: Okay. My last question on that area
2 is whether Hydro One has benchmarked itself at all against
3 other utilities to consider whether that's -- to determine,
4 first of all, the typical level of redirection of funds for
5 unforeseen circumstances, and second, how you compare to
6 that among other utilities?

7 [Witness panel confers]

8 MS. GARZOUZI: We have not, but just given the nature
9 of the distribution business and given the fact that a lot
10 of investments are non-discretionary, inevitably the ones
11 that have flexibility as to when you would service them
12 will be deferred and that's what you're seeing here.

13 MR. BOWNESS: But I would also say macro-ly, if we are
14 talking about 20 percent of the portfolio and 40 percent of
15 it has an element of redirection, we are talking about 8
16 percent of the portfolio.

17 And we haven't done any official benchmarks, but to
18 have 8 to 10 percent variability is not something that I
19 consider an extreme amount of variability, knowing the
20 complex nature of the system and the external factors that
21 our company and system face on annual basis.

22 MR. SIDLOFSKY: Thank you. I'm going to move on to
23 another area related to business cases.

24 So I'd like to focus on the planning process
25 associated with two specific ISDs, SR-06 and SR-09, and
26 I've chosen those because they -- excuse me, they seem to
27 comprise a significant proportion of your system renewal
28 capital spending under plan B modified.

1 So I'd like to take you to page 121 of the compendium,
2 and that's an extract from the March 2nd session of the
3 technical conference, specifically page 47 of the
4 transcript.

5 And at lines 8 to 12, Hydro One states:

6 "The analysis that goes into determining how many
7 poles and how many whatever else we're doing from
8 a program point of view is developed by the
9 planners and then bundled into the program. It
10 is a recurring expenditure and no business case
11 exists, other than the ISD."

12 Is that accurate?

13 MS. GARZOUZI: For programs, that's correct.

14 MR. SIDLOFSKY: So that statement suggests that the
15 number of poles planned for replacement is developed by the
16 planners, without preparing a business case to demonstrate
17 that the number of pole replacements has been economically
18 optimized. Am I right?

19 [Witness panel confers]

20 MS. BRADLEY: The number of poles to be replaced are
21 put into the optimization tool and they are optimized in
22 terms of risk and benefit. And while there isn't a
23 business case prepared, in the materials we've submitted
24 that went to our board of directors, we did go through an
25 outline of the plan A, B, C, and B modified and how many
26 poles that would replace and on and how that would leave
27 the condition of our fleet would be in at the end.

28 So it is done on a bottom-up basis through the

1 optimization planning process and the planning process, and
2 it is reviewed with our board of directors as far as an
3 approval of that strategy.

4 MR. SIDLOFSKY: And pole replacement, as we've
5 discussed at some length, is a large investment category
6 and it's expected to grow rapidly over your forecast
7 period, correct?

8 MS. GARZOUZI: What you see in SR-09, the net
9 investment line, is what we're seeking here to achieve the
10 72,000 poles, so what you see in 18 is the compression to
11 keep rates low or to manage the rate impact, and then you
12 see it jump back in 2019 and increase steadily over the
13 planning period from 2018 to 2022.

14 MR. SIDLOFSKY: Maybe just to make it a bit clearer
15 I'll take you to page 17 of the compendium, and for pole
16 replacements, SR-09, I think this is what you were
17 referring to, right, Mrs. Garzouzi?

18 MS. GARZOUZI: That's correct.

19 MR. SIDLOFSKY: So we are seeing a 52 percent increase
20 in costs between 2018 and 2019, and then when we look at
21 2019 to '20 that's another 14 percent increase in costs,
22 correct?

23 MS. GARZOUZI: So this matches the units, so 2018,
24 we're targeting to do 9,600 units, which is again
25 artificially low on purpose to manage the rate impact for
26 the year '18, and then we increase to what we believe is a
27 more sustainable, manageable level, given the amount of
28 wood poles we have that are in poor condition.

1 MR. SIDLOFSKY: Okay. If we go to page 122 of the
2 compendium, Staff have reproduced an excerpt from the
3 Navigant benchmarking study, specifically from Exhibit B1,
4 tab 1, Schedule 1, section 1.6, attachment 1, page 16 of
5 33. One of the observations by Navigant -- and you will
6 recall this one -- was that:

7 "The cost of replacing a pole is substantially
8 higher than the cost to refurbish a pole, with
9 replacement being approximately seven times more
10 expensive where refurbishment is an option."

11 At the time you were creating capital budgets, were
12 you aware of that cost differential between refurbishment
13 and replacement?

14 MS. GARZOUZI: I think the cost differential has to be
15 put into context, so chemical refurbishment of poles
16 extends the life of poles, but that is a pole that has not
17 failed, so it's not in poor condition, so it would extend
18 the life of the pole.

19 Mechanical refurbishment can extend the life of a
20 pole, and Mr. Buckstaff spoke about that with you at
21 length, and again, there are elements that may contribute
22 to how long it can extend the life or the age of that pole,
23 and so when we look at the poles that we've identified in
24 poor condition, I don't know that a lot of them are good
25 candidates. I gave the number 10,000. I think that 10,000
26 of them may be good candidates for refurbishment, but the
27 remainder not so much.

28 And so to answer your question, you know, did we

1 consider refurbishment as part of the capital plan,
2 certainly we did have the benchmarking findings, and it is
3 something that we're exploring, and that may help us manage
4 the life cycle of the wood-pole population and hopefully
5 extend the life of wood poles even further, but for the
6 ones that were found, I still think they need to be
7 addressed.

8 MS. BRADLEY: So we also were really focusing on
9 containing and reducing the OM&A spend for this
10 application, so refurbishment, the chemical treatment
11 Ms. Garzouzi spoke of, it won't address the end-of-life
12 poles we have. so that capital spend would remain in our
13 program. We could, for future applications, look at adding
14 an OM&A program in addition to the end-of-life program to
15 do this kind of treatment in our program, but that would
16 not deal with the end-of-life fleet; it would just be an
17 additional cost and an additional program to help that
18 fleet that we are going to be dealing with 30 years from
19 now.

20 MR. SIDLOFSKY: So just to make sure I understand
21 then, even knowing about the cost differential now, that's
22 -- you don't see that as having any impact on the next five
23 years of your capital planning?

24 MS. BRADLEY: It could add to the cost of the next
25 five years through doing a treatment that would help them
26 last longer 30 years from today. It will not address the
27 poles that we're replacing due to end of life.

28 MR. SIDLOFSKY: Okay. I think that's the point I'm

1 trying to get to, that your end-of-life poles wouldn't even
2 be considered for refurbishment; is that your conclusion?

3 MR. BOWNESS: So as Ms. Garzouzi spoke to, within the
4 72,000 that we have, we believe that there is a portion of
5 those that could potentially benefit from refurbishment,
6 and we're looking at that. But we also have to remember we
7 have another population of 100,000 poor-condition poles
8 that we are not able to get to, so if some of the existing
9 pole population, the 72,000, can be injected, braced, et
10 cetera, what we would do is we would reinvest the pole
11 replacement dollars in the pool of the other hundred
12 thousand poor-condition poles that will need to be
13 replaced.

14 MR. SIDLOFSKY: So if Ms. Garzouzi's estimate of
15 10,000 poles that might benefit from refurbishment is
16 correct, with refurbishing 10,000 out of 72,000 poles, I
17 take it then that you don't see that as -- you don't see
18 that representing a cost savings, you would simply
19 reallocate your capital to other -- to additional poles; is
20 that right?

21 MS. GARZOUZI: I think the main point is that we are
22 doing less poles than we have in poor condition, right? So
23 if it was proven to be cost-effective and it's a practice
24 that we are willing to introduce, then for those we would
25 redirect the funding to address that subset of poles.

26 MR. BOWNESS: I think macro-ly, you know, we talked
27 about, at the end of this planning period we still have
28 99,000 poles that are in poor condition, so if we add the

1 ones we're replacing and what's going to be remaining in
2 the backlog, we have a pool of about 171,000 poles. We are
3 going to replace 72,000 of those within this plan, and we
4 are also investigating whether there's some cost/benefit
5 with respect to refurbishment, but this is an incremental
6 cost, right? This is OM&A dollars. So if we determine
7 there's good value for the money on the OM&A side, we will
8 need to look to redirect away from other OM&A items in
9 order to fund this, but that's the type of analysis that
10 we'll do within the planning period as to the best business
11 decision we can make with the information that's available
12 at the time.

13 MR. QUESNELLE: Mr. Bowness, is it your understanding
14 that the cohort that was looked at for comparisons in the
15 Navigant study, that other utilities are expensing the
16 refurbishment? It is not an extension of life, therefore a
17 capital investment?

18 MS. GARZOUZI: It is an expense, I believe, so it's
19 OM&A.

20 MR. QUESNELLE: Thank you.

21 MR. SIDLOFSKY: I just want to clarify a couple
22 numbers about pole replacements -- or about your pole
23 replacement program.

24 First of all, we've already discussed your approach to
25 pole replacement, and that is to replace poles classified
26 as being in poor condition based on actual condition
27 assessments, as well as the red pine poles; is that right?

28 And the rate -- and it's the red pine poles because

1 they don't meet treatment standards; correct?

2 MS. GARZOUZI: That's correct.

3 MR. SIDLOFSKY: And from Volume 8 of the transcript --
4 and I don't have this in the compendium, but on page 80,
5 lines 12 to 13, Ms. Garzouzi, you explained that 4 percent
6 of Hydro One's 1.6 million wood poles are in poor
7 condition, and that figure comes from Exhibit I24, AMPCO
8 23?

9 MS. GARZOUZI: Yes.

10 MR. SIDLOFSKY: And that would be 64,000 poles, but on
11 page 87 of the transcript you clarify that there are
12 actually 67,000 poles? I just want to know what the
13 correct number is.

14 MS. GARZOUZI: Yes, 4 percent of that population, so
15 it is rounded at 4 percent, so that's the difference that
16 you're seeing.

17 MR. SIDLOFSKY: So what's the right number, 67 or --

18 MS. GARZOUZI: 67,000.

19 MR. SIDLOFSKY: 67,000?

20 MS. GARZOUZI: Yes, 67,000.

21 MR. SIDLOFSKY: Yes. And you explain that 39,000 red
22 pine poles don't meet the CSA standards for penetration and
23 retention of treatment?

24 MS. GARZOUZI: That's correct.

25 MR. SIDLOFSKY: And Mr. Bowness, you explained a
26 little bit later on page 91 of the transcript that about 20
27 percent or 7,000 of the 39,000 red pine poles are estimated
28 to be in poor condition?

1 MR. BOWNESS: So I think after the break, we clarified
2 the breakdown of the total pole population as in the
3 evidence of SR-09, where I think we brought clarity as to
4 the total number of existing poles and the future
5 projection on additional poles.

6 MR. SIDLOFSKY: Okay. And just to confirm, the CSA
7 standard that you are referring to, does that require that
8 poles that don't meet the standard have to be replaced?

9 MS. GARZOUZI: The CSA standard is a treatment
10 standard of poles that measure their retention and
11 penetration of chemical treatment to preserve the wood
12 pole.

13 If I may add, in a previous proceeding, we did third-
14 party independent assessment of the subset of red pine and
15 it was found that -- the recommendation was that these
16 poles should be proactively replaced.

17 MR. SIDLOFSKY: But the standard doesn't require
18 replacement? That was your determination, that the poles
19 should be replaced?

20 MS. GARZOUZI: It was our determination with the help
21 of a third-party.

22 MR. SIDLOFSKY: Is there a report from a third-party?

23 MS. GARZOUZI: Yes.

24 MR. SIDLOFSKY: Is it on the record?

25 MS. GARZOUZI: Yes, it was filed.

26 MR. SIDLOFSKY: Okay.

27 MS. GARZOUZI: I can give you the reference at the
28 break.

1 MR. SIDLOFSKY: Sure. On page 164 of the transcript,
2 lines 13 and 14, Ms. Garzouzi, you had an exchange with Mr.
3 Brett and you said that 12,000 additional poles are
4 replaced each year for other reasons. So that would be
5 about 30,000 -- excuse me, about 60,000 poles over the
6 forecast period, correct?

7 MS. GARZOUZI: That's correct.

8 MR. SIDLOFSKY: And the cost of those additional pole
9 replacements, those would be under various other programs,
10 am I right?

11 I will list a few here and maybe you can confirm them.
12 SA-01, joint use and line relocations.

13 MS. GARZOUZI: That's correct.

14 MR. SIDLOFSKY: SR-07, distribution line trouble calls
15 and storm damage.

16 MS. GARZOUZI: Yes.

17 MR. SIDLOFSKY: SR-12, distribution line sustainment.

18 MS. GARZOUZI: Yes.

19 MR. SIDLOFSKY: SR-13, life cycle operational
20 efficiency.

21 MS. GARZOUZI: Yes.

22 MR. SIDLOFSKY: And SS-02, system upgrades.

23 MS. GARZOUZI: Yes.

24 MR. SIDLOFSKY: And SS-06, worst performing feeders.

25 MS. GARZOUZI: Not that one, but the other ones, yes.

26 MR. SIDLOFSKY: And would you expect poles that are in
27 poor condition to be among the first to fail during storms?

28 MS. GARZOUZI: I would say that given this -- you

1 know, normal wind, yes, they are more susceptible to
2 failure than a pole that has its remaining strength.

3 MR. BOWNESS: We do see lots of circumstances where
4 new poles will fail. Micro busts of wind, severe weather,
5 icing of lines, wind sheer, during that trees falling on
6 lines on poles. We do see poles that are not at end of
7 life failing during storms.

8 MS. GARZOUZI: And that would probably include fair
9 condition poles as well, is that right?

10 MS. GARZOUZI: That's correct.

11 MR. SIDLOFSKY: So the poles that would be replaced
12 under those other programs are in addition to the 72,000
13 you are planning to replace under SR-09?

14 MS. GARZOUZI: Yes.

15 MR. SIDLOFSKY: Any way to estimate how many poor
16 condition poles would be replaced under other programs?

17 MS. GARZOUZI: We assume the poor condition population
18 when we project forward, when we conduct analysis and we
19 look at just the population of wood poles, we assume that
20 that same percentage is applicable on the other programs.

21 Again, there is no way of knowing for sure. You can
22 have all new poles fail during a storm, but it's an
23 assumption that we make when we try to analyze the program.

24 MR. BOWNESS: I think if we're talking about 12,000
25 poles a year against a population of 1.6 million, it is
26 less than a percent of poles. So you are getting down to a
27 percentage of less than 1 percent.

28 MR. SIDLOFSKY: Okay. Moving over to station

1 refurbishments, SR-06, and I'm going to take you to page 17
2 of the compendium, that also seems to be a fairly rapidly
3 growing category of capital investments.

4 You're projecting an increase of about 97 percent --
5 about 97 percent between 2018 and '19, and a 14 percent
6 increase in cost between 2019 and '20. Have you done any
7 analysis to -- that would demonstrate that the proposed
8 size and growth trajectory of that program is economically
9 and technically optimal?

10 MS. GARZOUZI: We're looking at SR -- you're looking
11 at SR-06, correct?

12 MR. SIDLOFSKY: That's right.

13 MS. GARZOUZI: Okay. So that is actually a reduction
14 from historical, and so the anomaly here is actually 2018
15 and it's again to manage the rate impact. We are planning
16 to address stations that are in poor condition based on our
17 tests, furan tests, DGA, so on and so forth.

18 And so it's -- I don't view that as a jump. I think
19 the anomaly is that '18 is artificially low and the other
20 years are sustaining the poor condition stations and
21 transformers.

22 MR. SIDLOFSKY: And 2018 is artificially low? Why?

23 MR. BOWNESS: One of the items that we looked at when
24 we went through the process of plan B versus plan B
25 modified was how we could move certain investments out into
26 later years to minimize rate impacts in the early years.
27 So it is purely a timing aspect with respect to taking our
28 customer's feedback and our board's feedback around

1 minimizing rate impacts for the capital investments.

2 MR. SIDLOFSKY: Staying on station refurbishments,
3 back on day 6 of the hearing -- and I can point you to
4 pages 118 to 120 of the compendium -- Mr. Buckstaff and I
5 had a discussion about cost estimate precision for station
6 refurbishments. And Mr. Buckstaff had explained that cost
7 estimates for station refurbishments are generally done in
8 three stages.

9 So you have the initial stage, which is a rough
10 estimate that could be plus or minus 30 percent. The
11 preliminary engineering stage, which is an estimate with a
12 greater precision than plus or minus 30, and finally the
13 construction stage where you've got very detailed cost
14 estimates.

15 Do you recall that conversation, or are you familiar
16 with it?

17 MR. BOWNESS: Yes, I'm familiar with that
18 conversation.

19 MR. SIDLOFSKY: Okay. Now at the time Hydro One was
20 building its capital budgets, had Hydro One completed
21 preliminary engineering for any of its planned station
22 refurbishments?

23 MR. BOWNESS: I think there's a few things at play
24 here. One is historically we took a much more unit cost
25 approach with our station investments, and if you look at
26 the evidence that Ms. Garzouzi spoke to, we had planned to
27 get the IMDS station refurb down to a million and we had
28 some historic actuals on unit cost.

1 We've moved over the last number of years to a more
2 refined process on estimating our stations refurb and
3 going through a similar stage gate process that we do with
4 our TX capital projects.

5 So I can't definitively speak to, as the evidence was
6 submitted, how many of those projects would have gone
7 through a preliminary engineering versus the detailed
8 engineering spec. But what I can say is that items that
9 are currently within the 12- to 18-month horizon from an
10 execution perspective are going through that stage, and the
11 items that are beyond 18 months would still be in there
12 based on their planner's estimate.

13 MR. SIDLOFSKY: So if you are not at that stage of
14 preliminary engineering how did you come up with the
15 estimates for station refurbishments?

16 MR. BOWNESS: So we used the planner's estimate, which
17 is based on historical costs, in order to project the
18 average cost associated with implementing a station refurb,
19 multiplied by the number of station refurbs, but we do
20 anticipate after we get through detailed engineering and
21 scoping and detailed estimating that we will have some
22 variability within that, because a planner's estimate is
23 plus or minus 50 percent.

24 MR. SIDLOFSKY: And are all your station
25 refurbishments like-for-like replacements? I guess what
26 I'm trying to get at there is, if you are basing your
27 estimates on historical information --

28 MR. BOWNESS: Historical projects which would have

1 some variability of small changes as compared to the legacy
2 infrastructure that are being changed. You know, a lot of
3 these stations were built 50 years ago, so like-for-like
4 from a capacity perspective, yes, but not like-for-like
5 from a technology perspective, but if you look at -- we're
6 using actuals from the previous handful of years, so that's
7 a good reflection on the scope and the solution of what
8 we'll be implementing in the next five years.

9 MS. BRADLEY: To go through a Class A estimate say
10 seven years in advance to facilitate a five-year
11 application would contain a lot of risks around, you know,
12 the environmental conditions at the time, the real-estate
13 conditions at the time. You would have to carry the costs
14 associated with preparation of that estimate and
15 potentially acquisition of land and rights to move lines or
16 facilities, so we try to do that estimating in a time where
17 the conditions are going to be similar and reflective of
18 when we built and where we're not going to carry the costs
19 associated with doing enough work to give a plus or minus
20 10 percent estimate. You don't want to carry those costs
21 for five to seven years before you intend to put a shovel
22 in the ground or build a project.

23 MR. SIDLOFSKY: Okay, and your intention is to
24 maintain the number of stations in poor condition at 70,
25 correct, under Plan B modified?

26 MS. GARZOUZI: That's correct.

27 MR. SIDLOFSKY: So you've identified the number of
28 stations that will be moving into that poor-condition

1 category over the next five years?

2 MS. GARZOUZI: We've estimated the number, but we
3 didn't identify them, because they have not moved there
4 yet. So we know what is in poor condition today. Those
5 are the 70 stations, and so we will address those. We are
6 estimating that we will find about 70 over the plan. We
7 don't know which ones they will be.

8 MR. SIDLOFSKY: So you wouldn't have scopes for all
9 the projects you are going to perform over the next five
10 years; is that right?

11 MS. GARZOUZI: No, so we know which stations are in
12 poor condition right now. Those are the ones that are in
13 the plan. Those are the ones that we want to address
14 through this five-year plan. And so we're quite familiar
15 with these sites. We --

16 MR. SIDLOFSKY: But -- sorry, go ahead.

17 MS. GARZOUZI: But we have not completed detailed
18 engineering for all those sites.

19 MR. SIDLOFSKY: Okay, but you do have the sites
20 identified at this point?

21 MS. GARZOUZI: Yes.

22 MR. SIDLOFSKY: Are you confident that the level of
23 expenditures that you have proposed will allow you to keep
24 pace with the stations that are in poor condition?

25 MS. GARZOUZI: I find it quite low, actually. I think
26 that it's a skinny plan for stations, if I may. So I think
27 it's a bare minimum to keep the condition of the stations
28 to what it is today.

1 MR. BOWNESS: But we do have a high level of
2 confidence that the estimates that are in the plan of
3 approximately -- approximately \$2 million per station is a
4 good reflection on the average scope and solution and cost
5 that it's going to take to replace those. Historically, as
6 we mentioned in the last rate filing, we had hoped that the
7 IMDS solution was going to result in a million dollars per
8 station refurb, but we have gotten better information
9 around that being not feasible and not as feasible in many
10 situations, so we believe that the 2 million average unit
11 cost going forward is appropriate.

12 DR. ELSAYED: Can I just clarify? When you say "level
13 of confidence", just what level of confidence do you have
14 on both the estimate that you have for these projects as
15 well as the outcome? I just want to make sure I understand
16 your response to Mr. Sidlofsky's question. Do you have a
17 high level of confidence that you can execute these
18 projects within that estimate?

19 MR. BOWNESS: I have a high level of confidence for
20 the projects in the next 12 to 18 months. The ones that
21 are further out, we may run into situations where we have
22 more complex environmental needs based on the sites,
23 different engineering requirements, so there's less
24 confidence in those future years, but in aggregate across
25 the overall portfolio I have confidence that the average
26 unit cost is appropriate.

27 DR. ELSAYED: Less confidence in the cost but also is
28 it less confidence in the scope of the work?

1 MR. BOWNESS: Yes, so we've done condition assessments
2 and we know that there is work that needs to be done, but
3 until we do the detailed engineering it is hard to, you
4 know, say I have a 98 percent confidence in the solution.
5 Once we complete the detailed engineering and we have our
6 estimate at that point, that confidence level gets into the
7 high 90 percentage range.

8 MR. SIDLOFSKY: Mr. Quesnelle, I'm looking at the
9 schedule for today, and I think the Board had anticipated a
10 lunch break at 12:20. I am about to move to one other
11 brief area, but I also have some follow-up questions
12 from -- that have been referred to this panel by other
13 panels. That's going to take a little more time. I may be
14 about 20 minutes over my two hours. I'm in your hands
15 about when you'd like to take the break, but I am moving on
16 to another area.

17 MR. QUESNELLE: I think I actually prefer -- I think
18 the lunch break was leaving quite a large amount of time
19 for the afternoon, so why don't you carry on, Mr.
20 Sidlofsky, and we'll see if we can finish up with this
21 panel.

22 MR. SIDLOFSKY: Great. Thank you.

23 MR. QUESNELLE: I hope that doesn't interfere with
24 anybody's pre-set plans, but... Okay.

25 MR. SIDLOFSKY: Panel, could I take you to page 125 of
26 the compendium. That's an extract from the March 2nd
27 session of the technical conference, specifically page 43,
28 and in that excerpt Hydro One explained that the Copperleaf

1 tool is used to develop a portfolio of prioritized
2 projects, and you also advised that:

3 "Subsequent to risk assessment and investment
4 optimization processes a calibration session is
5 held where Hydro One management is able to
6 override the portfolio of optimized projects
7 developed using the comp relief tool."

8 And on page 43 of the transcript at lines 22 to 25 Mr.
9 Jesus says that:

10 "The calibration session is where we engage all
11 of our enterprise and we come to the meeting and
12 we challenge the risk assessments that were
13 provided during the candidate development."

14 How does Hydro One ensure that the Copperleaf tool is
15 populated, set up, and utilized properly?

16 MR. JESUS: So this calibration session is where we
17 bring in the entire enterprise as noted there in the
18 transcript, and it's about level-setting the risk
19 assessments to make -- to ensure that one group isn't
20 exaggerating the risks, so each group would take the entire
21 enterprise through their risk assessments, and we would
22 challenge each one of the groups on their risk assessments
23 that they've carried out, with the purpose being to level-
24 set the risk assessments across the entire enterprise so
25 that we are -- we're being extremely objective about the
26 risk assessments and challenging people in terms of their
27 assessments.

28 MS. BRADLEY: That's a process that enhances the other

1 QA aspects of the investment planning process. Like, there
2 are a number of quality assurance measures in place in
3 addition to this risk calibration.

4 MR. SIDLOFSKY: So it sounds, though, like the
5 calibration sessions are held not because -- they are held
6 in order to balance the expectation of the planners working
7 on your capital project; is that right? Or is it -- are
8 you adjusting the tool because -- or, excuse me, are you
9 adjusting the output of the tool, because the tool doesn't
10 adequately evaluate the technical and financial parameters
11 that you need to develop the portfolio?

12 MS. BRADLEY: This is actually an enhancement to our
13 process to bring people that are planning for different
14 types of work together to talk about how they've
15 characterized risk and make sure it's comparable.

16 It doesn't relate to the financial aspects of the
17 tool; this is risk. If I have a project and I've
18 characterized an environmental risk, does that compare
19 similarly to how somebody in fleet has characterized
20 environmental risk, or somebody in our health, safety and
21 environment group.

22 So it is really just across different types of spend.
23 Sometimes you can look at those reliability or
24 environmental factors that are coming from a different
25 lens, and it's just to level set with the vice-presidents
26 and directors to make sure we agree that they're all
27 similarly weighed o factored into the investment risk
28 assessment.

1 MR. SIDLOFSKY: So did the project portfolio that
2 you've filed reflect a significant modification from what
3 the Copperleaf tool produced?

4 MS. BRADLEY: I wouldn't categorize the final plan as
5 significantly different. The changes that would be made
6 were, say, to reduce the 2018 spend. That wouldn't have
7 been in the tool. We would have had to manually say, okay,
8 we're going to reduce in these areas.

9 Other changes that could be made is an update on
10 projects that are in flight. So we might have had a
11 project we thought was going to be put in-service before
12 the end of 2017, and in October or November, we find it's
13 not going to be 2017, it's going to be 2018, changing the
14 in-service additions in 2018.

15 So those sorts of adjustments are made kind of outside
16 the optimization in the tool, but the vast majority is
17 consistent with what the prioritization process does as far
18 as the risk value curve.

19 MR. SIDLOFSKY: Can you think of any material examples
20 of priorities that were changed through the process that --
21 through the calibration sessions?

22 MS. BRADLEY: The calibration sessions take place
23 before we prioritize the plan. Like before we optimize at
24 all, the planners input the needs, they input their risk
25 assessment. Before we ever go through the optimization
26 process, we level set on ensuring that the risks have been
27 captured consistently across the businesses.

28 So I couldn't answer that. We don't optimize it

1 before that process.

2 MR. SIDLOFSKY: Okay. Could I take you to page 35 of
3 the compendium, please? And that's your response to
4 exhibit -- part of your response to Exhibit I, tab 24,
5 schedule Staff 89, and that's appendices A and B, pages 5
6 and 6 of 6.

7 Hydro One's consequence and probability definition
8 tables are included at appendix A and B of your response to
9 Staff interrogatory 89.

10 And you say on page 3 of your response, which is just
11 for your reference, at page 33 of the compendium, that
12 planners use asset system and investment specific
13 information to inform their investment risk assessment.

14 Have you benchmarked your risk categorization against
15 the categories used by other utilities, or as might be
16 contained in any other industry standards?

17 MR. JESUS: So as part of the Copperleaf system, we
18 are part of the users group that uses Copperleaf and
19 Copperleaf is being used extensively in the utility
20 industry. So we are staying abreast of the developments on
21 that front from a risk assessment point of view, and our
22 risk assessment tools are very much in line with what other
23 utility are doing. And in terms of the assessment tables A
24 and B that you've shown, they are very much consistent with
25 what other utilities are doing.

26 MR. SIDLOFSKY: Okay. And if we could go to your
27 response to Staff interrogatory 100, and we've reproduced
28 it at page 127 of the compendium -- just to be a bit more

1 specific, that's Exhibit I, tab 24, schedule Staff 100.

2 In that response, you provided a risk table
3 summarizing the baseline and residual risk evaluation for
4 system renewal investments over the planning period.

5 And at page 130 of the compendium, the reliability
6 risk for SR-09 pole replacement moved from medium/major to
7 unlikely/moderate as a result of the proposed investment.

8 And from appendix A of your response to Staff
9 interrogatory 89, and again that's back at page 35 of the
10 compendium, the reliability risk metric is tied to
11 quantitative SAIDI values and number of outages.

12 So my question is whether the planner inputting
13 assumptions into the AIP tool uses the same assumptions
14 that were used for plan B modified, and that is the
15 assumptions that were included in the -- tables 52 and 53
16 for SAIDI and SAIFI under the failure rate impact column.

17 MR. JESUS: I would suggest that the assumptions that
18 were made into -- or the assessments that were carried out
19 for pole replacement were the same for both plan B and plan
20 B modified in terms of how we arrived at those risk
21 assessments, depending on the number of poles we were doing
22 and the contributions that would be exhibited -- where that
23 would be identified for the reliability risk.

24 MR. SIDLOFSKY: Sorry, in table 52 at page 4 of the
25 compendium, that's the SAIDI table, the assumption for
26 poles under failure rates -- sorry, I'll give you a minute
27 to get there.

28 The assumption for poles under the failure rate impact

1 column is that there are 345 outages a year, 180 customers
2 per outage and 10 hours per outage. And that corresponds
3 to 621,000 of interruption per year, correct?

4 MR. JESUS: Yes. Can we go to EB Energy Probe 17 for
5 the latest and greatest numbers?

6 MR. SIDLOFSKY: Sure.

7 MR. JESUS: So in terms of the numbers that are shown
8 there from an overarching SAIDI and SAIFI point of view,
9 from a pole point of view, there is the contribution -- six
10 of our overarching SAIDI are due to pole failures, and the
11 number of outages that we experience each year are shown
12 there.

13 From a risk assessment perspective, if we can go back
14 to tables A and B of the risk assessment, which is Staff 89
15 -- so if we can go to attachment A, and focusing in on the
16 reliability, if we can expand that reliability column to
17 understand what the planners are actually entering and
18 assessing from an overarching reliability risk.

19 As I provided in my -- in one of my -- in the
20 transcript discussing how we go through the assessment for
21 reliability risk associated with wood poles, they would
22 look at the number of poles that have to be done, the
23 probability of them failing, the -- so looking at the poor-
24 condition poles, what's the probability of them failing,
25 times the number of customers that would be interrupted,
26 and then they would select from that list either one of
27 those rows, so it's based on customer of interruption hours
28 interrupted, as well as the other column right beside it,

1 is the frequency of distribution outages, so not only the
2 hours, but the frequency, and they would relate it -- they
3 would relate it to those two columns, and that would be the
4 premise of their assessment. So --

5 MR. SIDLOFSKY: So just looking at Appendix A, 621,000
6 hours of interruptions per year, would those -- would that
7 fall into the minor 4 category and -- for risk and not a
8 major risk?

9 MR. JESUS: Which row? Sorry?

10 MR. SIDLOFSKY: If you have 621,000 hours of
11 interruptions per year, I'm just trying to understand what
12 category of risk that falls into. Is it minor 4 or
13 major --

14 MR. JESUS: If you scroll to the left, for 600 -- keep
15 going. For 600,000 it would be a minor 4.

16 MR. SIDLOFSKY: Okay. And similarly for SAIFI -- I'm
17 looking at table -- okay. Sorry, I'll -- I won't get into
18 SAIFI. That's okay.

19 Can you bear with me for just a moment?

20 So had you previously categorized the hours related to
21 poles as a major risk?

22 MR. JESUS: I'm sorry, hours is one of the elements
23 that we would consider as per the column under reliability
24 risk, so hours of interruption is one of the items that we
25 look at, as is the number of interruptions.

26 MR. SIDLOFSKY: So I guess my simpler question is how
27 do you get from minor 4 to major, as a risk related to
28 poles?

1 MR. JESUS: In your -- in that table of Staff 100, can
2 you go back to the reliability-risk row. So just so again
3 when we're -- we need to understand the baseline risk, and
4 the baseline risk is associated with not doing any of the
5 poles. So planners would evaluate, if I don't do any of
6 the poles, what's the risk that I'm mitigating? And then
7 if I do 70,000 poles, what's the risk that I'm mitigating,
8 what's the remaining risk? So it compares the baseline
9 risk with the residual risk.

10 For SR -- what is it? SR-06 that we're looking at?
11 Sorry, SR-09. Can we look up the column where you have SR-
12 09 in your compendium? Page 4 of Staff 100.

13 Okay. So in the -- what you see there in column 18
14 for poles, for reliability risk, was -- medium/major was
15 the baseline assessment. And then the residual risk, once
16 we carry out the program, we go to unlikely/moderate. Was
17 that the question you were asking? How do we get there?
18 So how do we get there? The planners would have to assess
19 all the customers that are being impacted by those poles
20 and the customer minutes of interruption and the
21 customer -- and the number of customer interruptions that
22 would be impacted by not doing those poles.

23 MR. SIDLOFSKY: So then hours are only one input into
24 that determination, right?

25 MR. JESUS: From a reliability risk it would be the
26 failure of those poles and the impact to the customers.
27 Then they need to carry out that same process for each one
28 of those other risk factors, and you can see there customer

1 risk, safety risk, shareholder value risk, the assessment
2 process is the same, but carried out for each one of those
3 factors.

4 MR. SIDLOFSKY: Thank you. Those are the areas that I
5 have specifically for this panel, but I do have some
6 follow-up questions that had been sent to you by previous
7 panels.

8 First of all, could I take you to page 141 of the
9 compendium. Now, that table was prepared by Board Staff,
10 and it compares the productivity savings in the application
11 as originally filed and in the update as filed in the
12 interrogatory. This is a follow-up from panel 1, which
13 goes back a couple of weeks now.

14 So those numbers were taken from Hydro One's response
15 to Board Staff interrogatory 123, and we've included a copy
16 of your response to Staff interrogatory 123 at pages 138 to
17 140 of the compendium. That's from Exhibit I, tab 25,
18 Schedule Staff 123.

19 Now, on December 1st of last year Hydro One filed an
20 update to the application which was designated as
21 Exhibit Q, and among other items, Exhibit Q described a
22 strategic change to Hydro One's vegetation management
23 program, and that was included as attachment 2.

24 The executive summary of that report is on page 142 of
25 the compendium. And that's from Exhibit Q, tab 1, Schedule
26 1, attachment 2, page 2.

27 And there you noted that Hydro One's current
28 maintenance cycle exceeds eight years, but the three-year

1 cycle strategy proposed in this report will generate
2 similar investment outcomes in one-third the time; correct?
3 It is the highlighted line at the bottom of page 142?

4 MR. BOWNESS: Yes, I see that line, yes.

5 MR. SIDLOFSKY: Why would the new approach to
6 vegetation management that you outlined in the September
7 update not show up as a productivity initiative in this
8 table -- I'm sorry, in the table that Staff prepared at
9 page 141?

10 MR. BOWNESS: So if you look at --

11 MR. SIDLOFSKY: Sorry, that wasn't the table that
12 Staff -- in the table that Staff prepared. It was in your
13 response to Staff 123.

14 MR. BOWNESS: So there's two cost savings benefits
15 that we see out of our OCP program, as we referred to in
16 SEC.4, tab 4. We don't need to necessarily bring it up
17 right now, but we had a belief that over the planning
18 period, we would see ramping up towards 6 to 12 million
19 dollars in trouble call savings.

20 And if we scroll up to your compendium on page 139, if
21 we zoom in on the forestry initiative which is about
22 halfway down, you will see -- embedded in the text of
23 forestry initiatives, you will see the words "And overall
24 unit volume reduction in trouble calls", so that's where
25 we're accounting for the savings for the reduced number of
26 tree-related outages.

27 The other piece is if we look at the optimal cycle
28 protocol materials in SEC 4, tab 4, you will see that in

1 2023, this is when we are anticipating to be able to reduce
2 the cost of the overall work program by \$20 million, which
3 is outside the horizon of this table.

4 MR. SIDLOFSKY: Okay. I have a few questions about
5 capital price inflation that you've assumed for the
6 derivation of your capital expenditures and of the capital
7 additions that are added to existing assets each year, the
8 drive to rate base and the capital revenue requirement each
9 year of the custom IR plan.

10 We put this material to panel 1 on day 2 of the
11 hearing, and that discussion is at pages 65 to 73 of
12 volume 2 of the transcript and it can be -- we've included
13 that at pages 143 to 151 of our compendium.

14 Just by way of a short preamble, at page 152 of the
15 compendium, which is a copy of Exhibit A, tab 3, schedule
16 1, page 23, if we look at section 5.1.1, budgeting
17 assumptions, we see that Hydro One set out its assumptions
18 about OM&A and capital price inflation for 2018. Do you
19 see that, panel?

20 MR. BOWNESS: Yes.

21 MR. SIDLOFSKY: Now, Staff's focus at the time was
22 trying to understand what the capital price inflation is
23 that's been factored into the 2019 to '22 capital
24 expenditures and your capital additions, which are the key
25 component for the increase in the rate base.

26 We explored it with panel 1, and they concurred that
27 it was the increase in capital related revenue requirement
28 that was dominating the increase in the overall revenue

1 requirement. It wasn't the OM&A that was the big driver,
2 as that was assumed to grow at inflation less productivity,
3 and that was 1.45 percent through June 2017 evidence, and
4 then 0.75 percent with your Exhibit Q update.

5 Do you agree with that?

6 MR. BOWNESS: Yes. So the impacts on our rates are
7 driven primarily based on capital additions as well as the
8 load impacts, and OM&A is not a substantial factor.

9 MR. SIDLOFSKY: Okay. Panel 1 agreed that it was the
10 increase in the capital related revenue requirement that
11 was the dominant factor. And just for your reference,
12 panel, we can see that at page 150 of the compendium.

13 I believe Mr. D'Andrea was agreeing with -- agreeing
14 that OM&A contributed less than capital on a year to year
15 basis, correct?

16 MR. BOWNESS: Yes, I see that.

17 MR. SIDLOFSKY: Okay. So what we're trying to focus
18 on here is the capital inflation that you've assumed for
19 2019 to '22 in deriving your forecast capital expenditures
20 and capital additions.

21 We have the overall capital expenditures, but it's not
22 entirely clear to Staff what the inflation in capital
23 prices is that you've assumed here, and panel 1 referred us
24 to you.

25 So looking at the DSP, and specifically at table 31 of
26 Exhibit B, tab 1, schedule 1, DSP section 2.1, and at page
27 153 of the compendium, we see factors for cost escalation
28 for construction and cost escalation for operations and

1 maintenance by year, and that's based on your June 2016
2 forecast from IHS Global Insight, correct?

3 MR. BOWNESS: Correct.

4 MR. SIDLOFSKY: But what we can't see is if these are
5 what are used in the forecasted capital expenditures. So
6 can you explain, at an overall level, what capital price
7 inflation you assumed each year in your forecasted capital
8 expenditures and capital additions?

9 [Witness panel confers]

10 MR. BOWNESS: So there are two factors that we use.
11 One is with respect to projects that we're estimating
12 within the near term, and that's where we would have
13 used -- for projects that would be submitted to this plan
14 in 2016 that were under-estimates, they would have used the
15 1.8 percent, as an example from this table, for 2017.

16 If you look at program investments going forward, we
17 used the CPI inflation number of 2 percent. And maybe I
18 could take you to an example of that with pole replacement.

19 So if we look at SEC 29, which is issue -- Exhibit I,
20 tab 18, SEC 29, on the second page of this, if you look at
21 the unit costs on the pole replacements out in future
22 years, you will see that we're appreciating -- if I take an
23 example year, 2019, we're at \$8,908 and a 2 percent
24 appreciation is to go to 9,080; a 2 percent appreciation is
25 9,256; a 2 percent appreciation is 9,437.1. And that
26 methodology would apply to program investments, as well as
27 investments that have not gone through a detailed estimate,
28 projects that have not gone through a detailed estimate.

1 MR. SIDLOFSKY: So you're using 2 percent where the
2 IHS Global forecast is higher than that?

3 MR. BOWNESS: That's correct. We're using the lower
4 number.

5 MR. SIDLOFSKY: The IHS Global forecast was from June
6 of 2016. Has that been -- have you commissioned any update
7 to that?

8 MR. BOWNESS: I'm not aware. I think that would be a
9 question for our finance panel that was up already. There
10 may be an opportunity with the last panel, I believe, to
11 maybe ask that question of our load forecasting group that
12 would have some insight into some of the financial
13 elements.

14 MR. SIDLOFSKY: Well, I don't have your finance panel
15 anymore, but is there any way that you could undertake to
16 make those inquiries and provide me with an update, if
17 you've obtained one?

18 MR. BOWNESS: We'll make sure that the panel that's
19 coming up after the shared services panel will have that
20 information.

21 MR. SIDLOFSKY: Okay. Next is from panel 2. And I'll
22 take you to page 158 of the Staff compendium.

23 In Exhibit I, tab 21, Staff 73, or at least in your
24 response to that interrogatory -- sorry, first of all, in
25 the interrogatory itself, Staff noted that:

26 "Hydro One described its labour optimization
27 program as being planned to optimize the number
28 of high-skilled regular work staff to the level

1 required to complete core work programs."

2 And in part C and D of that interrogatory Staff asked:

3 "To what extent labour optimization would be
4 expected to impact recovery times from a
5 potential major weather event with significant
6 forestry effort requirements and the steps Hydro
7 One is taking to manage impacts to recovery
8 times."

9 And you made a couple of assertions in response:

10 "First, there would be no negative impacts on
11 recovery times, because you remain mindful of
12 them, and committed to improving current response
13 times and reliability statistics. Second, to
14 ensure there are no negative impacts, Hydro One
15 was looking for operational enhancements in crew
16 alignment and resourcing structure, in technology
17 and grid modernization, and Hydro One also stated
18 that prior to operationalizing these enhancements
19 it is completing detailed assessments, including
20 pilots, with localized implementation to ensure
21 positive results and that once proven Hydro One
22 would look to implement them throughout its
23 business and achieve positive results."

24 Correct?

25 MR. BOWNESS: Yes, that's correct.

26 MR. SIDLOFSKY: How do you know that there won't be
27 any negative impacts on recovery times when you are still
28 completing assessments of the operational enhancements that

1 are intended to ensure that?

2 MR. BOWNESS: So if I take you through an example of
3 distribution modernization, distribution modernization has
4 the goal of being cost-effective to be able to respond to
5 customer needs with improved reliability at a financially
6 optimal cost, so if we're able to deploy sensors within the
7 grid to be able to pinpoint where a fault is occurring,
8 that's a technology enablement that is going to allow us to
9 deploy our trucks in a more efficient manner to get to the
10 incident faster and will have a benefit on reliability, so
11 the pilots that we are looking at are with respect to
12 improving the outcome at a lower cost.

13 MR. QUESNELLE: Mr. Sidlofsky, I hadn't anticipated
14 that you'd have this many questions. Time estimate,
15 just...

16 MR. SIDLOFSKY: I apologize, sir, it could be --
17 depending on the answers, it could be 15 minutes.

18 MR. QUESNELLE: I think the Panel has some questions
19 as well. So we'd take a -- we've been -- had this panel up
20 for the last session for two hours. We should probably
21 take our lunch. I was hoping to release you before lunch,
22 but we'll see you afterwards. And so let's come back at
23 ten after 2:00.

24 MR. NETTLETON: Mr. Chairman, I do have some reading
25 material for you.

26 MR. QUESNELLE: Okay. Well, perhaps we can pass that
27 on to Staff and they'll get it to us.

28 MR. NETTLETON: Yeah, this is the material that's to

1 be treated as confidential.

2 MR. QUESNELLE: I understand.

3 MR. NETTLETON: And if I could -- I've made three
4 sets, and I would prefer to give them to each of the Panel
5 members if that's --

6 MR. QUESNELLE: Certainly.

7 MR. NETTLETON: Thank you.

8 MR. QUESNELLE: Okay. Thank you.

9 MR. NETTLETON: I wish I was heading out the door.
10 Just a word of explanation. The materials have been copied
11 in black and white. The...

12 You will recall that the filed version and the
13 originals are all in colour. We didn't have the ability,
14 and that may cause the need to refer to the electronic
15 version that was filed and you will have to unfortunately
16 go through.

17 We haven't been able to red-mark where the red
18 redactions have been made, but that, I think, is the only
19 way we can show you where the material has been unredacted.

20 MR. QUESNELLE: Okay.

21 DR. ELSAYED: Just a clarification. The redactions in
22 the copy you just gave us are the black ones? I see some
23 are still there.

24 MR. NETTLETON: Yes, the black redactions have been
25 kept. The red redactions have been removed.

26 DR. ELSAYED: Okay.

27 MR. NETTLETON: Yeah.

28 MR. QUESNELLE: Okay. Thank you.

1 --- Luncheon recess at 1:11 p.m.

2 --- On resuming at 2:15 p.m.

3 MR. QUESNELLE: Mr. Sidlofsky, if you could continue
4 when you're ready.

5 MR. SIDLOFSKY: Thank you, sir. Could we go to page
6 160 of the compendium, please?

7 For the witness panel's benefit, I'm continuing to
8 follow-up with questions from panel 2 -- sorry, that was
9 page 160 of the Staff compendium.

10 MR. NETTLETON: Apparently the electronic version is
11 blank.

12 MR. SIDLOFSKY: The witnesses have copies of the
13 compendium, do they not?

14 MS. GARZOUZI: Yes, we do, and we have page 160.
15 Thank you.

16 MR. SIDLOFSKY: At page 160, we have a copy of the
17 response to Staff Interrogatory No. 204, and that's
18 Exhibit I, tab 40, schedule Staff 204.

19 In that interrogatory, Staff asked Hydro One whether
20 it considered its 2017 ratio of casual employees of around
21 33 percent to be optimal. And your response was that you
22 considered the ratio to be an effective use of resources.

23 I'm just trying to get some clarity on that response.
24 Does that mean that in your view, the ratio is optimal?

25 MR. BOWNESS: At this point in time, we find it's the
26 right balance between regular staff and hiring hall staff.

27 The reason I won't use the word "optimal" is we have a
28 high number of apprentices that are working through our

1 system with respect to a demographic issue that we have at
2 this point in our journey. So we have a higher level of
3 apprentices than we've had historically, which is adding to
4 an increased percentage of hiring hall staff because
5 apprentices are deemed hiring hall.

6 So one thing that we do see as we get through this
7 demographic bubble is that we're anticipating that we will
8 have a smaller number of apprentices working through the
9 pool -- still a good flow of apprentices, but the ratios
10 will change slightly in future years.

11 MR. SIDLOFSKY: Okay. Moving to page 161 of the
12 compendium, that I see is back on the screen now, that is a
13 copy of your response to Staff interrogatory 105,
14 Exhibit I, tab 40, schedule Staff 205.

15 In that interrogatory, Staff had asked whether hundred
16 had conducted a staffing study to compare its staffing
17 levels to other distributors and to determine the optimal
18 staffing level for its operations.

19 And your response was that you hadn't conducted such a
20 study as the regular and total FTE has been declining over
21 the 2017 to '22 period and, as such, it hasn't been a
22 priority for Hydro One to conduct a broad and likely
23 expensive staffing study.

24 That's accurate, right, based on your response?

25 MR. NETTLETON: Sorry, Mr. Sidlofsky, this
26 interrogatory was directed to Mr. McDonnell, so I just want
27 to make it clear that you're asking about evidence that has
28 been adopted by Mr. McDonnell, not by this panel.

1 MR. SIDLOFSKY: Did I read the answer accurately?

2 MR. BOWNESS: Yes, that's what the interrogatory
3 response states.

4 MR. SIDLOFSKY: So my question is -- or one of my
5 questions is why does the fact that fact that your FTE has
6 been declining suggest that a study isn't necessary?

7 MR. NETTLETON: Well, again, Mr. Sidlofsky, I'm not
8 sure that this panel can answer a matter that relates to
9 labour. That was the area that Mr. McDonnell was
10 testifying to, and this piece of evidence was in the chart
11 that was directed to him.

12 MR. SIDLOFSKY: Well, sir, this was passed on to this
13 panel by that previous panel. That's why I'm asking.

14 MR. BOWNESS: What I can speak to is I can speak to
15 the way we approach staffing as compared to some of the
16 other players in the LDC industry. We do take an approach
17 on working very much in a partnership within our selective
18 agreement rules with our Unions, and we're committed to
19 using regular labour for our ongoing work.

20 If we want to move away from that, we have to be able
21 to demonstrate that there's safety, quality, and cost
22 effectiveness gains that would justify moving away from
23 that strategy.

24 We feel we have a very strong balance between the use
25 of our full-time regular staff and the flexibility that we
26 have with the hiring hall resources. A number of other
27 entities within the Ontario marketplace have different
28 collective agreements and different strategies and rules

1 and agreements in place with respect to contracting out,
2 but I can't speak to the specific question around the drive
3 for the staffing strategy.

4 I think that was directed to Mr. McDonnell and I do
5 believe that he did answer that question within a previous
6 panel.

7 MR. SIDLOFSKY: And finally, on that point -- let me
8 know if you can answer it or not -- if Hydro One staffing
9 levels had been flat or increasing, would it have
10 considered such a study useful, or would Hydro One's view
11 be that a study wouldn't be useful under any circumstances?

12 MR. BOWNESS: I think, from a macro perspective, if
13 our company wasn't achieving our overall objectives, we
14 would look to leverage external sources and information to
15 help us achieve an optimal outcome. We believe that as a
16 part of this filing, we've leveraged the benchmarking
17 reports that were asked of us. We've submitted that
18 information. We've brought forward some of the materials
19 that we've used to help shape our productivity gains and
20 objectives. And I think that we have the right materials
21 in order to support the application that's in front of this
22 Board.

23 MR. SIDLOFSKY: Could I take you to page 162, please?
24 And that's your response to OEB Staff Interrogatory
25 No. 206, so that would be Exhibit I, tab 40, schedule Staff
26 206.

27 Staff noted that at Exhibit C1, tab 2, schedule 1,
28 page 11-13 of the evidence -- and we've included that at

1 pages 163 to 165 of the compendium -- Hydro One summarized
2 the efforts underway to manage its total FTE complement and
3 increase efficiencies.

4 And Staff had asked Hydro One to provide the estimated
5 savings for each initiative for the 2018 test year and
6 future years under the various categories that were shown.

7 Your response was that the referenced evidence
8 described the strategies and process changes Hydro One is
9 employing to gain efficiencies in order to execute an
10 increasing work plan with relatively stable FTE complement,
11 and that the strategies described in each of the work
12 programs have not been quantified as savings by Hydro One.

13 So my question is whether Hydro One undertook any cost
14 benefit analyses when developing each of those initiatives.

15 MR. BOWNESS: By each initiative, are you referring to
16 items such as our move to mobile project?

17 MR. SIDLOFSKY: That's right, actually in page 162 of
18 the -- sorry, if we can just scroll up a bit there.

19 MR. BOWNESS: Yes, so I see your referencing move to
20 mobile ...

21 MR. SIDLOFSKY: Among others, yes.

22 MR. BOWNESS: We did a cost benefit analysis. That is
23 the business case that formulate the shavings that we put
24 forward with our move to mobile project. We spoke to this
25 with some questions the other day, I believe by Mr. Brett,
26 and we talked about the clerical savings with respect to
27 head count reductions and we spoke to efficiencies in the
28 field with respect to a 5 percent goal on reducing unit

1 costs.

2 So yes, the background analysis for an initiative such
3 as the move to mobile project was a cost benefit analysis
4 on the business case to implement that solution.

5 MR. SIDLOFSKY: So aside from move to mobile, thinking
6 in terms of engineering lines, forestry, and system
7 maintenance, and those are described in detail at pages 163
8 to 165 of the compendium. Were there cost/benefit analyses
9 related to those?

10 MR. BOWNESS: So these are example initiatives on what
11 we've done within our overall work program, and I think
12 within this exhibit we speak to the summary of this being
13 Exhibit I25, Staff 123, and if we could bring that up I can
14 show you that within each one of these, this is the net
15 productivity gain that we have out of these initiatives, so
16 if we could just bring that up to on the screen you'll see
17 that we have approximately \$70 million run-rate savings in
18 2018.

19 Could we bring up the exhibit, please? Staff 123,
20 Exhibit I, tab 25, Staff 123. Just scroll down to the
21 table on the second page.

22 These are the committed to productivity savings that
23 we updated in the evidence as of the end of 2017, with the
24 committed savings by initiative over the period of the
25 submitted evidence and submitted application.

26 So it's not an exact one-for-one, because things
27 changed, right? If you look within the question -- there
28 was a question around how did we handle the Muskoka

1 project. Well, the Muskoka project in forestry was a
2 point-in-time initiative on clearing a number of the
3 feeders in the Muskoka area to drive-improve reliability.
4 And then this is subsequently transitioned into our optimal
5 cycle protocol initiative, so the approach on taking a
6 focused approach on driving reliability on some targeted
7 feeders was part of the input into our evolution in our
8 vegetation management strategy. Ultimately that culminates
9 in the savings that we have in this table under forestry
10 with respect to reduced trouble calls and then our future
11 targeted savings of \$20 million in annual work program.

12 MR. SIDLOFSKY: Okay. Thank you. You will be happy
13 to know I'm down to my last two questions, and they relate
14 to OM&A. I'm going to take you to pages -- sorry, pages
15 171 to 177 of the compendium. Those pages include your
16 responses to Exhibit I, tab 38, Staff 189 to 192 and Staff
17 194.

18 And in those interrogatories Staff asked you for
19 information for the years 2012 to 2017 for the number of
20 trouble calls, that's at Staff 189, the number of
21 disconnect and reconnect calls per year, that's at Staff
22 190, the number of defect corrections per year, that's
23 Staff 191, the number of PCB inspections and testing per
24 year, that's Staff 192, and the number of kilometres of
25 line cleared and line brush control in Staff 194. And
26 Staff also asked in those interrogatories for you to
27 comment on that information.

28 Now, in Undertaking JT3.17, from the technical

1 conference -- and that's at page 178 of the compendium --
2 Hydro One was asked to provide the costs of each of these
3 activities for the same time period. My question is
4 whether Hydro One can comment on whether or not meaningful
5 information on efficiency improvement trends would result
6 from taking the costs of each of these activities as
7 provided in the undertaking and dividing them by the
8 volumetric information contained in the respective
9 interrogatories.

10 [Witness panel confers]

11 MS. BRADLEY: In some programs that unit cost
12 calculation is meaningful; in others it's not. It depends
13 on how repeatable the scope is and the size of each project
14 under that program. As we stated at the beginning of this
15 process, we are committed to looking at every program to
16 find efficiencies, and we can see that through this
17 application and the efficiencies that we've added since the
18 time it was filed.

19 So that would be one of the parameters that we would
20 look at, but it's very dependent on the variation within
21 different investments or different units that are done in
22 these -- in some programs.

23 MR. SIDLOFSKY: Well, of these categories on page 178,
24 can you tell me which ones would be instructive and which
25 ones wouldn't in terms of efficiency trends?

26 MS. GARZOUZI: I'll take you to the items, so for
27 trouble calls there is significant volatility in the
28 impacts of events on our system, and so I think that that's

1 a difficult one to look at from an efficiency perspective.

2 For disconnect, reconnect, that one really depends on
3 the travel time that it would take to get to that premise
4 and to conduct the reconnect, disconnect, but that could be
5 a way of looking at it.

6 Defect correction, there's a lot of defects bundled
7 into defect correction, so it depends on the defect
8 correction type.

9 For PCB we are really looking at touching that
10 transformer once, so minimizing the times that we have to
11 either do a test or a replacement on that asset, so where
12 possible we've really focused at 2017 at grouping work, at
13 avoiding the test on a 1920 transformer, for example, and
14 simply replacing it if the wood pole is at end of life and
15 it's failed a condition test, so where possible, really
16 grouping the work to help improve the unit price.

17 And for brush control and line-clearing, that really
18 is a transformation that you see in the optimal cycle
19 protocol, so I would say, yes, we've really shifted the
20 approach there, looking at focusing high risk, high
21 criticality defects, trading that off for low criticality
22 defects.

23 MR. BOWNESS: On that last one, we do as use a lot of
24 unit cost metrics, cost per defect, cost per kilometre, for
25 our new OCP program, to make sure we're turning towards the
26 goals and objectives that we have to get to our three-year
27 cycle.

28 So it is the one there that we are looking at on a

1 monthly basis from a unit costing perspective.

2 MR. SIDLOFSKY: Okay. Thank you, panel, those are my
3 questions, and thank you, Mr. Quesnelle. I realize I'm
4 over my scheduled time. I appreciate the Board's
5 indulgence.

6 MR. QUESNELLE: Okay. Thank you, Mr. Sidlofsky.
7 Ms. Anderson, do you have any questions?

8 MS. ANDERSON: I do. You thought you were done.

9 **QUESTIONS BY THE BOARD:**

10 MS. ANDERSON: So you have told us about certain
11 assets that you do run to failure strategy, and examples, I
12 think, were pole-top transformers, conductors, insulators,
13 that kind of thing; that's correct? So for those, my
14 understanding is you record defects, and then once you've
15 identified those defects you do a trouble call; is that
16 correct?

17 MS. GARZOUZI: No, so -- well, it would depend, so if
18 something required urgent attention, then there would be
19 what we would call post trouble, so it would be a line item
20 there, but there's a program called "defect correction",
21 and so it is usually done under that program.

22 MR. BOWNESS: And I think Ms. Bradley spoke to an
23 example there where you would have potentially during
24 trouble and storm response a number of splices that you
25 would make on a particular span, and then when there is a
26 certain of number of them we could come back and we would
27 replace that to have fewer splices on that span.

28 MS. ANDERSON: So my question is really for the defect

1 correction projects. Do you have a backlog?

2 MS. GARZOUZI: Yes do.

3 MS. ANDERSON: And I guess it's different for each
4 asset, but is it -- I mean, given that we've looked so much
5 at those that are on the planned replacement and what that
6 looks like, so what sort of backlog might there be for
7 these sorts of assets?

8 MS. GARZOUZI: We're actively managing the backlog of
9 defects that we have. We're actually monitoring them on a
10 monthly basis and we're really trying to reduce those
11 without triggering a truck role specifically for that so,
12 where possible, grouping it with other work. So we're
13 seeing that number decline.

14 The high priority defects, we're at about 30,000 right
15 now, which is a reduction from what we had. And so we're
16 seeing the trend being reduced, and I think move to mobile
17 is really helping us manage that and reduce that.

18 MS. ANDERSON: Okay, thank you. One word that I
19 haven't heard in your investment planning or asset planning
20 process is cash-flow.

21 I heard that you have constraints and one of those is
22 obviously impact on customers, and you've taken that into
23 account.

24 But what about the cash-flow of the organization? Is
25 that ever a constraint, or do you just assume that whatever
26 investment you come up with, you can just -- it's just
27 going to be -- I guess you can borrow the money in order to
28 do the investment.

1 MR. BOWNESS: Yes, so from a work plan perspective, we
2 look at two dimensions of expenditure. We look at the
3 capital expenditure as to how much money we're spending and
4 then we also look at the in-service edition, i.e. when the
5 asset work is complete and it is on the grid being used and
6 useful.

7 Within the distribution business, it's much more one-
8 to-one. In the transmission business, there is a longer
9 lag. But what we do within the broader company is our
10 treasury group within finance looks at the work plans that
11 are approved or being submitted to being approved, and they
12 develop an approach with respect to how do you use existing
13 funds from operation. How do you use debt issuance into
14 the marketplace in order to make sure that the cash-flow
15 that's required to support the work program is met.

16 But the specifics of how the treasury function would
17 work, I defer that to our finance team.

18 MS. ANDERSON: I guess I was kind of wondering and --
19 sorry, your holding company is Hydro One Ltd., is that
20 correct, for the corporate functions?

21 MR. BOWNESS: So there is Hydro One Ltd., which is the
22 parent can company, the new parent company since going
23 public. Hydro One Inc. is the one that manages the
24 regulated business. And then you have Hydro One Networks,
25 which we are part of, which is the majority of the T&D
26 assets.

27 MS. ANDERSON: I was just wondering if any of the
28 parent companies ever put cash-flow restraints on some of

1 the investment decisions.

2 MR. BOWNESS: Not that I'm aware of. Typically, we're
3 going out into the market in order to be able to support
4 the work programs.

5 At no point during my experience has it been we have
6 to slow the work program down because of dash cash-flow
7 issues. So I defer to the treasury team to speak to the
8 mechanics of how they go to market about how they to borrow
9 money, but it hasn't been a concern that's come down to me
10 at any point in the last number of years from a delivery
11 perspective.

12 MS. ANDERSON: And I think that was where my question
13 was, did it provide any limitations to you in doing your
14 asset planning.

15 MR. BOWNESS: No.

16 MS. ANDERSON: Okay, last question, just so I'm clear.
17 ISDs; so is every project that's over a million dollars
18 given an ISD number, is that correct? I saw somewhere in
19 the evidence about a million. I just wasn't sure that
20 means every project.

21 MS. GARZOUZI: Every project or program above
22 a million would be in an ISD. And sometimes in the ISD,
23 there is a grouping of multiple.

24 MS. ANDERSON: Right, so some programs are multiple
25 projects, but -- and I won't say the pole replacement
26 program. That would be one that would have an ISD, but
27 every project over one million --

28 MR. KARUNAKARAN: One million.

1 MS. ANDERSON: -- would have an ISD. And I just want
2 to confirm that, and you have another category of major
3 projects and that's 5 million. And there is only
4 Leamington over the whole course of the whole five years,
5 is that correct, as far as a major project, and it was
6 5 million -- more than.

7 MS. GARZOUZI: I think that was based on a
8 conversation that we had when Mr. Bowness was describing
9 what was in flight, and that was based on the work program
10 that he's managing at the moment. But in the filing, there
11 are some that are greater than.

12 MS. ANDERSON: That's what I was asking.

13 MS. GARZOUZI: And there's a few.

14 MS. ANDERSON: Currently, you have only one, but there
15 are others within the five years?

16 MS. GARZOUZI: That's correct.

17 MS. ANDERSON: That was my question. Thank you.

18 MR. QUESNELLE: Dr. Elsayed?

19 DR. ELSAYED: I only have one question of a general
20 nature. You've told us in the last few days about some of
21 the initiatives that I've undertaken to improve your --
22 both your planning process and the execution of your
23 capital and OM&A programs.

24 So my question is in two parts. Can you provide us
25 with kind of a high-level summary of what is in your
26 evidence in this application that demonstrates the results
27 of those improvement initiatives that you are undertaking,
28 specifically comparing what you have in this application to

1 what you had in the previous rate application?

2 What have you shown as improvements as a result of the
3 initiatives that you've explained in the number -- in the
4 last few days?

5 Sorry, let me tell you the second part as well, so
6 you can think about it. This is going forward, same
7 question. What measures would you be monitoring or
8 tracking over the next number of years, again to
9 demonstrate improvements that you would be realizing from
10 this application to the next rate application?

11 [Witness panel confers]

12 MS. BRADLEY: The two areas that there's materials in
13 the application include \$400 million of productivity. That
14 was a significant increase in the productivity included in
15 this plan compared to past plans, and that's included in
16 Staff I-123 and that demonstrates the improvement we've
17 made from the time we filed until the time that we got
18 here.

19 The other area where there is a significant amount of
20 improvement from the past plan is in reliability. And in
21 reliability, we do show a number of initiatives that we are
22 taking to improve reliability without changing the funding
23 requirement that was originally submitted in this plan.

24 And there's a detailed view of those reliability
25 improvements that were submitted in J1.11, that shows, you
26 know, our past trend and the improvements that we intend to
27 achieve and the areas in which we plan to achieve those.

28 DR. ELSAYED: Thank you, I was thinking more of, again

1 focusing on your areas of expertise, planning and
2 execution. In planning, what my question is: You develop a
3 plan, a DSP, and you execute according to plan. So my
4 question is: How would you -- what would you tell me now
5 in terms of how what you are proposing in this application
6 corresponds to the plan that you submitted in the last
7 application.

8 And you also had a program to execute both capital and
9 OM&A. How would you describe, in general terms, how
10 successful you were in executing the plan that you had in
11 the previous application? And the same question applies
12 going forward, specifically on those two areas, planning
13 and execution.

14 [Witness panel confers]

15 MS. BRADLEY: In developing the investment plan there
16 was a significant amount of customer consultation and an
17 iterative process that was used with our board to determine
18 the right balance between the customer needs and
19 preferences, the assets, and the rates.

20 There's a standalone DSP that we have submitted as
21 part of this application, which was part of the planning
22 process. There's a number of planning aspects through the
23 governance document you saw in productivity that sort of
24 bridges planning and execution to develop the reliability
25 improvements that we've incorporated, and there's a number
26 of changes in the planning process that were sort of
27 foundational in developing some of the reliability
28 improvements.

1 I know Ms. Garzouzi walked through the planning
2 process for worst-performing feeders, for example, where
3 we've developed a methodology and a way to assess and
4 evaluate those types of investments, which we didn't have
5 in the past, and the incorporation of grid modernization,
6 where we learned from the pilot project that we did at Owen
7 Sound and intend to incorporate the learnings from that
8 through our grid modernization going forward in this plan.

9 I'll let Mr. Bowness speak to the work execution fees.

10 MR. BOWNESS: Yeah, so I think I will speak to things
11 a little bit more macro-ly, as I've seen the company
12 significantly transform since we went public in 2015.

13 There is an extreme heightened focus on outcomes and
14 accountabilities. And if I look at how we're measuring our
15 overall leadership team and management team from an
16 outcomes perspective, there has been a significant
17 improvement in our corporate performance management process
18 and overall metrics.

19 We review our team scorecard on a monthly basis. And
20 everybody within the leadership team and as it cascades
21 down through all managers in the company, we are all
22 measured against that team scorecard, so whether it's
23 customer service, whether it's health and safety, whether
24 it's work program efficiency, productivity, all of these
25 metrics that we've had that you see within our team
26 scorecard, we are all held accountable to that, and we
27 either win together or we lose together. And what I think
28 is transformed is that we are all rallying towards the

1 overall corporate goals and the outcomes that we are trying
2 to achieve.

3 The other thing that I would say is you go a layer
4 deeper and you look at the improved use of KPIs and
5 scorecards and measures that are being asked upon by us by
6 the regulator as well as with industry benchmarks is we're
7 getting a lot smarter around where we fit, where we stack
8 up, how are we performing on industry benchmarks as
9 compared to other distributors and other entities within
10 the North American utility space. And I think we're using
11 that information to challenge ourselves to get better. And
12 we're reporting on those results on an annual basis into
13 the regulatory process or the submissions that we have on
14 the scorecards, as well as using that information
15 internally.

16 If I go a layer deeper and I look at my team's
17 accountability, I have monthly reports that we review with
18 my overall team to look at our measures and our outcomes
19 and our accomplishments to make sure we're meeting the
20 asset needs and ultimately the reliability and customer
21 satisfaction that we are expecting to get out of our work
22 programs.

23 So I think there truly has been a transformation
24 around metrics and reports and information to lead to
25 really strong outcomes, and I think on a go-forward basis
26 you will see what we've submitted in evidence with the
27 targets that we have in our team scorecard, the targets
28 that we've set in the OEB scorecard and supplemental

1 scorecard is that we are truly committing to an ever-
2 improving business, and nowhere more so is that than on
3 reliability.

4 We truly believe we need to deliver a better product,
5 and we are setting very aggressive targets on reliability
6 over this five-year period.

7 DR. ELSAYED: Thank you.

8 How often do you update your DSP?

9 MS. BRADLEY: We update the DSP as submitted here for
10 the purposes of an application, but we do have an annual
11 investment planning process where we update our five-year
12 plan, and then we have the monthly redirection process
13 where we adjust for monthly variances that we experience
14 for events.

15 DR. ELSAYED: So when you update your investment plan,
16 do you look at critically what you did versus what you
17 planned and any lessons learned from that going forward --

18 MS. BRADLEY: Yes, we do. I think even the fact that,
19 you know, we submitted this application in March and in
20 December when we provided an update we had a number of
21 significant changes that we made both with respect to
22 productivity, reliability, the new vegetation management
23 program as a result of that critical look that we take at
24 our business and how we can improve.

25 You know, in hindsight would it have been easier to
26 wait for a few months? Maybe. It would have made this
27 process easier. But we are very committed to continuously
28 looking at what we can do to improve what we've heard from

1 people, whether that's, you know, audits, whether that's
2 through benchmarking, through industry forums we are a part
3 of, so that critical look is there, not just on that annual
4 investment planning process time line, but in the regular
5 communications and dialogue that we have. We believe our
6 part of the business, like my role, is to make our business
7 better, not just to keep doing what we've done before.

8 MR. BOWNESS: And a much stronger tie-in between the
9 planning group and the execution group. As we've seen, the
10 improvement in our accuracy on in-service additions in
11 2015, we were off by over \$100 million. That was
12 unacceptable from our perspective, and that's why we put in
13 a much more robust process in redirection, so that we are
14 managing within our means, and knowing that, yes, that
15 means that we are going to have to redirect away from some
16 work programs at times, but we're going to manage within
17 that capital envelope to achieve the best possible outcome.

18 DR. ELSAYED: Thank you. Those are all my questions.

19 MR. QUESNELLE: Okay. Thank you.

20 Mr. Nettleton, I don't have any questions myself. Do
21 you have anything you want to follow up on?

22 **RE-EXAMINATION BY MR. NETTLETON:**

23 MR. NETTLETON: I do, Mr. Chairman, if you would just
24 bear with me.

25 Mr. Bowness, just following up on your last response,
26 you were speaking of managing to a capital envelope. Why
27 is it appropriate to manage to a specific capital level,
28 capital spend level?

1 MR. BOWNESS: I think there's two reasons from my
2 perspective as to why it's appropriate to manage to a
3 capital envelope.

4 The first one is the rates that we've asked for are
5 encompassing based on a financial cost of doing work. And
6 if we don't adhere to those costs, and we come into the
7 subsequent rate hearing and we say we've spent X amount of
8 dollars over that envelope, we're retroactively asking the
9 OEB to approve that, and I think it puts the whole process
10 in a difficult position with respect to approving or
11 denying work that's already been completed, so I think
12 managing within the envelope is important to make sure that
13 we're staying true to what we asked for.

14 The other piece that I would put forward, and I was
15 asked this question, I think, within the TX filing as well,
16 if I'm recalling, is, you know, why wouldn't we set a
17 target of 98 percent of our capital expenditure, or 96, and
18 the reason I don't think that's appropriate is that we know
19 when we've seen in the evidence that there's more
20 investment and there's more asset needs than we can afford
21 to spend, so if we set a target of 98 percent, my team
22 would manage to 98 percent, and we'd be further away from
23 what the assets need, so I think through our redirection
24 process and our willingness to reinvest any cost savings on
25 the capital side is yielding an ever-improving income for a
26 defined capital envelope.

27 MR. NETTLETON: Panel, there has been much discussion
28 about the SAIDI and SAIFI statistics. You were having a

1 discussion with Mr. Sidlofsky earlier today. And I just
2 want to ask you a question in follow-up to that exchange.

3 Panel, are you familiar with the term "lagging
4 indicator"?

5 MS. BRADLEY: Yes.

6 MR. NETTLETON: Could you explain what a lagging
7 indicator is?

8 MS. BRADLEY: In the case with reliability we use
9 condition of our assets as a leading indicator. As the
10 condition worsens you are not going to have reliability
11 impacts, you know, the day after something is in poor
12 condition. Reliability impacts are a lagging indicator in
13 that you see the impact of poor condition after that
14 condition has deteriorated.

15 MR. NETTLETON: Are SAIDI and SAIFI lagging
16 indicators, Ms. Bradley?

17 MS. BRADLEY: Yes, they are.

18 MR. NETTLETON: Do lagging indicators have predictive
19 value?

20 [Witness panel confers]

21 MS. BRADLEY: I would say that there is some, but
22 limited predictability. Once you see the impact in SAIDI
23 and SAIFI, it's too late or significantly late to make a
24 difference in a timely manner to that number.

25 MR. BOWNESS: I think a lagging indicator as well is
26 if you are seeing a trend of deterioration and you don't do
27 anything about it, there is a higher likelihood that things
28 are going to continue on a bad path.

1 So it's a lagging indicator that is a call to action
2 to do something about it.

3 MR. NETTLETON: Mr. Bowness, in your exchange with
4 Dr. Elsayed just moments ago, I heard you indicate that
5 there had been significant changes introduced in this
6 application and what you were planning to move forward
7 with.

8 What I didn't -- and what I'd asked you to all
9 elaborate on is the past and the past transactions -- or
10 sorry, the past application that has been made to this
11 Board, and other application that is been made in to Board
12 in your experience.

13 How long have you been with Hydro One, sir?

14 MR. BOWNESS: As an employee, I've been with Hydro One
15 fifteen years.

16 MR. NETTLETON: And Ms. Bradley, how long for you?

17 MS. BRADLEY: Thirty years.

18 MR. NETTLETON: Panel, with respect -- Mr. Jesus, how
19 long have you been with the firm?

20 MR. JESUS: Thirty-one years.

21 MR. NETTLETON: And Ms. Garzouzi?

22 MS. GARZOUZI: Fourteen years.

23 MR. NETTLETON: Thank you. Panel, can you elaborate
24 on how productivity and efficiency have been considered, as
25 well as customer needs and preference has been considered
26 in prior applications, and compare that to this
27 application?

28 MR. BOWNESS: So from my perspective, asking --

1 looking specifically around productivity, I would say that
2 this is our strongest application that we've ever had with
3 respect to our productivity goals going forward.

4 I think historically we've spoken to productivity.
5 There's been productivity exhibits. But I don't think
6 we've had the strength and the integrity of the proof and
7 how it flows right to actual work units and work outcomes
8 and ultimately, overall business outcomes.

9 So the strength in our productivity governance and
10 tracking is stronger than I've ever seen it in the history
11 of our company.

12 The other piece on productivity is our overarching
13 objectives of trying to achieve annual run rates of, within
14 distribution, 70, 80, \$90 million and you will see similar
15 numbers coming out of our transmission side of the
16 business.

17 I think it's second to none. I think the push that we
18 have from our leadership team, from our board of directors,
19 from the regulator, from our customers around being more
20 productive is really driving a transformational behaviour,
21 and is far improved over anything I've seen in the 20 years
22 that I've been in and around Hydro One.

23 The second piece is with respect to customer. Every
24 single division within Hydro One is talking about customer.
25 We talked about customer historically within the customer
26 service team. Now we're all talking about customer: How
27 does this benefit the customer? How do we interact with
28 our customer?

1 I think there has been customer focus forever as Hydro
2 One, ultimately we are in the business of providing safe,
3 reliable, affordable power to customers. But the focus in
4 on our customer and considering them in all of our planning
5 activities, considering them more in our execution
6 activities and the transformation that's occurring within
7 the customer group as the customer panel spoke to is really
8 far improved as well.

9 MR. NETTLETON: Sir, what do you attribute these
10 changes to?

11 MR. RUBENSTEIN: Sorry, I don't want to object. But
12 this, I believe, goes beyond re-direct.

13 MR. QUESNELLE: Anything specific that you want to
14 point the witnesses to in the cross-examination by others?

15 MR. NETTLETON: There was simply a follow-up to Dr.
16 Elsayed's question that I heard with respect to him asking
17 a question about what the past was, what the current is,
18 and what the future is going forward. And what I didn't
19 hear the witnesses speak to was the past.

20 So that's why I was asking the witnesses about what
21 the past was to give contrast to what the future was going
22 forward. That's all, sir.

23 MR. QUESNELLE: That's fine, but I think that
24 specifically could have been pointed to in your re-direct.

25 MR. NETTLETON: I think I did that, sir. I think I
26 did.

27 MR. QUESNELLE: I hadn't picked up on it. Sorry.

28 MR. NETTLETON: So my final question is: What do you

1 attribute that difference to, sir?

2 MR. BOWNESS: I attribute it to a change in
3 leadership. Really things have stemmed since we've gone
4 public and the strength in our overall leadership team to
5 drive to better outcomes.

6 MR. QUESNELLE: Thank you to the panel. I'm sure this
7 has been a trying few days. Thank you very much for your
8 forthright evidence.

9 Mr. Nettleton, why don't we take a ten-minute break
10 to allow the panels to shift and we'll return. Thank you.

11 MR. NETTLETON: Thank you.

12 --- Recess taken at 3:01 p.m.

13 --- On resuming at 3:13 p.m.

14 **DECISION:**

15 MR. QUESNELLE: Just before you introduce your new
16 panel, Mr. Nettleton, the Board was -- made its
17 determination with respect to the Undertaking J7.1.

18 The Board has determined that it will not compel Hydro
19 One to provide any further information either in the public
20 record or on a confidential basis with respect to its filed
21 response to Undertaking J7.1.

22 The OEB has reviewed the redacted elements of the
23 undertaking that Hydro One referred to as being related to
24 sensitive commercial information related to third-party
25 contract negotiations or staffing matters and finds that
26 they are of the nature that Hydro One has described.

27 The Board's initial ruling compelling Hydro One to
28 undertake the production of the information was intended to

1 better inform how the work of the various work streams fed
2 into a report to Hydro One's board of directors.

3 The Board observes -- the OEB observes that the
4 working papers that have been provided which were used at
5 the -- at a series of steering committee meetings in
6 advance of the board of directors meeting are very general
7 in nature.

8 The OEB finds that, while the nature of the
9 discussions in the working papers may be relevant to the
10 subject matter of the application, given the lack of any
11 specific connections by way of specific recommendations,
12 for instance, the OEB places little probative value on the
13 information in terms of testing what Hydro One ultimately
14 included in its application.

15 Given these findings, the OEB sees little merit in
16 compelling any further disclosure. Thank you.

17 MR. NETTLETON: Thank you, sir.

18 MR. QUESNELLE: Thank you.

19 Okay, carry on with the introduction of your next
20 panel.

21 MR. NETTLETON: Thank you. Panel 6 is the shared
22 services panel, Mr. Chairman and Board members, and this
23 panel has four witnesses that are attending today. Closest
24 to you is Mr. Tom Irvine. Mr. Irvine is the director of
25 system control at Hydro One. Seated beside Mr. Irvine is
26 Mr. Rob Berardi. Mr. Berardi is the vice-president of
27 shared services. Seated beside Mr. Berardi is Mr. Lincoln
28 Frost-Hunt. He is the director of enterprise information

1 technology. And finally, seated beside Mr. Lincoln Frost-
2 Hunt is Mr. Imran Merali, whom has testified previously in
3 this proceeding. He is the director of custom program
4 delivery.

5 Could the witnesses have the oath administered?

6 **HYDRO ONE NETWORKS INC. - PANEL 6, SHARED SERVICES**

7 **Tom Irvine,**

8 **Rob Berardi,**

9 **Lincoln Frost-Hunt,**

10 **Imran Merali; Affirmed.**

11 **EXAMINATION-IN-CHIEF BY MR. NETTLETON:**

12 MR. NETTLETON: Thank you, Ms. Anderson.

13 Gentlemen, there are two pieces of evidence that I
14 will be referring to. The first is Exhibit K1.1, which are
15 the curriculum vitae that were pre-filed as part of Exhibit
16 A-9-2 in this proceeding, and also Exhibit K1.2, which is
17 the draft hearing plan and the table that starts at page 46
18 of 58 of the PDF version of that document.

19 If you could have that information before you, what
20 I'd like to do is ask a few questions, starting with you,
21 Mr. Irvine, and identify the evidence that you intend to
22 adopt as your evidence in this proceeding.

23 So if we turn to page 39 at the top -- oh, sorry.

24 Yes. Mr. Irvine, can you confirm that the evidence listed
25 on this page and I believe going over to the next is the
26 evidence you intend to adopt in your proceeding?

27 MR. IRVINE: Yes, I do.

28 MR. NETTLETON: And do you have any changes or

1 corrections to make to that evidence, sir?

2 MR. IRVINE: I do not.

3 MR. NETTLETON: And is it therefore accurate to the
4 best of your knowledge and belief?

5 MR. IRVINE: Yes.

6 MR. NETTLETON: And do you therefore adopt that
7 evidence as your evidence in this proceeding?

8 MR. IRVINE: Yes.

9 MR. NETTLETON: Mr. Berardi, your name appears, I
10 believe, first on page 39 of that document. And can you
11 confirm the evidence listed there is the evidence you
12 intend to adopt in this proceeding?

13 MR. BERARDI: Yes, I do.

14 MR. NETTLETON: And do you have any changes or
15 corrections to make?

16 MR. BERARDI: Yes, I do. I have a correction to
17 Exhibit D1, tab 1, Schedule 4, material and supplies
18 inventory. There is an error in table 1, and I conferred
19 with our finance friends. It has a minimum impact to
20 revenue requirement, and I will just run you through the
21 changes -- or the corrections.

22 For 2019 the total inventory number should be
23 35.6 million. For 2020 the total inventory number should
24 be 36.3 million. For 2021 the total inventory should be
25 37.1 million. And for 2022 the total inventory number
26 should be \$37.8 million.

27 MR. NETTLETON: And, sir, those corrections are made
28 to which table, table 1 or table 2?

1 MR. BERARDI: Table 1.

2 MR. NETTLETON: Thank you. And with those changes and
3 corrections, Mr. Berardi, do you -- is the evidence
4 accurate to the best of your knowledge and belief?

5 MR. BERARDI: Yes, it is.

6 MR. NETTLETON: Do you therefore adopt that evidence
7 as your evidence in this proceeding?

8 MR. BERARDI: Yes, I do.

9 MR. NETTLETON: Thank you.

10 Mr. Lincoln -- Mr. Frost-Hunt, can you confirm that
11 the evidence you intend to adopt in this proceeding is the
12 evidence shown on pages 41 and 42 of Exhibit K1.2?

13 MR. FROST-HUNT: Yes.

14 MR. NETTLETON: And do you have any changes or
15 corrections to make to any of that evidence?

16 MR. FROST-HUNT: I do not.

17 MR. NETTLETON: And is it therefore accurate to the
18 best of your knowledge and belief?

19 MR. FROST-HUNT: Yes, it is.

20 MR. NETTLETON: And do you therefore adopt that
21 evidence as your evidence in this proceeding?

22 MR. FROST-HUNT: Yes, I do.

23 MR. NETTLETON: Thank you.

24 And finally, Mr. Merali, your evidence is listed on
25 pages 39 and 40 of Exhibit K1.1 -- sorry, K1.2; do you see
26 that?

27 MR. MERALI: I do.

28 MR. NETTLETON: Do you have any changes or corrections

1 to any of that evidence?

2 MR. MERALI: I do not.

3 MR. NETTLETON: And is it therefore accurate to the
4 best of your knowledge and belief?

5 MR. MERALI: Yes, it is.

6 MR. NETTLETON: Do you therefore adopt that evidence
7 as your evidence in this proceeding?

8 MR. MERALI: I do.

9 MR. NETTLETON: Thank you.

10 Mr. Chairman, this panel does not have an opening
11 statement, so it is now available for cross-examination.

12 MR. QUESNELLE: Great, thank you, Mr. Nettleton.

13 Mr. Ladanyi.

14 **CROSS-EXAMINATION BY MR. LADANYI:**

15 MR. LADANYI: Good afternoon, panel, my name is Tom
16 Ladanyi. I am consultant to Energy Probe. A couple of
17 days ago I sent out a list of exhibits that I would be
18 referring to. Unfortunately I'd assumed that this panel
19 would be dealing with affiliate transactions also, and I
20 understand it is not, so some of those exhibits that I
21 listed I will not be asking any questions about, so
22 hopefully my time will be less than half an hour. We'll
23 see how it goes, and I -- because we are considerably
24 behind schedule right now, so hopefully we'll gain some
25 time.

26 MR. QUESNELLE: I appreciate the effort, Mr. Ladanyi.

27 MR. LADANYI: Thank you. So if you could first turn
28 to tab 25, Energy Probe 37, and in that interrogatory we

1 asked about sale of properties. And three properties are
2 listed: Matheson area office, former Bracebridge area
3 office, and former Nipigon MEU office.

4 And I'd like to know whether these were -- there was a
5 profit on the sale of these properties?

6 MR. BERARDI: I don't know whether there was a profit.
7 We did go to the open market to sell these properties. I
8 do not have in front of me the sale, disposition, and
9 whether there was a profit on these...

10 MR. LADANYI: I hate to ask for an undertaking this
11 late in the process, but could you give me an undertaking
12 to find out whether there was a gain on the sale of the
13 properties?

14 MR. BERARDI: Yes, I can.

15 MR. LADANYI: And as another part of that undertaking
16 also whether you were sharing or you did share in the past
17 the profit on the sale with the ratepayers. Can I have an
18 undertaking number?

19 MR. SIDLOFSKY: It will be J9.1.

20 **UNDERTAKING NO. J9.1: (A) TO ADVISE WHETHER THERE WAS**
21 **A GAIN ON THE SALE OF THE PROPERTIES; (B) TO ADVISE**
22 **WHETHER HONI WAS SHARING OR DID SHARE IN THE PAST THE**
23 **PROFIT ON THE SALE WITH THE RATEPAYERS.**

24 MR. LADANYI: Thank you.

25 Can we next turn to tab 29, School Energy Coalition
26 number 58. Do you have that in front of you?

27 MR. BERARDI: Yes, I do.

28 MR. LADANYI: That is, as I understand it, your

1 complete listing of the vehicles and helicopters as well
2 that Hydro One owns.

3 Are these are owned, by the way -- let's start like
4 this -- or are some of them leased?

5 MR. BERARDI: These are owned.

6 MR. LADANYI: These are owned. All right. And I was
7 interested, actually surprised how many vehicles there are.
8 Hydro One, as I understand it from evidence earlier in this
9 case, has roughly 8,500 employees; would you accept that?

10 MR. BERARDI: Yes, that's correct.

11 MR. LADANYI: And some of those employees are in the
12 office here in Toronto, and others are outside in field
13 operations. So roughly, how many employees would be in
14 field operations? Roughly only.

15 [Witness panel confers]

16 MR. BERARDI: Approximately 6,000, subject to check.

17 MR. LADANYI: 6,000. So there are actually more
18 vehicles than employees, would that be right? So it's
19 really -- so can you explain to me -- like how much use do
20 these vehicles get, or this equipment? A lot of them must
21 be just sitting around, I assume.

22 MR. BERARDI: I just wanted to address the
23 utilization. So in 2017, we've implemented a tool called
24 telematics. And during that time in 2017, we reduced our
25 fleet by approximately 10 percent. So we went from 8,000
26 in 2017 to 7,200.

27 And so by implementing tools like telematics that
28 gives us real-time information on utilization and real-time

1 information on idling, we were able to reduce our fleet by
2 10 percent.

3 So the numbers that you are seeing are as a result of
4 the fleet reduction from 8,000 to approximately 7,200.

5 MR. LADANYI: Does each employee in the field have a
6 vehicle?

7 MR. BERARDI: No, they do not.

8 MR. LADANYI: And these do have vehicles, are they
9 allowed to take them home?

10 MR. BERARDI: It really depends. It really depends on
11 the work that they're doing. So, for instance, if they're
12 moving from one location to another location, it might be
13 more efficient for them to take that vehicle home.

14 But for the most part, large, heavy equipment, would
15 be at the operation centre, so they would have to drive to
16 the operation centre to get some of the large classes.

17 MR. LADANYI: Some companies have a policy of
18 returning all of the light vehicles and virtually all the
19 vehicles back to the yard, the company yard, at the end of
20 a shift. Do you have that similar policy?

21 MR. BERARDI: We do not.

22 MR. LADANYI: Do not. Have you considered something
23 similar?

24 MR. BERARDI: Not to the best of my knowledge.

25 MR. LADANYI: Is there -- do employees get charged for
26 personal use of the vehicles?

27 MR. BERARDI: They do.

28 MR. LADANYI: And it becomes a benefit, or how are

1 they charged?

2 MR. BERARDI: Well, I believe it's through the CRA
3 rules and taxable benefits. I'm not the expert in this
4 area.

5 MR. LADANYI: All right. Do you keep track of
6 kilometres per vehicle per year?

7 MR. BERARDI: Yes, we do.

8 MR. LADANYI: And I presume that would vary. I guess
9 heavy equipment would have lower kilometres than light
10 vehicles, is that right?

11 MR. BERARDI: That's correct.

12 MR. LADANYI: I don't want to ask you an interrogatory
13 -- or an undertaking for that, because I'm not sure if the
14 numbers will be meaningful to me. But I'm assuming you are
15 monitoring this and you are getting efficient use of
16 vehicles, and that's your objective, is it?

17 MR. BERARDI: Yes, we do a regular asset condition
18 assessment on each one of our vehicles, so we have very
19 detailed accounts on each piece of equipment.

20 MR. LADANYI: One last question about the vehicles
21 before we go to another subject. So at what point in time
22 would you be disposing of vehicles?

23 MR. BERARDI: It really depends. It really depends on
24 class. It really depends on usage, and it really depends
25 on the amount of kilometres, wear and tear.

26 So for instance, light vehicles versus heavy have
27 different criteria for when we dispose. But we do have a
28 regular asset condition assessment that we do on an annual

1 basis on each one of those pieces of equipment.

2 MR. LADANYI: I have one sub question on vehicles as
3 well. I was interested in how long your vehicles last, so
4 I looked into the depreciation rate review and I didn't
5 find an item there for vehicles. And you probably don't
6 know this because you are not an expert in depreciation,
7 but I'm not sure -- I don't actually understand why the
8 vehicles, if you owned them, they would not be listed as
9 one of the assets in the depreciation study. You don't
10 know the answer to that, do you?

11 MR. BERARDI: I do not know the answer to that, no.

12 MR. LADANYI: Sorry to ask you, but would it be to be
13 have an undertaking on that as well? An undertaking that
14 you can ask somebody in the accounting department why the
15 vehicles are not listed in the depreciation rate review.

16 It is Exhibit C1, tab 6, tab 1, schedule 1.

17 MR. BERARDI: Okay.

18 MR. LADANYI: I don't want to take you to it, because
19 we have limited time. So let's go to the next item, which
20 is integrated system operation centre, tab 29, School
21 Energy Coalition 61.

22 MR. SIDLOFSKY: Sorry, Mr. Ladanyi, were you asking
23 for an undertaking?

24 MR. LADANYI: Yes, I am. I am moving too quickly.

25 MR. SIDLOFSKY: That's okay, it's J9.2.

26 **UNDERTAKING NO. J9.2: TO EXPLAIN WHY VEHICLES ARE NOT**
27 **LISTED IN THE DEPRECIATION RATE REVIEW AT EXHIBIT C1,**
28 **TAB 6, TAB 1, SCHEDULE 1.**

1 MR. LADANYI: Thank you. So there is a fair amount of
2 evidence in the case already on this item, on the
3 integrated system operation centre. And that was
4 originally called a back-up control centre and there was a
5 scope change. And I understand all this; I read the
6 evidence.

7 I have a more basic question here. This is justified
8 on the basis of need, so if it's a basis of need, is this a
9 matter of cost is no object here? Like for example, if the
10 integrated system operation centre cost 76 million instead
11 of 56 million, would that still be all right? What would
12 be the upper limit that you would have allowed for this?

13 MR. IRVINE: So in regard to the system operating
14 centre, you are correct in that it is a need for us. We
15 operate one of the largest distribution and transmission
16 systems in North America and we do it from a single control
17 centre. As such, having a back up control centre is
18 critical to our business.

19 As far as cost and needs, we are cognizant of the cost
20 and looking at the needs and what it is that we require to
21 do, we take that into consideration to ensure that we look
22 at all those pieces and put in what is required as part of
23 the cost structure.

24 MR. LADANYI: And this hadn't been built yet, has it?
25 It is under construction?

26 MR. IRVINE: It has not been built yet, that's
27 correct.

28 MR. LADANYI: So suppose this costs more a lot more

1 than 56.4 million.

2 MR. IRVINE: In the updated -- the current cost for
3 this rate filing for distribution is classified as
4 \$61.3 million. That was updated in Staff 173 through ISD
5 GP18.

6 MR. LADANYI: Thank you. So my question is back to
7 what is a reasonable amount of money for this? Because it
8 is justified on the basis of need; there is no benefit-cost
9 analysis, there is no value for money analysis. How does
10 one -- how does the Board, for example, assess whether this
11 is the right amount of money that should be invested in
12 something like this?

13 MR. IRVINE: So essentially in our investment summary
14 document, JP18, goes through the process that we used in
15 determining the needs and what is required for the centre.

16 So if you look at how JP18 is aligned today, it
17 specifies a series of ways we go through the whole
18 assessment.

19 It starts with a planning needs assessment. Through
20 that, we make determination of what is required. In this
21 case, we saw the need -- there are various needs in the
22 company at the moment from the operations perspective, the
23 integrated telecom management centre perspective, the
24 securities perspective, and the data centre perspective.

25 So once we got the planning needs down pat, we go
26 through what's called a detailed design phase. And in that
27 detailed design phase is really where you are look at all
28 the requirements, go through engineering, the design, to

1 get to the point of what are the critical components that
2 we need that centre to be composed of in order to move
3 forward.

4 Once that detailed design phase is complete, and it
5 has been completed in this case, we then have a very good
6 estimate of what the costs are associated with that
7 project.

8 From that point, it goes to a request for proposal,
9 and from that point we get those back, and then it goes to
10 the construction phase.

11 MR. LADANYI: Thank you. In this business people are
12 sometimes concerned that utilities that are essentially
13 under cost of service whereby they come to the Board and
14 tell the Board what something costs have a tendency to put
15 into buildings, a lot of nice-to-have type of features.

16 And how are you sure that this is really absolutely
17 everything is necessary that you have in this integrated
18 system operation centre, there is not some additional
19 things being added by people who think it would be nice
20 have this or nice have that? It is very difficult for the
21 Board to assess a project like this. What would be your
22 response to that?

23 [Witness panel confers]

24 MR. IRVINE: Essentially in this case what was done
25 is, first of all, what we're building isn't just a -- it's
26 not just a building,; it's a control centre and a data
27 centre, which does bring into play some different
28 components than, say, if we were building an office

1 building or something of that nature.

2 So those are some differences taking into
3 consideration of what is required. When you are building a
4 data centre and a control centre, the needs and
5 requirements are slightly different, in that we need to
6 have redundant power supplies, duplicated compute hardware,
7 so it is different than what the office structure would be.

8 MR. LADANYI: Thank you. I'll go to another subject
9 now.

10 Could you turn to Undertaking JT2.13? And here we're
11 talking about savings from interval meters. And as I read
12 this, there's not much of a saving; is that right?

13 MR. MERALI: That is correct.

14 MR. LADANYI: Can you explain further -- I really --
15 because I think the public were told that there was going
16 to be a lot of savings, a lot of advantages from having
17 integral meters, or Smart Meters, and that the utilities
18 will be able to get additional information that would help
19 them with operations, perhaps operate their system more
20 efficiently, and yet this doesn't seem to be materializing,
21 so this is just -- not that this fully covers the subject,
22 but you were closer to it than I am.

23 Can you explain to me why you are not seeing savings
24 that we were told we were going to see?

25 MR. MERALI: Sure, and this interrogatory response is
26 really speaking to the delta of additional customers that
27 could be right on time of use beyond the roughly million-
28 two that we have already on time of use.

1 So as the cellular companies expand their network
2 coverage, it is typically our experience that they are not
3 taking entire areas and putting a brand-new area on the
4 grid. These are very remote parts of Ontario which
5 currently do not have cellular coverage which are slowly,
6 incrementally being added to, or network gear is being
7 replaced so we can get that one additional house at the end
8 of the -- you know, end of the road or end of the street,
9 so based on the nature of the 5,000 roughly accounts that
10 are being migrated to time of use on an annual basis, it is
11 not materially reducing our manual meter-reading costs, so
12 just to clarify, this is to -- this is about the
13 incremental, every year, not the entire population.

14 MR. LADANYI: I understand that. I was only using
15 this undertaking to --

16 MR. MERALI: Yes.

17 MR. LADANYI: -- refer to in the question.

18 Since I have you answering questions, maybe we can
19 turn to my last question, which is tab 4, Energy Probe 4.

20 And here we've asked you about the impact of the Fair
21 Hydro Plan on low-income energy assistance program. And
22 it's got no impact.

23 MR. MERALI: Yeah, last year we didn't see a material
24 reduction in requests for LEAP funding associated with the
25 Fair Hydro Plan.

26 It was sort of early days, so to speak, in terms of
27 its rollout and timing of the year, so the Fair Hydro Plan
28 came into effect in July. People started really seeing the

1 benefits in the third quarter. LEAP is primarily a tool
2 used to help customers right at the period of being
3 disconnected, and we were into Q4, Q1, where disconnections
4 were not occurring, and even most of Q2, so I think the
5 long-term effects associated with Fair Hydro Plan and LEAP
6 are still TBD.

7 MR. LADANYI: It is too early to tell, you're saying,
8 but there might be some savings?

9 MR. MERALI: There could potentially be some savings
10 over the longer-term. We still -- I would not envision a
11 scenario where the OEB-prescribed amount of, I believe it's
12 .12 percent of distribution revenues to put into a fund for
13 LEAP would accommodate our needs, because we have
14 historically spent over 200 percent of the prescribed
15 amount.

16 MR. LADANYI: I'm going to ask just one more question,
17 Mr. Berardi. Just to be sure, your shared-services
18 organization does not provide any services for affiliates.
19 You are just sharing services within Hydro One Networks; is
20 that right?

21 MR. BERARDI: We actually shared services for Hydro
22 One Limited. We provide services to Hydro One remotes and
23 Hydro One telecom as well.

24 MR. LADANYI: And you are charging those services that
25 you are providing at the, what, at market rates, at fully
26 allocated cost basis?

27 MR. BERARDI: What we charge Hydro One telecom and
28 Hydro One remotes is consistent with the Affiliate

1 Relationship Code, so depending on the type of activity, so
2 in my area of accountability I have supply chain, fleet,
3 services, also have facilities and real estate, so we would
4 charge our affiliates, in this case, our subs, our
5 subsidiaries, Hydro One telecom and Hydro One remotes,
6 accordingly.

7 MR. LADANYI: One more question, sir. Very good. So
8 as I understand it from the Affiliate Relationship Code,
9 these services are provided under five-year contracts, so I
10 assumed you have a five-year contract to provide services,
11 for example, to Hydro One remotes and that it has to be
12 renewed for another five years?

13 MR. BERARDI: I'm not sure if they're five-year
14 contracts or not. We do go through a process on an annual
15 basis to review the types of services that are provided,
16 and we go through that process annually. I'm not sure that
17 they're five-year contracts.

18 MR. LADANYI: Okay. And the ratepayers normally are
19 concerned that a regulated utility that is providing
20 services to affiliates would be providing it at less than
21 fully allocated costing, which would consist of a subsidy
22 of affiliates by the regulated utility. You understand
23 that? So I'm glad you're following Affiliate Relationship
24 Code. I don't think we can test it right now, and I'll
25 take your word for it. Thank you very much.

26 MR. BERARDI: Thank you.

27 MR. QUESNELLE: Thank you, Mr. Ladanyi.

28 Mr. Segel-Brown? Oh, we've got a change in order?

1 MS. GIRVAN: Yes, sorry, change in order. I have some
2 obligations this afternoon, so --

3 MR. QUESNELLE: Okay.

4 MS. GIRVAN: -- thank you very much.

5 MR. QUESNELLE: Ms. Girvan.

6 **CROSS-EXAMINATION BY MS. GIRVAN:**

7 MS. GIRVAN: Good afternoon, panel. My name is Julie
8 Girvan, and I'm a consultant to the Consumers Council of
9 Canada. So the first question is -- and we've spoken about
10 this -- I think we spoke about it earlier, maybe in the
11 technical conference. I just want to make sure your
12 position is still the same. So with respect to the Avista
13 acquisition by Hydro One, there is no plan to share any
14 services going forward during the rate plan term?

15 MR. QUESNELLE: Can we mark your compendium while
16 we're waiting for the witness?

17 MR. SIDLOFSKY: That will be Exhibit K9.2.

18 MR. QUESNELLE: Okay.

19 **EXHIBIT NO. K9.2: CCC CROSS-EXAMINATION COMPENDIUM**
20 **FOR HONI PANEL 6**

21 [Witness panel confers]

22 MR. BERARDI: We do not have in our five-year
23 application in front of the Ontario Energy Board any
24 integration with Avista.

25 MS. GIRVAN: And is it something you're looking into?

26 MR. BERARDI: Not at this point in time.

27 MS. GIRVAN: No plans to look into that at all?

28 MR. MERALI: Until the transaction officially closes

1 we're prohibited by federal anti -- don't quote me on the
2 exact legislation, but there is some anti-competition
3 legislation that says we can't work with Avista to look for
4 synergies and things of that nature until the transaction
5 officially closes.

6 MS. GIRVAN: Okay. All right. Thank you.

7 Now, I know that you're not the finance panel, but I
8 want to take the sort of areas of responsibility that you
9 have, and I'm trying to follow how the common corporate
10 costs flow through to the overall O&M budget.

11 So you will see in my compendium, the first on page 2
12 sets out over all O&M expenses. And within the context of
13 that schedule there is a common corporate cost which
14 included, if you turn to the next page, is information
15 technology, common corporate functions and services, et
16 cetera.

17 And on page 3 of the compendium sets out the total
18 amount of common corporate costs for transmission and
19 distribution. So do you see that?

20 MR. NETTLETON: Sorry, what page, Ms. Girvan?

21 MS. GIRVAN: On page 3 of the compendium. The pages
22 are at the bottom. There we go.

23 MR. NETTLETON: Thank you.

24 MS. GIRVAN: So I'm just trying to follow how the
25 costs that some of you are responsible for flow through to
26 the overall O&M for the company. Do you see that?

27 MR. BERARDI: Yes, we do.

28 MS. GIRVAN: So if you look at that schedule, that

1 table, there is a line at the bottom that's "Other OM&A",
2 and from what I understand, that is largely capitalized
3 overheads. Is that correct?

4 MR. BERARDI: I'm not sure.

5 MS. GIRVAN: You are on the same mic so you have to...

6 MR. BERARDI: I'm not sure what that is. We're
7 struggling because this is not our area of accountability.

8 MS. GIRVAN: Yes, I realize that. I guess I'm just
9 trying to flow through the numbers. So just take it
10 subject to check, which I understand that that line
11 includes capital overheads, indirect depreciation, and
12 other non-recurring expenses.

13 MR. BERARDI: Subject to check.

14 MS. GIRVAN: Okay, great. Thank you. So if I turn to
15 the next page, I see the common corporate OM&A costs
16 allocated to distribution. And specifically, I see in that
17 last column for 2018 an amount of information technology;
18 is that correct?

19 MR. FROST-HUNT: Yes, I see that.

20 MS. GIRVAN: So again we have a forecast here of
21 186.3 million for those costs, subject to this adjustment
22 at the bottom of other OM&A; do you see that?

23 MR. FROST-HUNT: Yes.

24 MS. GIRVAN: Coming up with 53.9 million of OM&A
25 related to common corporate costs.

26 MR. FROST-HUNT: Yes, I see that.

27 MS. GIRVAN: All right. But in the context of that,
28 you have, with respect to information technology,

1 80.4 million.

2 MR. FROST-HUNT: Yes, that is correct.

3 MS. GIRVAN: And I'm assuming again that's because you
4 are going to capitalize some of those costs. Is that your
5 understanding?

6 MR. FROST-HUNT: That is not my understanding. I
7 cannot speak to the other OM&A row in this table.

8 MS. GIRVAN: Okay. So at the end of the day, we have
9 53.9 million in common corporate costs and we see that in
10 the overall O&M expenditures on page 2 of the compendium of
11 53.9 million. Do you see that?

12 Okay. So when I take -- I'm going to now turn to the
13 evidence related to outsourcing and I think this is yours,
14 Mr. Berardi, your evidence. And that's found on page 10 of
15 the compendium.

16 MR. BERARDI: Yes, I have that.

17 MS. GIRVAN: So this refers to the fact that Hydro One
18 -- and it says this on the next page -- relies on two main
19 outsourcing arrangements in the operation of its
20 businesses, one with NRG and another with Brookfield Asset
21 Management; that's correct?

22 MR. BERARDI: That's correct, but just to correct it,
23 it is Brookfield -- it's BGIS, Brookfield Global Integrated
24 Systems.

25 MS. GIRVAN: Yes, I've seen that reference before. So
26 the amounts that actually are subject to those arrangements
27 can be found on pages 19 and 20 of the evidence.

28 MR. NETTLETON: Sorry, of your compendium?

1 MS. GIRVAN: Yes, sorry, of my compendium, my
2 evidence.

3 And what I'm trying to reconcile here is -- the first
4 thing is, from what I understand, a portion of the NRG
5 contract related to customer care has expired in February;
6 is that correct?

7 MR. MERALI: That is correct.

8 MS. GIRVAN: And the back office services, which are
9 the other component to that contract, expire December 31,
10 2019?

11 MR. BERARDI: That's correct.

12 MS. GIRVAN: So what I'm struggling with is, first of
13 all, you've assumed, I guess in the context of projecting
14 your O&M over the course of the rate plan, that this will
15 continue -- these contracts will continue; is that correct?

16 MR. MERALI: I think it's different for the respective
17 areas. So with respect to customer, I think we've
18 discussed in this hearing that we in-sourced the operations
19 subsequent to the expiry on February 28th.

20 MS. GIRVAN: Okay.

21 MR. FROST-HUNT: The information technology will
22 continue.

23 MS. GIRVAN: It will continue. So what I'd like to do
24 is -- so you have \$94.7 million related to the NRG fees.
25 How does that translate back into the schedule that I was
26 relating to earlier?

27 So for example, information technology services. If
28 you go back to page 4 of the compendium, it says

1 \$80.4 million. However here, information technology
2 services, the amount is \$30 million.

3 MR. FROST-HUNT: You referenced page 4?

4 MS. GIRVAN: Um-hmm, yes.

5 MR. FROST-HUNT: The Inergi arrangement is only a
6 portion of the overall OM&A costs allocated to
7 distribution.

8 MS. GIRVAN: Okay. But if the Inergi arrangements
9 expire at the end of 2019, what are your plans?

10 MR. FROST-HUNT: We've recently extended our
11 arrangement with Inergi, such that it now expires in 2020.

12 MS. GIRVAN: Okay, and is that -- which element of the
13 contract?

14 MR. FROST-HUNT: Information technology.

15 MS. GIRVAN: What about the other back office
16 services?

17 MR. BERARDI: It really depends on each one. So if
18 you take a look at the Inergi contract, it's made up of, as
19 Mr. Frost-Hunt indicated, information technology. But
20 there's also some other components in there, for instance
21 settlements. There's also supply chain, there is payroll,
22 finance and accounting and customer service operations.

23 So depending on which statement of work we're talking
24 about, they have different -- we have a different process
25 for each one of those.

26 MS. GIRVAN: So there are different assumptions going
27 forward for each of those areas?

28 MR. FROST-HUNT: That's correct.

1 MS. GIRVAN: And it's not necessarily going to be
2 steady state going forward? You might enter into a
3 contract with another service provider at a lower cost; is
4 that correct?

5 MR. BERARDI: That is a possibility.

6 MS. GIRVAN: Is that something that you're looking to
7 do?

8 MR. BERARDI: We're assessing each one of our
9 statements of work in order to drive value both internally
10 and for our ratepayers. So, for instance, if you take a
11 look at supply chain, which I know, or source to pay -- it
12 is known as source to pay within the contract. We're
13 driving different changes because we today are different in
14 the way we actually procure services.

15 So we're asking our outsourcer to provide those value-
16 added services, so we are making significant changes in
17 that area. And Mr. Merali talked about some of the changes
18 he's making in the customer service operations as well.

19 MS. GIRVAN: Okay. So this \$39 million related to
20 customer service operations will be -- that's taken in-
21 house now?

22 MR. MERALI: That is correct.

23 MS. GIRVAN: Okay. And you mentioned, Mr. Berardi --
24 sorry, you mentioned the areas that you are responsible
25 for. Where in these lines are those -- do I find those? I
26 think you said supply chain?

27 MR. BERARDI: That's the accounts payable piece.

28 MS. GIRVAN: Okay. All right. Thank you. And --

1 MR. FROST-HUNT: Sorry, with regard to the Inergi
2 arrangement, I believe I said we extended to 2020. It is
3 actually March 2021, if I could correct my statement.
4 Thank you.

5 MS. GIRVAN: Okay, thank you. And are there different
6 fees with respect to that new arrangement other than those
7 that are set out here?

8 MR. FROST-HUNT: With regard to information
9 technology? We've made improvements to our arrangement,
10 such that we're able to lower our OM&A forecast going
11 forward.

12 MS. GIRVAN: But that's not included in your rate
13 plan?

14 MR. FROST-HUNT: It is reflected in SEC 70, the most
15 recent OM&A forecast.

16 MS. GIRVAN: Okay. So that -- the new arrangement
17 with Inergi is included in the cost of service?

18 MR. FROST-HUNT: That is correct.

19 MS. GIRVAN: Okay, great. Thank you.

20 So Mr. Merali, I just had a few questions on the
21 specific service charges, and we've talked about these
22 before, and I realize that you've been directed by the
23 Board to do a study, and we've talked about this before.
24 You've been directed by the Board to do a study, and you've
25 proposing new charges based on that study; is that correct?

26 MR. MERALI: That's correct.

27 MS. GIRVAN: Okay. And I think we'll talk about the
28 underlying cost associated with these services with the

1 next panel; is that correct? Is that...

2 MR. MERALI: Correct. Mr. Boldt will be able to
3 provide details on a time study that was completed.

4 MS. GIRVAN: Okay. So if you could just turn to some
5 of those service charges. I've set them out on pages 24,
6 25, throughout the compendium. And I think we had a
7 discussion about this in the technical conference, and you
8 can appreciate from the customer's perspective that we
9 might have concerns about the level of some of these
10 charges.

11 MR. MERALI: Yes, I can.

12 MS. GIRVAN: Okay. And I guess I would say
13 specifically with respect to low-income customers because,
14 for example, some of the fees go up extensively in 2018
15 relative to the currently-approved rate, correct?

16 MR. MERALI: Correct, the last time the rates were
17 reviewed to my knowledge was 2006, so there hasn't been an
18 adjustment made to these fees in 12 years, so some of the
19 changes are quite significant.

20 MS. GIRVAN: Okay. And I guess what I would ask is --
21 let me -- sorry. With respect to these charges will you
22 have an opportunity to implement payment plans for
23 customers with respect to these charges? I know you have
24 payment plans currently with respect to your overall bills,
25 and I guess my concern would be a customer might get a bill
26 for \$800 subject to one of these charges at a given point
27 in time.

28 And I'm just wondering what your plans are in terms of

1 mitigating the impacts of some of those charges?

2 MR. MERALI: Yes, we would allow a customer to put
3 these service charges into an installment plan, should they
4 choose to.

5 MS. GIRVAN: Will you let the customers know that?

6 MR. MERALI: We do disclose. I mean, I'd have to look
7 at the specific wording, but we do let customers know that
8 any outstanding charges can be put into an arrears
9 management plan.

10 MS. GIRVAN: Okay, all right, thank you.

11 And just quickly, were there some of these charges
12 that -- and maybe it is for the next panel -- that you are
13 compelled to implement because of the OEB?

14 MR. MERALI: My understanding is we're compelled to
15 implement all of them, so the OEB 2016 electricity
16 distributor's rate handbook outlined specific charges.
17 Hydro One's practice has been to charge for some of these
18 charges and not to charge for others. But subject to the
19 direction to undertake a time study and update all of the
20 information, we have learned that there are some charges
21 which historically we have not been charging for and we
22 are, to my knowledge, obligated to charge customers for
23 those amounts.

24 MS. GIRVAN: But the specific charges that you have
25 set out in your application are derived from your cost
26 study; they are not mandated by the Board.

27 MR. MERALI: My understanding -- and panel 6 are the
28 experts on this -- is that we are mandated to charge the

1 actual cost. So we undertake a time study, that's what the
2 numbers come out to be, and we are obligated to charge that
3 amount.

4 MS. GIRVAN: Okay, all right, thank you.

5 MS. ANDERSON: So just so there's heads-up for that
6 panel, I wasn't sure of the extent to which that will be
7 explored in the area, but I know I'd be interested in
8 finding the reference that Hydro One was relying on for the
9 belief that there's something that's mandatory here, so
10 when that panel comes up, if they can point to the specific
11 reference where the OEB has mandated the charges or
12 anything else related to them.

13 MR. MERALI: We'll make sure they have the heads-up.

14 MS. GIRVAN: That would be helpful, thanks.

15 MR. NETTLETON: I think they already have.

16 MS. GIRVAN: Okay. I just had a few questions with
17 respect to fleet management, and Mr. Ladanyi was talking
18 about this.

19 So the fleet management costs are found on page 32 of
20 the compendium. And I think, Mr. Berardi, you were the one
21 who said because of the telematics project that you expect
22 to find efficiencies; is that correct?

23 MR. BERARDI: That is correct. That can be found in
24 their productivity exhibits.

25 MS. GIRVAN: Okay. But I see in 2018 the fleet
26 management going up. And that's on page 32 of the
27 compendium.

28 MR. BERARDI: So the -- if you are referring to 2018;

1 is that correct?

2 MS. GIRVAN: Yes.

3 MR. BERARDI: So the \$144.7 million?

4 MS. GIRVAN: Yes.

5 MR. BERARDI: That was a forecast at March 31st. With
6 respect to, you know, going back to my earlier comment that
7 in 2017 we went through a fleet right-sizing utilizing our
8 telematics utilization information and we reduced our fleet
9 by 10 percent, so that number relates to the 8,000 pieces
10 of equipment. We do have a revised forecast, and I'd like
11 to submit that as an undertaking, if you would agree to
12 that.

13 MS. GIRVAN: Yes, you mean, you're asking to reduce
14 the cost of service to reflect the reduction? That would
15 be great.

16 MR. NETTLETON: I think that's the first time I've
17 heard the witness give the cross-examiner an undertaking.
18 Well done, Mr. Berardi.

19 MR. SIDLOFSKY: I'll jump all over that by giving that
20 number J9.3.

21 **UNDERTAKING NO. J9.3: TO SUBMIT THE REVISED FORECAST.**

22 MS. GIRVAN: And can you just roughly explain what the
23 difference might be?

24 MR. BERARDI: So getting back to some of the
25 discussions around productivity and some of the tools
26 we've --

27 MS. GIRVAN: Yeah, I guess I'm just looking for what's
28 the ballpark range?

1 MR. BERARDI: The ballpark range?

2 MS. GIRVAN: Of the reduction. Or should I just wait
3 for the undertaking?

4 MR. BERARDI: Let's wait for the undertaking. I don't
5 want to guess at the number.

6 MS. GIRVAN: Okay, great. Thank you.

7 Okay. If you could please turn to page 36 of the
8 compendium. So if you look at the part that's highlighted
9 there with the black mark -- sorry, at the top, yeah. So
10 it says here:

11 "The fleet is at 39 percent net book value to
12 original capital value where industry standards
13 established through a combination of Canadian
14 utility fleet manager workshops, direction from
15 our fleet management companies, and industry
16 experts suggest a 45 percent optimum level."

17 Can you explain that to me?

18 MR. BERARDI: I really don't know where this comment
19 came from. I can -- I can walk you through what we're
20 doing today with respect to our fleet. I'm not familiar
21 with that comment.

22 MS. GIRVAN: Okay. I guess I have a question. When
23 we were talking earlier in the proceeding and talking about
24 poles and how certain assets are subject to an inspection,
25 is that the way you deal with your fleet, in a sense? You
26 don't necessarily retire vehicles if they're not ready to
27 be retired. It is not necessarily based on the age of the
28 asset, it's based on really the condition of the asset; is

1 that right?

2 MR. BERARDI: Yes, it's based on an asset condition
3 assessment. It's based on wear and tear. It's based on
4 number of kilometres driven. It's based on utilization.
5 There's many factors that it's based on.

6 MS. GIRVAN: Okay. It says here that you've got this
7 replacement program, so acquisitions 2018 to '22. Did you
8 ever benchmark any of this in the sense of look at what
9 other utilities do, how long do they keep their vehicles,
10 how long -- what's the sort of annual acquisition rate?
11 Did you look at this any other utilities doing that?

12 MR. BERARDI: We did not.

13 MS. GIRVAN: Okay. I just want to go back to that
14 first point:

15 "Our present replacement criteria are based on
16 manufacturer's recommendations and repair
17 history."

18 So you are manufacturing away from that? Is that what
19 you're telling me?

20 MR. BERARDI: I think the manufacturer's
21 recommendation is just an input to the process. We do look
22 at individual units and base them on the condition that
23 they're in. So we do have regular maintenance and regular
24 asset condition assessments on each one of those pieces of
25 equipment.

26 MS. GIRVAN: Okay. So how is -- when we go down to
27 table 1 and you say 2018 you've -- you're going to replace
28 542 units at a cost of 29.1 million, how did you come up

1 with that?

2 MR. BERARDI: It's based on the asset condition
3 assessment that we have conducted with each one of our
4 fleet classes, and that's how we have come up with those
5 units.

6 MS. GIRVAN: Okay. But over the period, you're
7 increasing the number of acquisitions in each year?

8 MR. BERARDI: This is the acquisition piece. What
9 you're not seeing is the disposal. With those
10 acquisitions, we are also disposing at a very similar rate.
11 So our plan is to stay at the new 7,200 baseline that we've
12 established.

13 MS. GIRVAN: Okay, thank you. Could you please turn
14 to page 37? And this is about your helicopter policy. I'm
15 bringing this to your attention just because I was
16 approached by a customer and I work for a consumer group
17 who was concerned about your policy. And when I read
18 through the policy, and if you can turn to page 39, it
19 says:

20 "A manifest is not required for helicopter
21 flights in support of approved work programs for
22 the individual lines of business and responding
23 to an emergency."

24 And this particular customer was concerned that the
25 helicopter that was being used to service, I think it was
26 an island somewhere up north, the crew went out and were
27 working on the asset, and this helicopter left and came
28 back with someone's lunch.

1 So I just want to make sure that you have something in
2 place to ensure that there is an efficient use of the
3 helicopters. And what concerned me was that in the normal
4 approved work programs, there doesn't seem to be any
5 requirement for a manifest.

6 MR. BERARDI: This helicopter policy does not
7 represent what Hydro One does in accordance with Transport
8 Canada.

9 We are bound by Canadian aviation regulations and our
10 policies, our procedures, are based on Canadian aviation
11 regulations that we are certified to fly and maintain our
12 helicopter fleet as per Transport Canada.

13 MS. GIRVAN: I guess I was more concerned about the
14 efficient use of the helicopter.

15 MR. BERARDI: Can you clarify your question, please?

16 MS. GIRVAN: Earlier, I guess I was talking about how
17 the helicopter was used to go get lunches for the staff,
18 and I'm just wondering what you have in place to sort of
19 prevent that.

20 MR. BERARDI: I can't comment on that specific
21 example. I can tell you what we use our helicopters for
22 and they're in support -- my colleague, Brad Bowness, was
23 here to talk about work execution on the distribution
24 lines. Our helicopters are used for line patrols, for
25 material slinging, for moving crews throughout the
26 province. That's what our helicopters are used for.

27 MS. GIRVAN: How do you ensure productivity in the
28 context of the use of the helicopters?

1 MR. BERARDI: We do have helicopter rates that we --
2 and we also have utilization hours per helicopter and we
3 cost that out appropriately.

4 MS. GIRVAN: Thank you, I'll move on. Now, just in
5 the context of -- if you could please turn to page 41, I'm
6 just trying to ensure that in the current -- I guess it's
7 the update in Exhibit Q that you've taken into
8 consideration the Fair Hydro Plan in terms of the ultimate
9 bad debt expense. And I think on page 42 it says this, but
10 I just want to be sure that you've made an adjustment to
11 the bad debt expense to reflect the Fair Hydro Plan.

12 MR. MERALI: Correct. I believe as part of this
13 interrogatory response and Mr. D'Andrea, I believe,
14 mentioned it in the opening panel's remarks that we have
15 reduced our bad debt expense by approximately \$3 million as
16 it relates to the Fair Hydro Plan.

17 MS. GIRVAN: Because what it says in this
18 interrogatory is cash working capital impact and a
19 reduction to OM&A as a lower bad debt expense. Where do I
20 see the cash working capital, in fact?

21 The 2.9 million specifically relates to lower bad debt
22 expense, is that correct?

23 MR. MERALI: That is correct.

24 MS. GIRVAN: Okay. And that would come out of the
25 OM&A line?

26 MR. MERALI: Correct, and one point of clarification
27 or heads-up that my colleague, Mr. D'Andrea, will likely
28 mention is that associated with the Fair Hydro Plan, there

1 is reduction in bad debt expense. But there is also a
2 forecasted reduction to late payment charge revenue.

3 So as a result of customers, you know, approved
4 affordability and less amount outstanding, it reduces
5 working capital, it reduces bad debt expense, but it also
6 reduces late payment charges which is what our external
7 revenue uses to offset rates.

8 MS. GIRVAN: Okay. Could you please turn to page 46
9 -- actually 47, please. This is with respect to call
10 centre, which I understand is your responsibility. Have
11 you, in 2018, have you reduced the call centre operations
12 to reflect the introduction of the Fair Hydro Plan?

13 MR. MERALI: We have not reduced as a result of the
14 Fair Hydro Plan in 2018.

15 MS. GIRVAN: And why not?

16 MR. MERALI: I guess there's a variety of factors that
17 go into our context and our operations cost for 2018, and
18 I'll just sort of state them briefly. I can go into more
19 detail if you like.

20 The first two months of the year were run under the
21 original energy outsourcing contract, so the costs were
22 fixed costs associated with that outsourcing agreement.

23 We had some transition costs associated with bringing
24 the contact centre in-house. And our current run rate or
25 operating rate of the contact centre post in-sourcing, our
26 year-end forecast is in line with the \$44 million outlined
27 here.

28 MS. GIRVAN: So included in the 44 million are

1 transition costs related to bringing it in-house?

2 MR. MERALI: Our year-end forecast, inclusive of all
3 the costs incurred this year, is \$44 million.

4 MS. GIRVAN: Does that include transition costs?

5 MR. MERALI: That would include some transition.

6 MS. GIRVAN: Could you let me know, maybe through an
7 undertaking, what the level of transition costs are
8 included in that 44 million?

9 MR. MERALI: Sure.

10 MR. SIDLOFSKY: That will be J9.4.

11 **UNDERTAKING NO. J9.4: TO PROVIDE THE LEVEL OF**
12 **TRANSITION COSTS INCLUDED IN THE 44 MILLION TO BRING**
13 **THE CONTACT CENTRE IN-HOUSE**

14 MS. GIRVAN: I just have one more question. There was
15 reference earlier to the integrated system operation centre
16 and from what I understand, there's now been an increase to
17 the cost associated with that of about \$5 million. Is that
18 correct?

19 MR. IRVINE: There's -- in reference to the updated
20 ISD that was posted in February of 2018?

21 MS. GIRVAN: Yes.

22 MR. IRVINE: Total cost of project increased from a
23 total of 130 to \$138 million, of which 50.07 percent would
24 be attributed to distribution.

25 MS. GIRVAN: Okay. And what was the reason for the
26 cost?

27 MR. IRVINE: That was a result of what I spoke to
28 earlier in the detailed design process, where the costs

1 were refined to a more accurate figure after the detailed
2 design, engineering specs, drawings were all completed.

3 MS. GIRVAN: Thank you. Those are my questions.

4 MR. QUESNELLE: Thank you very much. Mr. Segel-Brown,
5 are you up next?

6 MR. SEGEL-BROWN: I am. How late do you intend to go
7 today?

8 MR. QUESNELLE: I was actually going to take a ten-
9 minute break and then we'll start with you, if that's all
10 right, and we'll go to -- well, we'll see if we can finish
11 off with you today. How's that?

12 --- Recess taken at 4:13 p.m.

13 --- On resuming at 4:27 p.m.

14 MR. QUESNELLE: Mr. Segel-Brown.

15 **CROSS-EXAMINATION BY MR. SEGEL-BROWN:**

16 MR. SEGEL-BROWN: Hello, my name is Ben Segel-Brown,
17 and I represent the Vulnerable Energy Consumers Coalition.

18 Could we turn to page 3 of my compendium.

19 MR. SIDLOFSKY: Just before we do, Mr. Quesnelle, you
20 and the other members should have a copy of Mr. Segel-
21 Brown's compendium, and we'll mark that as Exhibit K9.3.

22 MR. QUESNELLE: We have it. Thank you.

23 **EXHIBIT NO. K9.3: VECC CROSS-EXAMINATION COMPENDIUM**
24 **FOR HONI PANEL 6.**

25 MR. SEGEL-BROWN: So my first questions relate to the
26 retailer requested off-cycle read charge. So as I
27 understand it, this charge applies where a retailer
28 requests the enrolment or dropping of a customer at a time

1 other than the normally scheduled meter read; is that
2 correct?

3 MR. MERALI: That's correct.

4 MR. SEGEL-BROWN: And the charge does not apply if the
5 customer has a functioning smart meter.

6 MR. MERALI: Correct. If we can obtain their read
7 automatically via the AMI network, no charge is -- there is
8 no charge.

9 MR. SEGEL-BROWN: Does a charge apply in other
10 circumstances where Hydro One has to do an off-cycle meter
11 read, such as when a tenant pays their electricity bill on
12 move-out?

13 MR. MERALI: Subject to confirming through the
14 miscellaneous charge exhibit that we referenced earlier, I
15 don't believe so, but I can -- all the charges are outlined
16 in that table.

17 MR. SEGEL-BROWN: Okay. And it's your understanding,
18 subject to check, that there is no charge for an off-cycle
19 meter read in other circumstances?

20 MR. MERALI: I can check for you right now if you'd
21 like, sir. So there is charge code 15, special meter
22 reads. I mean, after a quick check I think charge code 15
23 might be the only one that could apply in that scenario.

24 MR. SEGEL-BROWN: Okay, so it's not the customer's
25 responsibility to ensure connectivity for their smart
26 meter, is it?

27 MR. MERALI: No, it is not.

28 MR. ENGELBERG: Why would we treat customers who

1 happen no not have connectivity for their smart meter
2 differently from customers who do have connectivity? How
3 is that a fair treatment between those customer classes --
4 groups?

5 MR. MERALI: So I think we've talked about this
6 subject in sort of different ways with respect to the
7 miscellaneous service charges. From a customer-service
8 standpoint if we don't -- are not obligated to charge
9 customers for all of these specific charges, I think that
10 is a more appropriate way to go in some circumstances, but
11 I think panel 6 will get into the specificity about our
12 understanding about what we're obligated to charge for and
13 what we are not obligated to charge for. Panel 7. Sorry,
14 I keep saying panel 6.

15 MR. SEGEL-BROWN: So that the answer I heard there is
16 that you believe that you are obligated to charge this fee
17 because there is associated cost to you?

18 MR. MERALI: Correct.

19 MR. SEGEL-BROWN: Okay. Could you turn to tab 3,
20 which is page 7 of the PDF. So this is the charge related
21 to move-in at a vacant premise. Can you confirm it is
22 currently not your practice to charge for a reconnection at
23 time of move-in?

24 MR. MERALI: Correct.

25 MR. SEGEL-BROWN: And can you confirm that going
26 forward it is your practice at time of disconnection to
27 install a meter with remote disconnect and reconnect
28 functionality?

1 MR. MERALI: Not in all cases. In select cases.

2 MR. SEGEL-BROWN: In what circumstances is a meter
3 with remote disconnect functionality installed?

4 MR. MERALI: So there's a number of factors that go
5 into the ultimate decision-making process. First is meter
6 availability. We only have roughly 5- to 10,000 remote
7 disconnect meters available. The second and one of the key
8 drivers is with respect to the communications reliability
9 of that specific meter, so as we've discussed, some meters
10 have better communication capabilities than others, and if
11 the meter communication isn't rock-solid, we would not
12 install a remote disconnect-capable meter at that premise.

13 MR. SEGEL-BROWN: Okay, if a customer moves into a
14 premise with a remote disconnect and reconnect meter, does
15 this charge apply?

16 MR. MERALI: We are not currently charging for this
17 charge, so right now the answer would be no.

18 MR. SEGEL-BROWN: Well, currently you are not charging
19 for any reconnection, but in the future where you have
20 remote reconnection capability, would you be charging for
21 reconnection when it's done remotely rather than with a
22 truck row?

23 MR. MERALI: Subject to check, I believe the answer is
24 no.

25 MR. SEGEL-BROWN: You would not be charging where it
26 could be done remotely?

27 MR. MERALI: Correct.

28 MR. SEGEL-BROWN: Why should the new customer be

1 charged for reconnection when the disconnection is not
2 attributable to that new customer?

3 MR. MERALI: This goes back to my earlier comment
4 about clarity on what we are obligated to charge customers
5 for and not obligated, which specific service charges.

6 MR. SEGEL-BROWN: Okay. What is the primary reasons
7 why customers fail to pay their hydro bills?

8 MR. MERALI: The primary reason why -- is there a
9 reference, or I'm just -- can you maybe provide some
10 additional clarity so I can provide an adequate response?

11 MR. SEGEL-BROWN: For example, do customers primarily
12 refuse to pay because they are unable to pay or because
13 they dispute a charge or because they're unwilling to pay?
14 Have you done any analysis to understand why customers are
15 not paying their hydro bills for -- which feeds into your
16 bad debt expense?

17 MR. MERALI: So there's a number of factors that
18 underlie bad debt expense, so there's things such as
19 bankruptcies, so businesses frequently go out of business
20 or file for bankruptcy protection, and that would cause us
21 to incur a bad debt expense.

22 There are also customers who get disconnected for non-
23 pay, which I would say is, you know -- would likely be an
24 affordability issue, who do not ultimately pay their bill.

25 And broadly speaking, a third category would be
26 customers who move out and fail to pay their final bill
27 upon move-out.

28 MR. SEGEL-BROWN: So I gather -- I'm concerned with

1 residential customers primarily. So I gather from that
2 that the primary causes for residential customers are non-
3 payment, which is usually attributable to affordability or
4 failing to pay the last bill upon move-out.

5 MR. MERALI: Those would be the primary drivers.
6 There are other smaller drivers, such as a deceased
7 individual and lack of clarity around the estate, but those
8 would be the primary drivers.

9 MR. SEGEL-BROWN: For customers who are unable to
10 afford their hydro bills, do you believe that they would be
11 able to afford to pay their outstanding bill, the
12 disconnection charge, and the reconnection charge where
13 that reconnection charge seems to be in the order of over
14 \$800 alone?

15 MR. MERALI: So to clarify the \$800, that is only an
16 after-hours reconnection charge, so that would apply if a
17 customer, let's say, were disconnected and contacted us on
18 a Saturday and insisted or would like to be reconnected on
19 that Saturday or an off day. I believe the standard
20 reconnection charge is 160 -- 165 or 185. I can just try
21 and find it here. But it's not \$800.

22 MR. SEGEL-BROWN: Ah, okay. Yes, I copied the wrong
23 chart there.

24 Still, the same question stands, where the customer is
25 going to have their outstanding bills, the disconnection
26 charge, I'm not sure what the magnitude of that was, and
27 then there is a \$185 reconnection charge.

28 Do you think that residential customers are likely to

1 be able to afford to pay those charges?

2 MR. MERALI: It certainly does not help with
3 affordability.

4 MR. SEGEL-BROWN: If those costs are incurred by Hydro
5 One but not recovered because the customer never
6 reconnects, who bears those costs?

7 MR. MERALI: It would ultimately go into bad debt
8 expense, which would be borne by all ratepayers.

9 MR. SEGEL-BROWN: What efforts has Hydro One made to
10 ensure that customers in arrears are aware of programs
11 which may be available to support them, like Ontario Energy
12 Support Plan, LEAP, Affordability Fund, and so on?

13 MR. MERALI: We've done a number of items in that
14 regard actually, and a number of items are on the
15 evidentiary record, but I'll cite a few here.

16 We have really modified and enhanced our overall
17 collections program to provide significantly more outreach
18 to customers, more notifications, letters, calls, to inform
19 and educate them about the various programs and services
20 able to assist. That would be sort of one of the primary
21 mechanisms through which we educate customers.

22 We've also undertaken to give our contacts and our
23 staff specialized training in collections, providing advice
24 to customers, helping to negotiate affordable payment
25 plans. So both through our written correspondence with
26 customers, our automated phone correspondence, our website,
27 a variety of channels we use to educate and inform our
28 customers.

1 MR. SEGEL-BROWN: I'm glad to hear that you're doing
2 all of that. I wasn't aware of it. Has Hydro One
3 considered alternative approaches which would engage social
4 assistance in helping customers to ensure they pay what
5 they can, even if that may not be...

6 MR. MERALI: So we do work with social service
7 agencies. We have social service agency team within the
8 contact centre, and we have a network of social service
9 agencies that we work with on a regular basis around the
10 province. The -- we call them SSA, social service
11 agencies. They are a key component in helping to enrol
12 customers in our LEAP program, Low-income Emergency (sic)
13 Assistance Program.

14 So we have a -- I'd say a good relationship with our
15 social service agencies to try and find suitable solutions
16 for customers who are struggling with affordability.

17 MR. SEGEL-BROWN: Thank you. So if we could turn to
18 tab 7, which is page 22, in this interrogatory, Board Staff
19 state that there are approximately 150,000 meters that
20 require manual readings. Can you confirm that number is
21 correct?

22 MR. MERALI: If you can give me a moment, I can see if
23 I have -- I believe it's in the 110,000 range at this time.

24 MR. SEGEL-BROWN: And what portion of Hydro One's
25 meters does that represent, approximately?

26 MR. MERALI: Roughly 1.3 million customers, so 7 or
27 8 percent, off the top of my head.

28 MR. SEGEL-BROWN: Has this number changed

1 significantly since the last Board cost-of-service
2 proceeding?

3 MR. MERALI: The number overall has come down over
4 time. I believe Hydro One has made applications to the
5 Board for an exemption from time of use rates for certain
6 customers with non communicating meters.

7 But the number has slowly come down slowly over the
8 years, although I don't have the historical data with me.

9 MR. SEGEL-BROWN: Could you undertake to provide the
10 historical number of meters that still require manual
11 readings?

12 MR. MERALI: Yes.

13 MR. SIDLOFSKY: That will be J9.5.

14 **UNDERTAKING NO. J9.5: TO PROVIDE THE HISTORICAL**
15 **NUMBER OF METERS THAT STILL REQUIRE MANUAL READINGS**

16 MR. SEGEL-BROWN: I believe it was mentioned earlier
17 that these meters are the most remote meters. Would I be
18 correct to assume that the cost associated with doing
19 manual reads is therefore high?

20 MR. MERALI: That would be correct. Remote and also
21 topography plays into it a little bit. So there are
22 occasions where it may not be remote. However, topography,
23 a hill, foliage, the meter location on the premise -- so
24 there's a variety of factors, but remoteness is the primary
25 one.

26 MR. SEGEL-BROWN: Is there anywhere on the record
27 where you've stated the cost associated with those manual
28 meter reads?

1 MR. MERALI: I believe in our customer care OM&A
2 exhibit, we do outline the cost for meter reading. I think
3 that's C1, tab 1, schedule 5.

4 MR. SEGEL-BROWN: Do the areas which cannot be read
5 remotely still have smart meters, or...

6 MR. MERALI: Yes, the vast majority have smart meters.
7 They just can't communicate.

8 MR. SEGEL-BROWN: What portion of those customers have
9 unreliable mobile coverage as opposed to no mobile
10 coverage?

11 MR. MERALI: So if there is unreliable mobile
12 coverage, we will -- and we have the network equipment to
13 support collecting the reads, we will attempt to get the
14 read automatically. And only if we are unable to get the
15 read automatically is when we would schedule that meter to
16 be read manually.

17 MR. SEGEL-BROWN: Hydro One's responses on this point
18 gave the impression that meters have to communicate at or
19 near the time of measurement. Did I understand that
20 correctly? So a meter cannot communicate a measurement at
21 a subsequent point in time?

22 MR. MERALI: So there's a billing window for
23 customers, a period of time, a number of days through which
24 a customer's bill is ultimately produced and we seek to
25 receive an actual meter read during that -- what we call
26 the bill window, so that we can bill the customer based on
27 their actual usage, which is also part of the requirement
28 for the Ontario Energy Board's billing accuracy targets.

1 So we attempt to receive an actual meter read in the
2 window.

3 MR. SEGEL-BROWN: Okay. What portion of customers
4 with smart meters have wired telecommunication services?

5 MR. MERALI: Sorry, could you clarify?

6 MR. SEGEL-BROWN: Like do they have home internet
7 or...

8 MR. MERALI: I would not have that information
9 available.

10 MR. SEGEL-BROWN: Has Hydro One does any analysis of
11 considering using alternative means of communicating for
12 meters which transmit through wired connections or through
13 femtocells?

14 MR. NETTLETON: Mr. Chairman, I thought the previous
15 question was answered to say that Hydro One has not done
16 that work, or has that information. So I'm not sure how we
17 can follow up.

18 MR. SEGEL-BROWN: I took the answer to mean that he
19 does not know whether the customers who have non
20 communicating smart meters have functioning wireline
21 telecommunication services.

22 I didn't hear an answer regarding whether they have
23 done an analysis of alternative means of communications for
24 those smart meters.

25 MR. MERALI: I believe our asset management team has
26 done analysis on a number of different technologies and
27 mechanisms through which to receive the automated readings.
28 However, I'm not a subject matter expert in that area.

1 MR. SEGEL-BROWN: Would you be able to -- I think it
2 is a little too late in the process to request that.

3 Regarding the advance metering initiative upgrades to
4 leverage expanding mobile networks, what portion of the
5 additional 26,436 smart meters that will be connected would
6 have been connected even without Hydro One undertaking
7 additional investments?

8 MR. MERALI: Would you mind pointing me to that
9 reference?

10 MR. SEGEL-BROWN: It's at page 38 of my compendium, I
11 believe -- no, sorry. It's -- I'm afraid I'm going to have
12 to go back to the original source document.

13 It is from the description comparable to this one for
14 the program which is intended to take advantage of
15 expanding mobile networks to connect additional smart
16 meters, but I can find the particular reference from
17 Exhibit B2, if that would be helpful.

18 MR. MERALI: I mean, I can speak a little bit in
19 generalities. But if cellular communication becomes
20 available we would need to install what we call collectors
21 and repeaters in the region for us to create a -- what we
22 refer to as a mesh network, so that the reads could
23 ultimately get back to a point where they could be
24 communicated via cellular to our head-end system.

25 MR. SEGEL-BROWN: So my question was some smart meters
26 will be reached by the expansion of the carriers' networks
27 alone and some additional customers will be reached by you
28 making additional investments in repeaters and collectors.

1 It wasn't possible for me to determine from the description
2 of the investment how many extra customers are being
3 connected as a result of Hydro One's investments.

4 Perhaps the best way to address the one is if I could
5 have an undertaking for you to see if you have that figure
6 regarding how many -- or -- because the figure that's
7 provided with the investment description is a forecast of
8 the total number of additional customers who will be
9 connected; it doesn't distinguish between those who will be
10 connected regardless and those who will be connected as a
11 result of the investment.

12 MR. MERALI: Sorry, just thinking it through, I mean,
13 expanded coverage on its own does not allow -- cellular
14 coverage on its own does not allow a meter to communicate.
15 You need our infrastructure in there as well, so they go
16 hand in hand.

17 MR. SEGEL-BROWN: So your meters don't communicate
18 directly with a mobile network.

19 MR. MERALI: So the vast majority of our meters
20 communicate over what's called a -- what we define as a
21 mesh network. And basically it's, meters can talk to other
22 meters and sort of hop down the road, so to speak, and then
23 ultimately there is a repeater that can aggregate a number
24 of reads, and then it will go to a collector, and the
25 collector will ultimately communicate with the cellular
26 network to do what we call back-haul and take all of the
27 reading information and download it into our head-end
28 systems, so you need the cellular network as well as some

1 of our devices in order to create that environment where
2 the reads can get back to our system.

3 MR. SEGEL-BROWN: Okay. Can we turn to page 35 of my
4 compendium. So this relates to the advance metering
5 initiative hardware refresh. I want to ask you about the
6 second point, which states that:

7 "Hydro One Distribution has acquired non-standard
8 meter installations due to a boundary change or
9 due to the outright acquisition of local
10 distribution companies."

11 My question is, are Hydro One customers bearing the
12 cost of standardizing meters for customers of the acquired
13 utilities under this program?

14 MR. MERALI: I'm not the expert in this area, but I do
15 know that the three acquisitions that we've completed, that
16 they relied on different meter manufacturers, so Hydro One
17 uses primarily Trilliant, and the acquired utilities run on
18 Elster and Sensus technology, and Hydro One has continued
19 to operate those systems and read those customers on those
20 acquired -- from the acquired utilities using those legacy
21 systems.

22 MR. SEGEL-BROWN: This -- the description of this
23 investment, however, suggests that Hydro One will be
24 upgrading those meters to standard Hydro One meters at the
25 acquired utilities.

26 Can you confirm whether or not that is going to occur?

27 MR. MERALI: Unfortunately --

28 MR. NETTLETON: Mr. Segel-Brown, I'm only interrupting

1 because the -- again, this IR was prepared by Ms. Garzouzi.
2 She was on the other panel. She explained the time period
3 of this investment, and I would have thought that if you
4 had questions about whether Hydro One acquired distribution
5 LDCs, meters were going to be replaced, she would have been
6 the right person, and the timing of those replacements, she
7 would have been the right person given this interrogatory,
8 so I'm struggling to see how Mr. Merali can provide
9 information about the timing of asset replacements.

10 MR. SEGEL-BROWN: My understanding is that my
11 questions regarding metering were referred from that panel
12 to this panel.

13 MR. NETTLETON: On asset replacement?

14 MR. SEGEL-BROWN: On metering, I mean.

15 MR. QUESNELLE: I realize it is under the heading of
16 asset replacement, Mr. Nettleton, but you can see why there
17 may be a cross-over of understanding if it's being driven
18 by customer request, if it's being driven by customer care,
19 you know, drivers, as opposed to an asset management --

20 MR. SEGEL-BROWN: If this panel would prefer to answer
21 by way of undertaking, consulting with the relevant person,
22 I'd be happy to accept that.

23 MR. MERALI: Can you clarify the specific question so
24 we can make sure we capture it?

25 MR. SEGEL-BROWN: The specific question is whether --
26 first, whether Hydro One will be replacing the meters at
27 the acquired local distribution companies; and, second,
28 whether Hydro One customers will be bearing those costs.

1 MR. MERALI: Okay.

2 MR. SIDLOFSKY: That will be J9.6.

3 **UNDERTAKING NO. J9.6: TO ADVISE, FIRST, WHETHER HYDRO**
4 **ONE WILL BE REPLACING THE METERS AT THE ACQUIRED LOCAL**
5 **DISTRIBUTION COMPANIES ;AND, SECOND, WHETHER HYDRO ONE**
6 **CUSTOMERS WILL BE BEARING THOSE COSTS.**

7 MR. SEGEL-BROWN: Is this panel able to speak to the
8 other aspects of this interrogatory regarding the
9 replacement of smart meters?

10 MR. MERALI: I don't believe if there's details. I'm
11 sort of reading the rest of the response here, and I'm not
12 in a position to speak to these items.

13 MR. SEGEL-BROWN: Okay. When a customer receives a
14 bill, what is the billing date? When does the clock start?

15 MR. MERALI: Subject to check, I believe we produce a
16 bill, and then we allow three days for postage, and that
17 would be the sort of Day 1, if you'd call it that, or Day
18 Zero, and then payment terms extend beyond that.

19 MR. SEGEL-BROWN: So how long from the time the
20 customer receives the bill, which is three days after you
21 posted it, you told me, do they have to make a payment
22 without penalty?

23 MR. MERALI: It's approximately 21 days.

24 MR. SEGEL-BROWN: How long do they have until they
25 receive a late payment notice?

26 MR. MERALI: A late payment notice being like a letter
27 or some kind of documentation indicating that they are
28 behind on their bill?

1 MR. SEGEL-BROWN: Yeah, I mean, if you turn to page 29
2 you can see the actual steps that Hydro One goes through if
3 it is easy to refer to those.

4 MR. MERALI: So I guess two different mechanisms for
5 customers to get a response. So the first is we've
6 deployed automated technology to provide customers who
7 enroll a notification if their -- prior to their payment
8 being due and then an e-mail notification if their payment
9 is past due, so customers would -- who enroll for that
10 service -- and so far we have approximately 150,000
11 customers are enrolled in that service -- would receive
12 notification within days of missing their payment.

13 With respect to receiving notification in the mail, it
14 depends on a customer's sort of history with us, but the
15 first letters go out approximately ten days after a
16 customer would miss a payment.

17 MR. SEGEL-BROWN: Okay, so how long after the time of
18 the -- that mail notification is the disconnection notice
19 sent?

20 MR. MERALI: I'd have to get you the specific timings,
21 but there is a period of time elapsed between the various
22 notifications and then ultimately the disconnection notice.

23 MR. SEGEL-BROWN: Okay, could you do that then? Could
24 you provide me with the timelines for this process?

25 MR. MERALI: Sure. Now, it does vary by customer
26 class, but --

27 MR. SEGEL-BROWN: Well, I'm interested in residential
28 customers if you want to narrow it down.

1 MR. MERALI: Sure.

2 MR. SEGEL-BROWN: Undertaking?

3 MR. SIDLOFSKY: J9.7.

4 **UNDERTAKING NO. J9.7: TO PROVIDE THE TIMELINES FOR**
5 **NOTIFICATIONS TO RESIDENTIAL CUSTOMERS, AND ULTIMATELY**
6 **THE DISCONNECTION NOTICE.**

7 MR. SEGEL-BROWN: Once a customer has received a
8 disconnection notice, if they pay their bill immediately is
9 there any charge which is applied at that point?

10 MR. MERALI: Other than late payment charges which
11 should apply, no.

12 MR. SEGEL-BROWN: Okay. Could we turn to tab 10,
13 which is page --

14 MR. QUESNELLE: 34.

15 MR. SEGEL-BROWN: Hmm. It's a different tab 10. I'll
16 skip that question, then.

17 I know that you are not the person to speak to
18 regarding the actual time study, but could you explain to
19 me why the rate amount for direct labour clerical is
20 identified as \$80 an hour before the payroll burden?

21 MR. MERALI: Unfortunately, that would be a question
22 for my colleague Mr. Boldt, on panel 7.

23 MR. SEGEL-BROWN: All right. Those are all my
24 questions. Thank you very much.

25 MR. QUESNELLE: Thank you, Mr. Segel-Brown. I think
26 it's five to 5:00. I think we will adjourn for the day and
27 we'll start again tomorrow morning at nine o'clock.

28 --- Whereupon the hearing adjourned at 4:58 p.m.