

NO LONGER CONFIDENTIAL:
PURSUANT TO PO NO. 2 IN EB-
2016-0152, September 26,
2016

UNREDACTED
CONFIDENTIAL



ONTARIO ENERGY BOARD

FILE NO.: EB-2013-0321

VOLUME:	15	UNREDACTED - CONFIDENTIAL
DATE:	July 17, 2014	
BEFORE:	Marika Hare	Presiding Member
	Christine Long	Member
	Allison Duff	Member

THE ONTARIO ENERGY BOARD

IN THE MATTER OF the *Ontario Energy Board Act*,
1998, S.O. 1998, c. 15, Sched. B;

AND IN THE MATTER OF an application by Ontario
Power Generation Inc. pursuant to section 78.1
of the Ontario Energy Board Act, 1998 for an
order or orders determining payment amounts for
the output of certain of its generating
facilities.

Hearing held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Thursday, July 17th, 2014,
commencing at 9:39 a.m.

VOLUME 15

BEFORE:

MARIKA HARE	Presiding Member
CHRISTINE LONG	Member
ALLISON DUFF	Member

A P P E A R A N C E S

MICHAEL MILLAR	Board Counsel
VIOLET BINETTE	Board Staff
RICHARD BATTISTA	
CHARLES KEIZER	Ontario Power Generation (OPG)
COLIN ANDERSON	
CARLTON MATHIAS	
EMMA BLANCHARD	Canadian Manufacturers & Exporters (CME)
JULIE GIRVAN	Consumers' Council of Canada
DAVID MacINTOSH	Energy Probe Research Foundation
KENT ELSON	Environmental Defence
DAVID POCH	Green Energy Coalition (GEC)
PIPPA FEINSTEIN	Lake Ontario Waterkeeper
RICHARD STEPHENSON	Power Workers' Union
ALFREDO BERTOLOTTI	
JAY SHEPHERD	School Energy Coalition

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:39 a.m.	1
Preliminary Matters	1
ONTARIO POWER GENERATION - PANEL 8, resumed	4
G. Rose, D. Reiner, E. Gould, J. Reed, Previously Affirmed	
Cross-Examination by Mr. Stephenson	4
--- In camera session commenced at 10:05 a.m.	16
Questions by the Board	22
Cross-Examination by Mr. Poch	24
--- On resuming public session at 10:22 a.m.	27
--- Recess taken at 10:55 a.m.	47
--- On resuming at 11:20 a.m.	47
Procedural Matters	47
Continued Cross-Examination by Mr. Poch	48
--- Luncheon recess taken at 12:27 p.m.	87
--- On resuming at 1:40 p.m.	87
Cross-Examination by Ms. Blanchard	88
Cross-Examination by Mr. Millar	119
--- Recess taken at 2:53 p.m.	133
--- On resuming at 3:23 p.m.	133
Cross-Examination by Mr. Shepherd	171
--- Whereupon the hearing adjourned at 4:30 p.m.	178

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT NO. K15.1: GEC CROSS-EXAMINATION COMPENDIUM FOR PANEL 8.	27
EXHIBIT NO. K15.2: BOARD STAFF CROSS- EXAMINATION COMPENDIUM FOR PANEL 8.	119

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. J15.1: TO PROVIDE INFORMATION RE: WHERE THE UNIT 2 COSTS ARE BROKEN OUT SEPARATE FROM THE OVERALL PROJECT AND TO PROVIDE THE EQUIVALENT OF THE 10 BILLION FOR UNIT 2 ONLY.	85
UNDERTAKING NO. J15.2: TO PROVIDE CURRENT DARLINGTON REFURBISHMENT PROJECT COST RANGE AT P50 AND P99	115
UNDERTAKING NO. J15.3: TO ADVISE WHETHER A FINDING OF PRUDENCE IS BEING SOUGHT FOR MATTERS THAT ARE NOT ACTUALLY CLOSING TO RATE BASE.	143
UNDERTAKING NO. JX15.4: TO PROVIDE THE BASE SNC-AECON CONTRACT AND KEY SCHEDULES.	173

1 Thursday, July 17, 2014

2 --- On commencing at 9:39 a.m.

3 MS. HARE: Please be seated. Are there any preliminary
4 matters?

5 MR. KEIZER: None from OPG.

6 **PRELIMINARY MATTERS:**

7 MS. GIRVAN: Madam Chair?

8 MS. HARE: Yes, Ms. Girvan.

9 MS. GIRVAN: I'm just -- I am here on behalf of a
10 group of intervenors today, just --

11 MS. HARE: Who is the group?

12 MS. GIRVAN: I am going to tell you -- and I would ask
13 you if I could use acronyms, if that's okay -- it's AMPCO,
14 CME, LPMA, VECC, SEC, and CCC.

15 And we just want to express a concern with the August
16 15th proposed date for argument. I will just set out a few
17 things for you. Given this is a very long and complicated
18 case with lots of evidence, many of us also have ongoing
19 proceedings that have been sort of layered at the same time
20 in June, July, and August; namely, the Hydro One
21 distribution case, which is moving to a technical
22 conference next week, subsequently an ADR the following
23 week. We also have Horizon that is ongoing. Not everyone,
24 but many of us.

25 We also -- I am not sure if the Board is aware of
26 this, but Hydro One and stakeholders have initiated a
27 settlement process for Hydro One transmission, which is
28 going to take place over the next month.

1 And I know there might be not a lot of sympathy for
2 this, but some people have booked holidays assuming that
3 the hearing would be finished by the end of July.

4 So all of those things together, we were going to
5 propose that Board Staff file on the 22nd and that
6 intervenors file on the 29th, and --

7 MS. HARE: I'm sorry. Ms. Girvan, so you're saying
8 Board Staff goes first on the 22nd?

9 MS. GIRVAN: Yes.

10 MS. HARE: Hmm-hmm.

11 MS. GIRVAN: And intervenors would follow a week after
12 that. And I can say certainly from my perspective, we
13 value looking at Board Staff's submissions ahead of time,
14 and I find that if it's a couple of days it's really not
15 all that useful, but a week ahead does -- is useful, to the
16 extent that parties may want to consider what Board Staff
17 has said and may want to adopt their submissions.

18 The other thing that intervenors typically do is --
19 which takes a bit more time -- is we share drafts with each
20 other, and if we had a bit more time, that would enable us
21 to do that.

22 It is useful in the sense that some of us, again, can
23 adopt the positions of other parties, consider them,
24 comment on them, make sure that we're coordinated to some
25 extent, and we think that is probably useful to the Board.

26 So we are proposing those dates for your
27 consideration, and as I said, that's why I'm here today.

28 MS. HARE: Thank you.

1 Mr. Keizer, do you have comments?

2 MR. KEIZER: Just a very few. OPG's view is that the
3 argument schedule as currently prescribed is a reasonable
4 one, and we should -- as you had proposed dates yesterday,
5 that we should stay with those dates, given the length of
6 the proceeding and particularly the timing since the
7 application was originally filed.

8 So we -- in our view, the current schedule as proposed
9 is the one we should go with, given the fact that we want
10 to be able to move forward and the company wants to move
11 forward.

12 MS. HARE: Okay. Thank you.

13 MS. GIRVAN: Could I just make one more comment?

14 MS. HARE: Of course.

15 MS. GIRVAN: If the Board doesn't -- isn't sort of --

16 MS. HARE: Persuaded?

17 MS. GIRVAN: -- isn't persuaded by my comments today,
18 we would still like the ability to have Board Staff file
19 before us, and because, again, as I said, I think many of
20 us find that useful, especially in a case that is this
21 complicated. We've got some very complicated issues that
22 Board Staff has been significantly involved in, so...

23 MS. HARE: Okay. Thank you, Ms. Girvan. So we're
24 going to take this into consideration during one of the
25 couple breaks that we have today --

26 MR. MILLAR: Madam Chair, if I may.

27 MS. HARE: Yes, Mr. Millar.

28 MR. MILLAR: I just wanted to add, I don't think Staff

1 has any problem with going first, but we can't file before
2 the 15th, realistically.

3 MS. HARE: I don't think there was any suggestion of
4 that. We were going to say the 14th.

5 [Laughter]

6 MS. GIRVAN: Thank you very much.

7 MS. HARE: Thank you.

8 So Mr. Poch, are you ready for cross-examination?

9 MR. POCH: I think we're back to the original order,
10 Mr. Stephenson.

11 MS. HARE: I'm sorry. I'm sorry. I'm sorry, Mr.
12 Stephenson, you're first. Yes?

13 **ONTARIO POWER GENERATION - PANEL 8, resumed**

14 **Gary Rose, Previously Affirmed**

15 **Dietmar Reiner, Previously Affirmed**

16 **Eric Gould, Previously Affirmed**

17 **John Reed, Previously Affirmed**

18 **CROSS-EXAMINATION BY MR. STEPHENSON:**

19 MR. STEPHENSON: Good morning, yes, thank you. And I
20 anticipate I am going to be quite brief.

21 Good morning, panel. My name is Richard Stephenson.
22 I am counsel for the Power Workers' Union.

23 Mr. Gould and Mr. Reiner, I think this is mostly for
24 the two of you, I anticipate. The focus of my questions
25 this morning is are going to be on the Modus reports and
26 not the specifics or details of any of those reports. I
27 suspect you're not going to have to look at any of them,
28 for what it's worth. I am talking more at a concept level

1 here.

2 As I understand it from the technical conference,
3 Modus was engaged pursuant to an RFP process for this
4 engagement. Am I correct about that?

5 MR. GOULD: Yes, sir.

6 MR. STEPHENSON: And -- is your mic on? Or it may not
7 be pointed at you.

8 MR. GOULD: Yes, sir.

9 MR. STEPHENSON: Okay. And as I understand it, that
10 RFP was issued sometime in the summer of 2012.

11 MR. GOULD: To the best of my recollection, yes.

12 MR. STEPHENSON: Okay. And Mr. Reiner, I think this
13 is more for you. Presumably OPG made the decision to go
14 down this path to engage somebody like Modus some material
15 time prior to the RFP actually being issued.

16 MR. REINER: Yes, that's correct.

17 MR. STEPHENSON: And can you assist us at all when OPG
18 made, maybe not the final decision, but turn its mind to
19 and decided that this would be an appropriate step to take,
20 to retain somebody like Modus?

21 MR. REINER: So that thinking was part of our overall
22 assurance model for the project. We began putting the
23 elements of that assurance model in place shortly after the
24 approval to proceed into definition phase for the project
25 occurred, which was 2010 kind of time frame.

26 That's where we began to look at, what is the best way
27 to structure the organization to ensure the right controls
28 are in place, how do we provide the right assurance through

1 internal audit, through nuclear oversight, and how do we
2 put into place elements that give our board an opportunity
3 to see, independently from the project, how things are
4 actually performing, and that's where the elements of that
5 began to come together.

6 MR. STEPHENSON: So is it fair to describe this as the
7 -- these consultants are one of the tools that OPG decided
8 it was a good idea to employ as a part of the overall
9 management of this project?

10 MR. REINER: Yes, that's correct. It was completely
11 an OPG decision to implement that as part of our project
12 management tool set.

13 MR. STEPHENSON: And specifically, given the timing of
14 all this, that decision wasn't taken in response to any
15 particular on-the-ground issue where there was a perceived
16 problem or issue. This was done in anticipation of the
17 overall project.

18 MR. REINER: Yes. That's correct. It was done
19 consistent with how the project organization began to grow
20 and evolve as the project progressed into definition phase.

21 MR. STEPHENSON: And is it fair to say, sir, that when
22 you -- certainly by the time you had engaged Modus and
23 their partners in this process -- and likely well before --
24 you fully anticipated that whomever it was that you
25 ultimately retained would likely identify some issues where
26 there were concerns and problems or improvements with
27 various aspects of the project?

28 MR. REINER: Yes. And just so I can make the point

1 clear, Modus were not brought into the project to
2 essentially say that everything is going well and trust
3 what the project management team is doing. That wouldn't -
4 - that sort of an approach wouldn't lend itself to a proper
5 assurance model.

6 The intent was to bring in expertise that has project
7 management experience, large project management experience,
8 has the capability to dive into specific subject areas, and
9 do an independent assessment to see: Are there any gaps in
10 the way things are being managed? Are there issues that
11 project management hasn't yet seen that they need to
12 address?

13 Part and parcel of that, certainly, they do also look
14 at the practices that are being employed and do identify,
15 you know, that there are practices here that are good and
16 they need to continue.

17 But most certainly the intent was to strengthen the
18 project management overall, and in doing so, it was part of
19 our sort of overall kind of self-assessment approach in --
20 look for opportunities to learn, close gaps, take
21 corrective actions and measures and improve the overall
22 project.

23 MR. STEPHENSON: And is it fair to say that it was
24 always the intention that part of their function would be
25 to challenge management? In --

26 MR. REINER: Yes.

27 MR. STEPHENSON: -- the sense that: You should be
28 doing this, or you should be doing that, or you should be

1 doing this better?

2 It was always intended that that was part of their
3 function?

4 MR. REINER: That was intended. So the way this is
5 structured, it isn't -- it isn't sort of work that's done
6 independent and then just reports up to the nuclear
7 oversight committee. It is intended to challenge
8 management. And I can give you some examples.

9 There are findings periodically that come up, and one
10 of them in one of the earlier reports talked about the
11 scheduling approach for the project, where there was a
12 significant amount challenged. As a matter of fact, we set
13 up several meetings with the Modus team and the project
14 management team to just walk through scheduling, what the
15 experience was that Modus has seen, what their concerns
16 were. We walked through the details and it was really a
17 challenge meeting, and in the end we landed in a spot that
18 Modus believed was the right place, we believed as project
19 management was the right place, and we made some
20 improvements to our scheduling process as a result.

21 MR. STEPHENSON: And to the extent that -- again,
22 whether this was going to be Modus or anybody else, you
23 were expecting to get critiques; correct?

24 MR. REINER: That's correct.

25 MR. STEPHENSON: And you also understood that you may
26 or may not accept those critiques? You may challenge back
27 the criticisms or critiques, and at the end of the day your
28 views may prevail or their views may prevail or some other

1 ground may prevail; fair?

2 MR. REINER: That is -- that's correct. That is
3 always -- so the role of Modus is not to direct management
4 in terms of what should be done; it is to identify issues.

5 Every recommendation, and even some of the key
6 findings, are logged by the project management team. We
7 record how the items have been dispositioned. And you will
8 see in that log that there are some items where the
9 management team has indicated: No, we don't actually
10 believe there is a gap here, and the approach is the
11 correct approach.

12 But we do, as part of that, ensure that Modus
13 understand why we're thinking that and what is driving us
14 in that direction.

15 MR. STEPHENSON: Turning to you for a moment, Mr.
16 Gould, you've done similar -- I don't like using the word
17 "similar" -- you have done other big projects, complicated
18 projects before?

19 MR. GOULD: Yes, I have. Several.

20 MR. STEPHENSON: And you have performed a similar
21 function on those projects as you were performing on this
22 project; fair?

23 MR. GOULD: Yes. Absolutely.

24 MR. STEPHENSON: And I take it it's been your
25 experience that with big complicated projects, it's going
26 to be a very rare thing, indeed, that you don't find
27 something that you can make some constructive criticism
28 about?

1 MR. GOULD: Well, I think what is important is to
2 define why we're here. We're here to look at the project,
3 to help the project in identifying, as Mr. Reiner said,
4 gaps, and identifying with our experience and with our team
5 those gaps so that these issues can be corrected before
6 they materialize. That's the ultimate goal.

7 And as part of that, we inform management and the
8 nuclear oversight committee of the board, primarily, of
9 those risks and those gaps. We raise red flags, as I call
10 them, to try and give management an opportunity to correct
11 any potential problems before they become costly, to either
12 cost or schedule the project.

13 MR. STEPHENSON: But I guess my point really is this.
14 It's not been your experience that you show up on projects
15 like this and you find yourself wanting of anything
16 constructive to say, that you say: Wow, this is --
17 everything here is absolutely perfect and I can't think of
18 anything I would do to improve it.

19 That hasn't been your experience?

20 MR. GOULD: It is not my experience, and it is not the
21 industry's experience of megaprojects.

22 Projects of the nature of the Darlington refurbishment
23 are filled with the potential for risks all the time. It's
24 a question of characterizing those risks, it is a question
25 of getting out in front of them, attempting to mitigate
26 them when possible, and attempting to ameliorate the
27 impacts. But it is part and parcel of the work.

28 MR. STEPHENSON: And to be fair, I mean, the value you

1 add to these projects is by doing the kinds of things that
2 we see reflected in your series of reports. That's your --
3 that is your value; isn't that fair? I mean, there's maybe
4 more than that, in the sense of what you do on a day-to-day
5 basis, but this is a significant part of the value you are
6 intended to provide and do provide?

7 MR. GOULD: Well, I will let others judge our value,
8 but we believe that it is very important that these issues,
9 the issues that we identify, are called out in a clear and
10 concise manner so that the board understands the risks and
11 so that management understands the risks that we see
12 through the prism of the experience that we have in the
13 industry.

14 MR. STEPHENSON: Now, obviously in your reports you
15 very clearly indicate a variety of issues that you've
16 identified. The campus plan ones in particular are a
17 category of them.

18 And needless to say, at the commencement of your
19 engagement, you obviously had no idea what issues might pop
20 up, but I take it you were not surprised that -- number
21 one, that there were issues. I think we have already
22 covered that. But even that the nature of these issues is
23 not -- was within -- could have been within the realm of
24 your reasonable expectation of the kinds of issues you
25 might encounter?

26 MR. GOULD: So the first thing -- maybe the best way
27 to approach that is the first thing that we did after
28 coming on board a year ago February, February 2013, we

1 engaged in a deep look at all of what was ongoing at the
2 time, all the processes that were being developed, all of
3 the work that was being developed, the progression of the
4 estimates, the progression of the schedules for the work,
5 the actual work that was in place.

6 And we attempted to boil that down to or a report that
7 we prepared in August of 2013, which was our first report
8 to the nuclear oversight committee and to management, that
9 really, as we said, snapped the truck line. It identified
10 sort of where the project was, from our view, as of August
11 of last year.

12 And since then -- so all of our reports have been a
13 progression based on that baseline assessment, to see how
14 the project is progressing against that.

15 So we expected -- we come with the expectation that we
16 will find what we find. What I would say to that is there
17 is no textbook that you can go to that tells you how to
18 manage a megaproject like the Darlington refurbishment.

19 MR. STEPHENSON: Right.

20 MR. GOULD: There are a lot of different authorities
21 that will give you guidance, but there is no one way to do
22 this. And so the -- we look at the way that the project is
23 being developed and we compare that to our experience.

24 And that's what we've done here.

25 MR. STEPHENSON: Back to you, Mr. Reiner, for a
26 moment. Leaving aside the fact that Mr. Gould is sitting
27 directly beside you.

28 [Laughter]

1 You know, needless to say, you know, I'm sure that,
2 you know, at least some of the aspects of the various
3 reports that Mr. Gould has provided weren't exactly the
4 most fun reading for you.

5 But is it fair to say that what we see reflected in
6 those reports is Mr. Gould performing the precise task you
7 would hope that he would perform?

8 MR. REINER: Yes, it is. You know, something that
9 maybe folks in general aren't familiar with. It -- you
10 know, as part of a good program it is important to be self-
11 critical and have the ability to have others assess what
12 you're doing so that you can make improvements.

13 It is particularly important in the nuclear industry,
14 because without that, you know, there is a risk that
15 complacency may set in, you're not turning over all the
16 stones to see exactly what is happening in all areas of the
17 business.

18 So this type of approach that we're using with the
19 external oversight, it is not foreign to the industry. It
20 is used elsewhere, and Nuclear Safety Review Board would be
21 a good example, where the operations side of the business
22 does exactly the same sort of thing.

23 And the intent is, really, to have people look with a
24 very critical eye at the way you're doing your job, the way
25 you are performing your business, to identify opportunities
26 to take steps that can improve the outcomes.

27 And so it is not, you know, it's not a surprise. It's
28 expected. It is part of a good -- it's part of a good

1 corrective-action program.

2 MR. STEPHENSON: What do you say about this, sir. No
3 doubt some people may say that -- you know, they look at
4 these reports and say, Aha, here's evidence that OPG's
5 management of this program has been weak or wanting in some
6 fashion.

7 And there are others that are going to say, Well, no,
8 actually, it's, you know, the reports and the fact that
9 we've got somebody doing them and the fact that we're
10 dealing with them is a sign of strength of the management
11 of the project.

12 I mean, what do you say about, you know, those
13 competing views?

14 MR. REINER: I would agree that the fact that we are
15 doing this is a sign of strength on how the project is
16 managed, but also the way that management responds to the
17 findings that are identified would be the other part of
18 this, that I would say, you know, it's not just a gap has
19 been identified and, ah, there's a problem.

20 It is really all about, yeah, there's a problem or a
21 potential issue. What is management doing to address that
22 issue, and what processes, what responses, what corrective
23 actions, you know, whatever the case may be. I think you
24 need to look at that in totality, and then that would lead
25 you to the place where you could say, you know what? The
26 right things are being done and things are being looked at
27 the right way and the right actions are being taken.

28 MR. STEPHENSON: Mr. Reed, I am just going to turn to

1 you for a moment. I am not sure whether this falls in your
2 bailiwick or it doesn't, and maybe you will tell me.

3 You're familiar, obviously, with the Modus reports. I
4 heard that you have reviewed them. And were you aware back
5 when you were doing your reports -- and if it's in there I
6 may have missed it, and I apologize -- that OPG was, in
7 fact, going to be engaging somebody like Modus to be
8 performing the function that Modus is in fact performing?

9 MR. REED: Yes. And we, in fact, received the Modus 1
10 report before our five reports were issued.

11 MR. STEPHENSON: Okay. And speaking on the subject of
12 a prudent contracting strategy, do you have any comment as
13 to the wisdom or prudence or whatever of OPG engaging
14 somebody like Modus to perform a Modus-like function over a
15 project like this where you've got contractors performing
16 the lion's share of the work?

17 MR. REED: Yes. I have offered opinions in other
18 jurisdictions that the role of internal and external
19 oversight is quite important in a project this large and
20 that, in fact, the challenging nature of the organization
21 and self-critical self-assessment processes needs to be
22 incorporated, and that external oversight is an important
23 part of that.

24 I view the role that Modus provides, as well as the
25 role that we provide, as being part of that external
26 oversight process, and it's what we like to see
27 incorporated into any mega-project management team.

28 MR. STEPHENSON: Thank you very much, panel. Those

1 are my questions, thank you.

2 MS. HARE: Thank you, Mr. Stephenson.

3 So I think that takes us to Mr. Poch on behalf of
4 Green Energy Coalition.

5 MR. POCH: Thank you, Madam Chair. You will be aware
6 that we've been -- I have been working with OPG to try to
7 get an answer to JT3.17, which looks at --

8 MS. HARE: Yes.

9 MR. POCH: -- how overruns would flow through under
10 the contracts, and they last night were able to provide me
11 with more or less a spreadsheet that addresses that, which
12 is quite helpful, but it is quite complicated.

13 I had a chance to speak to OPG this morning and Board
14 Staff, and we think it might expedite things if we went
15 into camera briefly so that OPG could take us through that
16 document and I could ask a few questions about it, and then
17 we could come back out of camera --

18 MS. HARE: Okay. Thank you. So is this the only
19 document that will be in camera?

20 MR. POCH: I believe so, yes.

21 MS. HARE: Okay. So let's start with that.

22 MR. MILLAR: So Madam Chair, we will ask everyone who
23 has not signed the undertaking or works for OPG or Board
24 Staff to leave the room.

25 MS. HARE: Thank you.

26 --- In camera session commenced at 10:05 a.m.

27 MS. HARE: So is this good?

28 MR. KEIZER: Madam Chair, Mr. Poch and I also spoke

1 this morning early, and one of the things that we thought
2 would be helpful to you is, at the outset, before Mr. Poch
3 commenced his cross, is if Mr. Rose, who I think probably
4 has the most knowledge about this chart, but I am sure Mr.
5 Reiner does too -- but if Mr. Rose could just, I guess, in
6 terms of helping you to understand it, just speak about the
7 mechanics of how these pieces of the chart fit together,
8 just purely mechanically, so that then Mr. Poch has the
9 context in which he can cross, and it may be helpful for
10 you as well, in terms of understanding where things are
11 going.

12 MS. HARE: So if I understood what you're saying, you
13 are asking Mr. Rose to explain the second page of this
14 undertaking response; is that correct?

15 MR. KEIZER: Well --

16 MS. HARE: The table?

17 MR. KEIZER: -- I think we all have a --

18 MS. HARE: No, no, no, no. Sorry, there is something
19 else that we just are getting.

20 MR. KEIZER: Yeah, you are just getting it now, sorry.
21 I thought you had it in front of you, but there's a --

22 MS. HARE: Sorry.

23 MR. KEIZER: -- fairly large spreadsheet.

24 MS. HARE: Okay. This gets an exhibit number, please?
25 No?

26 MR. KEIZER: This is the answer to Undertaking 3.17.

27 MR. POCH: Madam Chair, I think that the large sheet
28 is just a blow-up of page 2 of the undertaking response.

1 It just doesn't have the yellow highlighting. It is just
2 in grey instead of yellow.

3 MS. HARE: Okay. Because somebody thought we can't
4 see.

5 [Laughter]

6 MR. POCH: Certainly applicable in my case.

7 MS. HARE: Okay. Thank you.

8 MR. KEIZER: I can see this, but I don't know if I can
9 understand it, but -- which is probably one reason why we
10 need Mr. Rose to help us walk through, so --

11 MS. HARE: Okay. So please proceed, Mr. Keizer.

12 MR. KEIZER: So Mr. Rose, if you could just explain
13 the mechanics of how the portions of this chart fits
14 together in terms of the edification for the Panel and
15 everyone else in the room as to how it works, so that it
16 would help facilitate Mr. Poch in his cross.

17 MR. ROSE: Certainly. What we've done is we have
18 taken the re-tube and feeder replacement contractual terms,
19 we have applied it into a model here for purposes --

20 MS. HARE: I'm sorry, is your mic on?

21 MR. ROSE: My mic is on.

22 MS. HARE: It seems rather faint.

23 MR. ROSE: I'll try to lean in a little bit into it.

24 MS. HARE: Thank you.

25 MR. ROSE: We took the re-tube and feeder replacement
26 contract for purposes of developing a model to explain how
27 the target price contracting strategy works.

28 The top part of the page lays out some of the

1 assumptions that we applied in this model. So we assumed a
2 execution-phase target cost of \$1.8 billion, and an
3 execution phase fixed fee, which is set at 30 percent per
4 the contract, at \$540 million. The fixed fee is based on
5 the profit and overheads for the contract.

6 We have touched on the limits that are in the
7 contract. There is a schedule disincentive of \$250,000 per
8 day. So for every day that the contractor exceeds the
9 target price, they are penalized \$250,000.

10 We have a maximum cost disincentive, which is 48
11 percent of the fixed fee, so 48 percent times the
12 \$540 million fixed fee, as reported above.

13 And we have an overall maximum disincentive of 80
14 percent, which would include the schedule disincentive as
15 well.

16 So going down to part A, part A calculates the cost
17 disincentive portion, plus also includes some information
18 on lost profit and overheads that the contractor would bear
19 if they exceeded the target price.

20 So in the table, the boxed table, we have actually
21 listed to the left the actual cost greater than target, a
22 range. So you will see a set of ranges; for example,
23 25 million to 50 million dollars. In that example, where
24 the cost is 25 to 50 million dollars above the target
25 price, 25 percent of the disincentive is applied. So 25
26 percent times 25 million, as an example, would translate to
27 a disincentive of 6.25 million. And you see that
28 progressively builds up to greater than 250 million.

1 So in the case, in the scenario that we applied -- I
2 will just go on the 25 percent scenario, but it applies
3 across the table, that in the 25 percent cost overrun
4 scenario, the cost overrun is actually \$450 million -- 25
5 percent of the 1.8 billion -- which would result in a cost
6 disincentive of \$181,250,000 cost disincentive.

7 So when I go down further down the page it says:
8 "Amount of fixed --" that should say "Amount of fixed fee
9 at risk for cost."

10 259 million is 48 percent of the 540 that is
11 available. The 181 million that is calculated above is
12 less than the 259. So the reason why I did that is that
13 the cap, the cost cap is capped at \$259 million. In this
14 case, it is less than the 259, so the entire cost
15 disincentive for the calculation above in the 25 percent
16 cost scenario would apply.

17 That translates to a percentage of cost overrun
18 recovered from the contractor in this case at 40 percent.
19 So at a 25 percent cost overrun, OPG would recover 48
20 percent of the fixed fee that is eligible to the contractor
21 in a \$1.8 billion contract, \$1.8 billion target price.

22 Now, going down further, I have also got a sub-heading
23 in bold: "Contractor costs not reimbursed by OPG beyond
24 the target price."

25 Our fixed fee accounts for profit and overheads that
26 the contractor would bear for delivering against our target
27 price.

28 For every dollar that they spend beyond our target

1 price, they're not eligible to recover fixed fee -- the
2 fixed fee's profit or overhead.

3 So in this case, assume the same 30 percent. There is
4 an additional \$135 million of incremental work represented
5 by the \$450 million that profit or overheads are not
6 eligible to be paid to the contractor.

7 So in essence, they're -- what I would refer to as
8 their cost exposure is 316 million. The amount that we
9 deducted from their fixed fee of 181 million, plus the
10 \$135 million of lost profit and overhead on their amounts
11 beyond the target price.

12 Now, obviously, the contractual terms, the fixed fee
13 recovery ends at the 181. The message here is that -- it's
14 just there is a motivation when they go beyond the target
15 price, they are not getting any further profit or overhead
16 irrespective of what that amount would be. They are
17 getting none of it.

18 That's part A.

19 Part B is the schedule disincentive, very
20 straightforward to calculate. For every day that the
21 contractor goes beyond the target schedule -- every tube
22 and feeder replacement contractor in this case -- which
23 represents 60 percent of our critical path, for every day
24 that they go long they're penalized \$250,000.

25 So if they were six-month delayed, they would be
26 penalized 45-and-a-half million dollars in addition to the
27 cost disincentives reported above.

28 The conclusion says the total exposure to the

1 contractor is equal to their cost incentives in part A,
2 plus any lost profit or overheads that they would incur for
3 going beyond the target price, plus any schedule
4 disincentives for going long on the schedule, plus any
5 rework or warranty costs that are at their cost.

6 So in our contract, there's terms of rework and
7 warranty that OPG would not pay for.

8 MS. HARE: We have some questions.

9 **QUESTIONS BY THE BOARD:**

10 MS. LONG: Mr. Rose, could you explain the note up in
11 the "Scenario" section? What does that mean when you say
12 that incentives and disincentives are all subject to final
13 negotiations? You have just taken us through the
14 incentives.

15 MR. ROSE: Yes.

16 MS. LONG: Are you saying they haven't been agreed to
17 by the contractor?

18 MR. ROSE: We have a contract with the re-tube and
19 feeder replacement contractor that requires us to negotiate
20 a -- the final target price.

21 The percentage fixed fee is already negotiated and in
22 the contract, dependent on the target price that will be
23 applied. So the fixed fee will be adjusted based on the
24 band that the target price falls in.

25 The terms that I reported here are per the contract,
26 just that the target price has not been negotiated yet.
27 that is a part of this phase of the program.

28 MR. KEIZER: And that's because --

1 MR. ROSE: Or the schedule, sorry, for that matter, as
2 well.

3 MR. KEIZER: -- as I understand it, the current
4 contract relates to the definition phase, and the target
5 price relates to the execution phase, which is yet to have
6 occurred.

7 MS. LONG: I understand that the final price hasn't
8 been determined and therefore the 30 percent number would
9 not be determined, but when I see here that incentives and
10 disincentives are subject to final negotiation, I just want
11 to make sure -- has your contractor agreed to how part A
12 and part B will be determined? They might not have agreed
13 to the numbers per se, but they have agreed to the formula
14 that you are going to use?

15 MR. REINER: Yes. The contractor has agreed to the
16 formula, and this is written into the contract.

17 So as Mr. Rose said, the thing that hasn't been
18 negotiated yet is what is the actual price and what is the
19 schedule. And that is to be determined as we work to
20 release-quality estimate, but the terms and conditions that
21 were used to extract these formulas, they have been agreed
22 to by the contractor.

23 MS. LONG: Okay. Thank you.

24 MS. DUFF: I have one question. During the project,
25 once you have established the -- what was the term you
26 used? That is yet to be determined for the actual price in
27 the schedule? The --

28 MR. ROSE: Target price and target schedule.

1 MS. DUFF: The release, yes. Subsequent to this, two
2 years down the road, can that target price change based on
3 negotiations with the contractor again? So unforeseen
4 event occurs and then you agree mutually to change that
5 target price? That could still happen?

6 MR. REINER: That can happen. There are provisions
7 that allow for a discussion that an unforeseen scope of
8 work comes along that we want that contractor to execute.

9 We would go through a contract change order process
10 and put that work into the contract, if that is what we
11 decided to do. And then the target price would get
12 adjusted, based, again, on a discussion with the contractor
13 on what it would cost to execute that piece of work.

14 And it would get embedded into this process.

15 MS. DUFF: Thank you.

16 MS. HARE: Thank you.

17 So, Mr. Poch, ready to cross-examine?

18 **CROSS-EXAMINATION BY MR. POCH:**

19 MR. POCH: Thank you. Thank you for that walk-
20 through, Mr. Rose. Just a few questions on this and then I
21 think we can go back on the record, back on the public
22 record.

23 First of all, this is with respect to the R&FR tranche
24 of work. This same structure is the structure, and in fact
25 the same -- the terms are the same for the other components
26 where you are using target price mechanism?

27 MR. ROSE: Generally speaking, yes. The only
28 difference I would tell you is that the schedule

1 disincentive doesn't apply to many of our other contracts
2 because they aren't on the critical path of the project.

3 MR. POCH: Okay. And this is all pertaining to the
4 portion of the breakouts we have seen in other exhibits
5 where you break it out by contractor, component, OPG
6 management component, contingency, and so on. This is just
7 the contractor component.

8 MR. ROSE: That is correct. It is for the single line
9 related to where it says "target price". It obviously
10 excludes the fixed-price components that we have negotiated
11 with the contractor.

12 MR. POCH: Right. And it includes the significant
13 tranche that is OPG's management and engineering and so on
14 in-house?

15 MR. REINER: Yes. OPG's costs would essentially be
16 time and material. So there is no --

17 MR. POCH: Right, understood. And obviously you eat
18 100 percent of that if there is any overage on that.

19 MR. REINER: Right.

20 MR. POCH: Okay. Now, the bottom, roughly a third of
21 this page which -- following the bold line, "contractor
22 costs not reimbursed by OPG", I just want to make sure I
23 understand it.

24 This is what -- you are treating this as lost profit
25 and overhead, but this would be profit and overhead that
26 would be made if you were going to pay profit and overhead
27 on the cost overrun, and that therefore is foregone. Is
28 that what you're saying?

1 MR. ROSE: In essence, yes. If you -- another way of
2 looking at this, if you were in a pure time and material
3 contract, you would likely pay this amount.

4 MR. POCH: If -- this is kind of, I am going to call
5 this fantasy profits. You don't have to use those words,
6 but just to distinguish. There's no -- the contractor
7 doesn't have an expectation of making these profits right
8 now. The contract doesn't include this extra work.

9 MR. ROSE: I think the contractor would have an
10 expectation of making profit for all of the work that they
11 perform. I think what really we're alluding to here is
12 that beyond the target price we wouldn't be paying them for
13 profit, and I think that signals quite a motivation for
14 them to ensure that they are able to deliver within the
15 target price.

16 MR. POCH: Okay. All I'm saying is these values you
17 have included here, it is not like you're clawing these
18 values back.

19 MR. ROSE: No. As I said in the explanation, that we
20 only claw back the amount, the 100 -- in the 25 percent
21 cost overrun scenario, the \$181 million. The message that
22 I was getting across is that for every dollar beyond the
23 target price there is no profit or overhead being paid to
24 the contractor.

25 MR. POCH: Sure, okay. Thank you. I think I
26 understand this. Thank you, Madam Chair.

27 MS. HARE: Thank you. We can now go on air? Yes?

28 MR. POCH: Yes.

1 --- On resuming public session at 10:22 a.m.

2 MS. HARE: We are resuming the cross-examination by
3 Mr. Poch on behalf of the Green Energy Coalition.

4 MR. POCH: Thank you, Madam Chair. Perhaps we could
5 start by giving an exhibit number to the GEC cross-
6 examination materials.

7 MS. HARE: Oh, I'm sorry. Are people coming back that
8 left?

9 MR. POCH: Oh, yes, we can give it a minute.

10 MR. MILLAR: While we're waiting, Madam Chair, we can
11 mark the materials as an exhibit. It is K15.1.

12 **EXHIBIT NO. K15.1: GEC CROSS-EXAMINATION COMPENDIUM**
13 **FOR PANEL 8.**

14 MR. POCH: I think we are back, Madam Chair.

15 Gentlemen, let's start with this contracting strategy
16 question. Let's first of all be clear. For the -- you
17 will have to help me again. RFR is short for...?

18 MR. REINER: Re-tube and feeder replacement.

19 MR. POCH: For the re-tube and feeder replacement,
20 which is the largest tranche of the work, you don't have a
21 final contract yet, you don't have a target price yet,
22 because your engineering is not done.

23 MR. REINER: That's correct. We have the contract,
24 the terms and conditions have been agreed to, but the
25 target price and the target schedule have not yet been
26 determined.

27 MR. POCH: What flexibility do you have to change the
28 architecture of that contract?

1 MR. REINER: Well, the contracts do have off-ramps
2 built into them. They have -- it can be quite extreme. We
3 have termination for convenience clauses that could allow
4 us to abandon the entire contract, and there are mechanisms
5 that would allow, through contract amendments, to make
6 changes, if needed.

7 MR. POCH: So there is still flexibility there if you
8 wanted to change some of these terms?

9 MR. REINER: There is flexibility, yes.

10 MR. POCH: Okay. Now, in the technical conference you
11 confirmed that the campus projects, which we have heard of
12 -- gone over your original estimates -- in the main
13 utilized the cost reimbursable target price contracting
14 approach similar to the mechanism we were just discussing
15 in camera for the re-tube and feeder replacement.

16 MR. REINER: Yes. It is a similar type of approach
17 that provides incentives and disincentives. There are some
18 differences, in that the incentives and disincentives are
19 applied across a pool of project work that that contractor
20 would execute.

21 MR. POCH: Sure. And in that case, I take it the cost
22 overruns -- and you have already indicated in the technical
23 conference -- the cost overruns that have been experienced
24 are all being absorbed by OPG due to the nature of the cost
25 overruns in that instance?

26 MR. REINER: They aren't all being absorbed by OPG.

27 MR. POCH: I'm sorry about that.

28 MR. REINER: But a large part of the cost overruns are

1 related to scope of work, so increased scope of work, and
2 those are being absorbed by OPG. There are some -- there
3 are some cost overruns that are related to time taken to
4 get engineering work completed, for example, that was done
5 under a fixed-price basis, and so that would not be
6 absorbed by OPG.

7 MR. POCH: I think you referred to those in the
8 technical conference, and I believe it is not confidential,
9 the component we're talking about? I am not talking about
10 the amount, just the work component. I am looking to you
11 to confirm it is not confidential. It was with respect
12 to --

13 MR. REINER: Yes, I don't believe it is confidential.

14 MR. POCH: That was with respect to, I think, sewer
15 and --

16 MR. REINER: That was with respect to the water and
17 sewer project, and there are some small elements of that
18 also in the auxiliary heating system project and the tool
19 storage project.

20 MR. POCH: But in the main the cost overrun is being
21 caused by OPG in the campus -- the cost overruns we have
22 seen to date.

23 MR. REINER: The largest portion of the cost overrun
24 is due to the fact that estimates were produced before the
25 projects got a sufficient way down the path of
26 understanding the scope of work and getting engineering
27 completed in order to be able to price what it will cost to
28 construct. That was the contributor to the -- that was the

1 largest contributor to the cost overrun.

2 MR. POCH: Okay. I just want to clarify, Mr. Gould or
3 Mr. Reiner, it was not Modus's task to evaluate whether OPG
4 is getting the right price, either on the campus projects
5 or on the refurbishment project as a whole. Correct?

6 MR. GOULD: Could I ask you what you mean by "the
7 right" --

8 MR. POCH: You're not -- you're not --

9 MR. GOULD: Could I ask you what you mean by "the
10 right price"?

11 MR. POCH: You are not vouching for the 10 billion,
12 for example, or the --

13 MR. GOULD: No.

14 MR. POCH: -- or the point estimate?

15 MR. GOULD: No.

16 MR. REINER: No. That is -- maybe I will answer that
17 as well just so it is on the record from OPG. No, we're
18 not looking to Modus to identify that 10 billion is the
19 right price for the scope of work that will be executed.

20 However, we do anticipate as we get towards a release
21 quality estimate that we would do an independent validation
22 of the work that got us to the ultimate point estimate,
23 just to do an independent assessment to ensure that our
24 methodology was sound and that the estimating was sound.

25 MR. POCH: Sorry, that is a process you are going to
26 go through in the future?

27 MR. REINER: That is a process that we will go
28 through, yes.

1 MR. POCH: And, you know, Modus did, in one of its --
2 in its March 4th report, look at -- address the issue of
3 conformance with the Long Term Energy Plan seven
4 principles, or six, I guess.

5 And in your report you identify a number of ways that
6 OPG has addressed those principles, and you identify a
7 number of potential gaps, and you offer observations and
8 recommendations. Much of that is confidential, so I am not
9 going to go into that with you now.

10 I just have a question. Did you evaluate the cost
11 premium that would be paid if OPG were to move from a
12 target pricing to a fixed or guaranteed maximum pricing
13 approach? Assuming that was done at the appropriate stage
14 of engineering.

15 MR. GOULD: We did not evaluate the -- from a
16 standpoint, looking at a pure cost-to-cost analysis. We
17 did not do it that way.

18 What we say here, relative to the guaranteed maximum
19 price, is in our experience what we have seen is
20 contractors, once they complete a certain level of project
21 definition, may be inclined to agree to that type of
22 provision. However, it usually comes at a cost, as all
23 contract provisions and all guarantees would come at a
24 cost.

25 MR. POCH: All right. And you haven't evaluated what
26 that cost would be?

27 MR. GOULD: We have not done a side-by-side comparison
28 or evaluated what -- how much more the contract conceivably

1 could cost. I don't think that is something that,
2 reasonably, anybody could truly do.

3 MR. POCH: No, I understand.

4 MR. GOULD: You'd have to get the contractor involved
5 in that type of discussion.

6 MR. POCH: Fair enough.

7 Now, Concentric, Mr. Reed, your review used the
8 regulatory prudence standard as its guiding standard.
9 Obviously you were retained before the Long Term Energy
10 Plan aspects came into play; is that fair?

11 MR. REED: That's true, yes.

12 MR. POCH: All right. And that regulatory prudence
13 standard, in your view, would require a project proponent
14 to -- a prudent project proponent to balance risk
15 containment and cost containment in some fashion?

16 MR. REED: Yes.

17 MR. POCH: Now, you did earlier draw a distinction
18 between prudent behaviour on the part of the proponent as
19 opposed to prudent cost, and you're saying prudent standard
20 is about prudent behaviour?

21 MR. REED: That's correct. It does not make a
22 decision or a judgment based upon outcome; it does based
23 upon decisions that led to that outcome.

24 MR. POCH: Right. But would you agree that outcome --
25 that is if you had a significant cost change, for example -
26 - that may be an indicator of whether the behaviour was
27 prudent?

28 MR. REED: Outcomes are frequently used as a

1 guidepost, if you will in terms of where you look and
2 conducting a prudence review. But it is just that, it is
3 just an indicator as to where you ought to look further.

4 MR. POCH: Okay. Minimizing risk, as opposed to
5 balancing risk and costs in the ordinary course, would not
6 be the equivalence of the prudence standard?

7 MR. REED: I can accept that, if you take a very
8 strict approach to minimization of risk.

9 I mean, reducing it to virtually nothing, if you, say,
10 were to say reasonably minimize risk, I would say that is
11 the same as the prudence standard.

12 MR. POCH: Mr. Reiner, we have seen a history of
13 significant cost overruns on nuclear projects in Ontario,
14 and indeed on the recent hydroelectric project at Niagara.

15 Would you agree that it is in light of that history
16 that the government chose to explicitly list its principles
17 for the cost risk containment in the nuclear refurbishment
18 process when it issued the Long Term Energy Plan?

19 MR. REINER: I can't say whether it is a direct result
20 of that. I think it is probably just a sensible thing to
21 do for the government, to look for ways to minimize risks
22 to the ratepayers.

23 MR. POCH: You'd agree this is a somewhat
24 unprecedented situation, where the government has put out
25 a, you know, four-colour glossy policy announcement where
26 it explicitly lists these principles? You haven't worked
27 under that situation before?

28 MR. REINER: Well, those principles are part of the

1 Long Term Energy Plan.

2 MR. POCH: Yes.

3 MR. REINER: And, I mean, the -- you know, the Long-
4 Term -- this is, I guess, the first formal update to the
5 Long Term Energy Plan that was first issued many years ago.
6 So to me, I think, you know, it is -- the government, in
7 its strategy on how it is going to meet electricity needs,
8 has the prerogative to set forth the principles under which
9 it is going to do that.

10 MR. POCH: Of course. It didn't do that in the prior
11 Long Term Energy Plan directives. It -- this is new this
12 time?

13 MR. REINER: Well, in -- you know, I would conclude,
14 given that there's a significant amount of investment
15 that's being -- that's being proposed through the Long Term
16 Energy Plan, there's probably a level of detail here that
17 the government needed to get to in terms of outlining the
18 principles under which that will get done, that would have
19 introduced it in this update to the plan.

20 MR. POCH: Would you agree what the government is
21 directing here is to say to you, in your contracting
22 strategy and in your management of this project: Buy us
23 some insurance against significant cost overrun?

24 MR. REINER: I would put it a little differently. I
25 don't think we are being asked to buy insurance against the
26 cost overrun.

27 What we're being asked to do is minimize commercial
28 risk. Buying insurance is actually a commercial risk,

1 because you pay for that. A commercial risk translates to
2 there's a value for money element that is embedded here.

3 So what this principle doesn't say -- at least my
4 interpretation and our interpretation -- this principle
5 does not say: Minimize or eliminate cost overruns at all
6 cost.

7 What this principle says is: Minimize the commercial
8 risk to the ratepayer.

9 We believe that our contracting strategy does exactly
10 that, because we're dealing with work that is being
11 executed inside an operating power plant. It is being
12 executed in conditions where a contractor is faced with
13 unknown conditions, unforeseen conditions, where the
14 expertise on how to deal with those conditions lies with
15 OPG.

16 The contractor is being asked to work in an operating
17 facility. It isn't a greenfield project like a new build;
18 it is an operating power plant that has interferences that
19 run through the work that the contractor is doing.

20 And so there are -- the operating power plant
21 considerations weigh in. And when you look at -- if you
22 were to step back to see: Is there even an opportunity to
23 shift all of that risk to a contractor? I think we went
24 through some of that yesterday. And our contracting
25 strategies go through that. We attempted to strive for a
26 partnership model in the re-tube and feeder replacement
27 contract, in a partnership model where we would say we'll
28 do some sort of a sharing of that risk. And that wasn't

1 attainable.

2 And so a large part of the management of this
3 inevitably comes back to OPG. And so, really, this
4 becomes, you know, execute the right strategy that
5 minimizes the commercial risk that the ratepayer is exposed
6 to. And that means when challenges and issues arise that
7 have the potential outcome of causing a cost increase, that
8 those are managed effectively to avoid that cost increase.

9 And an insurance premium wouldn't do that. It would
10 pay for that upfront.

11 MR. POCH: I was using the term loosely. I was saying
12 the government is saying: Where you can in your contract
13 structure, pay a premium to your contractors to transfer
14 risk to them. And I understand you can't --

15 MR. REINER: Yes, and we have --

16 MR. POCH: You can't do that in all cases.

17 MR. REINER: You can't do that in all cases, but we
18 have done it in many cases.

19 So the tooling portion of the re-tube and feeder
20 contract is on a fixed-price basis. There is steam
21 generator work that's being done; that is on a fixed-price
22 basis. There are materials being purchased for the turbine
23 generator; the costs of those materials have been pre-
24 established.

25 So there are significant portions that are fixed-
26 price.

27 MR. POCH: We will come back to them momentarily, but
28 I am just saying when I was using the term "insurance" --

1 and I was just really modifying the question to you -- you
2 don't disagree, though, that the instructions to you are:
3 Where you can shift that risk -- and you might have to pay
4 a premium to do so -- your instructions are to try to do
5 it, and you're just saying you either couldn't, in some
6 cases, or you felt that the risk premium was too high to do
7 it?

8 MR. REINER: Again, I will say there is no instruction
9 -- I don't read in this any instruction that says: We want
10 you to pay money to shift risk. I am not reading that in
11 these principles.

12 MR. POCH: Okay. Now, if you turn to our materials in
13 K15.1, at page 23A, I have just reproduced a part of the
14 Concentric report there.

15 And they note in the paragraph just above the heading
16 in the middle of the page that one of the risks that OPG is
17 carrying is that, because you're coordinating various
18 contractors and work components, that means you have to
19 manage that coordination and you carry risk for that
20 reason.

21 MS. HARE: Mr. Poch, where are you looking? I am
22 looking at page 23A. What paragraph --

23 MR. POCH: This is the paragraph above the heading in
24 the middle of the page.

25 MS. HARE: The one that starts with "Ontario Power
26 Generation selection"?

27 MR. POCH: I may -- let's hope we're on the same page
28 here. This is page 23A. It's Concentric, page 6 of the

1 Concentric report.

2 MS. HARE: Yes.

3 MR. POCH: And it says "by using this model Ontario
4 Power Generation is accepting the challenge".

5 MS. HARE: Okay. Fine. Okay. We're on the same page
6 then.

7 MR. POCH: Great. And Mr. Reiner, you would agree
8 with that observation by Concentric?

9 MR. REINER: That's a fair observation. We accepted
10 the challenge of managing each of the prime vendors, and it
11 is a direct outcome of the experience that we saw on other
12 large projects, including the large nuclear projects that
13 had these significant cost overruns.

14 MR. POCH: I think it is probably trite at this point
15 to point out on the next page, page 24 of our cross
16 exhibits, in the second bullet point there near the bottom,
17 that the choice of -- Concentric points out the
18 disadvantage of the target-price approach being more
19 limited risk transfer relative to a fixed-price agreement.
20 I think we've discussed that already.

21 MR. REED: If I could intervene, that is not a fair
22 characterization of what we said.

23 MR. POCH: Okay. I will just read it into the record:

24 "Disadvantages create substantial oversight
25 responsibilities. Once the cost of each unit
26 exceeds the target price and caps for each unit,
27 the contract is essentially a cost reimbursable,
28 excluding vendor overhead and profit agreement,

1 with a more limited risk transfer relative to a
2 fixed-price agreement."

3 What am I missing?

4 MR. REED: The comment that we have there with regard
5 to that being a disadvantage is a comment with regard to
6 the entirety of the contracting strategy, not simply the
7 use of target price as an element. So it goes to the
8 entirety of the multi-prime EPC model.

9 MR. POCH: Okay. Thank you.

10 And if you turn to page 25 of our materials, this is
11 from D2-2-1, attachment 6-1. This is an OPG graphic that -
12 - there's a graphic there which shows the risk and budget
13 control, contractor control effort, how that changes with
14 the -- with different kinds of contracts.

15 And I take it that the target-price approach is the
16 one that's illustrated by the column on the right?
17 Correct?

18 MR. REINER: It's illustrated in the column in the
19 middle.

20 MR. POCH: Oh, I'm sorry, yes. Okay. And can you
21 just explain what the difference between guaranteed maximum
22 target-price approach is, as opposed to cost reimbursable?

23 MR. REINER: A guaranteed maximum would essentially
24 put a cap on to the price, whereas a cost reimbursable,
25 whatever the cost is for getting the work completed, is the
26 cost that the company would bear. With a guaranteed
27 maximum there is a price cap that would be established.

28 MR. POCH: But let me understand correctly. In the

1 target-price mechanism you have used, if the contractor has
2 a -- let's say they have a -- let's pick some numbers out
3 of the air -- they have a \$10 million contract, and on top
4 of that let's just say there is -- they're getting a
5 \$5 million -- these are numbers Mr. Shepherd used, if you
6 might remember, in the earlier technical conference, so I'm
7 going to use the same ones.

8 On top of that they get \$5 million towards overheads
9 and profit. So a total of \$15 million contract, let's say,
10 for the sake of illustration.

11 In the mechanism you have used, if it turns out,
12 because of the contractor not performing it perfectly, that
13 they actually have \$12 million in labour and materials
14 costs --

15 MR. REINER: No. If --

16 MR. POCH: Let me just finish this so it is clear for
17 the record. You're going to pay that extra \$2 million
18 subject to whatever claw-back mechanism, as we have spoken
19 of earlier this morning, that you may have to get some of
20 that back out of the 5. Right?

21 MR. REINER: No.

22 MR. POCH: Okay.

23 MR. REINER: And no because the example that you just
24 gave, if, because of the contractor's performance --

25 MR. POCH: Ah, okay.

26 MR. REINER: -- there is a cost overrun, that would
27 fall under a warranty provision or a rework provision and
28 100 percent of the cost and there is no overhead or profit

1 paid, lies with the contractor.

2 MR. POCH: Poor choice of words. They're simply slow.
3 They didn't instal the wrong piece, you know, such that
4 there is a warranty or, you know, do work that has to be
5 redone. They're simply slow. The kind of thing that your
6 various penalty clauses are aimed at.

7 In that scenario they go from -- instead of coming in
8 at 10 it comes in at 12. You are going to pay the two,
9 correct? And then whatever -- you will have whatever
10 disincentives are in your contract, you claw back out of
11 the 5.

12 MR. REINER: No, I will also challenge that scenario,
13 because simply slow would mean that we're sitting back and
14 we're letting things unfold and we are not overseeing what
15 the contractor does.

16 So a simply slow, if we had agreed to a target
17 schedule, that means we had a discussion with the
18 contractor on the time it would take to complete work. Our
19 role in oversight is to monitor that.

20 If we are seeing that there are schedule slippages --
21 and this is why our model is so important -- we have direct
22 visibility into the contractor's work and schedule on a
23 day-to-day basis.

24 So we track progress daily, the amount of commodity
25 that gets installed, the number of hours that are being
26 spent on each work item. As soon as we see a slow
27 performance we will ask for a recovery plan. The
28 contractor is committed to providing a recovery plan, and

1 so --

2 MR. POCH: I think we're confounding the issue here.
3 You certainly -- I understand -- sorry to interrupt, but I
4 understand that you are going to maintain as best you can
5 transparency and working with the contractor.

6 But you -- but they're directing that work component.
7 And if, in the end, they just don't do a good job of
8 directing it and it comes in overbudget -- we're not
9 talking about, you know, warranty issues here.

10 If that happens, despite your oversight, you are going
11 to pay that, and then you are going to penalize them with
12 the other mechanism, right?

13 MR. REINER: Maybe the better example to use is, if
14 there is an unforeseen activity that --

15 MR. POCH: That's a scope change. That is different,
16 isn't it?

17 MR. REINER: Well, that is a scope change, yes.

18 MR. POCH: Scope change you're going to pay 100
19 percent, right?

20 MR. REINER: A scope change, we would pay 100 percent,
21 yes.

22 MR. POCH: Yes, no, I am talking about what these
23 penalties are aimed at. The contractor is simply not being
24 up to scratch apart from, say, the specifics you have
25 spoken of with the warranty.

26 In that scenario, if it goes from 10 to 12 --

27 MR. REINER: Yes.

28 MR. POCH: -- for his labour costs, for example,

1 you're going to pay the two, right? That is the contract.
2 You're going to pay the two. You can then claw back some
3 of that to the extent you can under your penalty clauses,
4 correct?

5 MR. REINER: Yes. We would pay the two, and we would
6 claw back a proportion of the fixed fee based on the model
7 that Mr. Rose identified, and we would also not pay profit
8 and overhead on that additional work.

9 MR. POCH: I understand.

10 MR. REINER: No contractor works without getting
11 profit and overhead. So there is a huge incentive on their
12 part to also do the same kind of monitoring that we're
13 doing to ensure that their performance isn't slow, that
14 their foremen in the field are monitoring the work closely,
15 are supervising the activities, and are keeping the work
16 progressing.

17 So there is no incentive here for a contractor to slow
18 down a job to try to just recover cost.

19 MR. POCH: I understand. I'm not talking about what
20 the -- the effectiveness of the incentive. I understand.
21 You have laid that out very well --

22 MR. REINER: I think an important thing, though, is
23 the outcome is always important to look at. I mean, we can
24 discuss hypothetical scenarios that mathematically might
25 result to the 12 million, but it is really about, what is
26 the event that is causing the problem? And how, in our
27 approach of managing the project, are we able to deal with
28 the event in the structures we have put into place? And I

1 think it is important to not overlook that.

2 MR. POCH: We spoke about this for two days last week,
3 and this it is all there in the transcript, so I'm not
4 going to ask -- not going to go over all of that again. I
5 just want to make sure I understand and the Board
6 understands how this contract structure works.

7 When we looked at this graphic you seemed to say
8 you're in the middle and not on the cost reimbursable, and
9 that's what triggered my question. It seems to me from
10 what we've just said you are in the cost-reimbursable
11 situation for your main contracts here, apart from the
12 exceptions you have suggested for warranty, and obvious --
13 you're in the cost-reimbursable situation. You then have,
14 within the limits spoken of, some disincentives that you
15 impose on the contractor?

16 MR. REINER: Yes. Now, maybe I can explain what
17 this --

18 MR. POCH: Is that yes, an answer yes?

19 MR. REINER: Well, Mr. Rose explained that in his
20 previous testimony on exactly how the mechanisms work. So
21 they work exactly as he described. And he went through
22 scenarios of cost overruns and what we would pay and what
23 we would claw back.

24 MR. POCH: I am just trying to get a simple answer to
25 the question: Why is that not a cost-reimbursable?

26 MR. REINER: So what this graphic -- maybe I need to
27 explain what this graphic tries to identify.

28 What this graphic identifies is that where -- where

1 the oversight that is required on the contractor to perform
2 the work effectively and where the level of certainty on
3 scope -- which translates to completion of engineering
4 design -- where the certainty of scope is high and where
5 the oversight is low, that would take you to the left bar,
6 and the type of contracting model that would be conducive
7 to that would be a lump sum.

8 On the opposite side, what this highlights -- and this
9 comes from the OPEX and the analysis that was done in
10 establishing the strategy -- on the opposite end, it
11 highlights that where you go into a contract with a very
12 undefined scope -- and undefined could be because there are
13 significant unforeseens, there may be interferences that
14 the contractor encounters, but where the detail of the
15 scope is less defined and also where the oversight on the
16 contractor is high, a more conducive model would be a cost-
17 reimbursable.

18 For the re-tube and feeder replacement job, given the
19 way we're laying out sort of the progression towards the
20 release-quality estimate, we're getting to quite a high
21 definition on scope. So that's why that bar is up there.

22 But at the same time, there are still unforeseens and
23 there are interferences that the contractor can't manage on
24 their own. And that is where this target price model lends
25 itself.

26 And that's -- this tries to depict how our strategy
27 got us to where we are on the contracting strategies.

28 MS. LONG: Can I just interrupt here? So I think the

1 question that Mr. Poch asked you was: If, in a guaranteed
2 maximum target price contract, you can be compensated more
3 than the target price, how is that not a cost-reimbursable
4 contract?

5 That is what I am struggling with too.

6 MR. ROSE: Let me clarify, to help this out.

7 In the actual exhibit that you reference in your
8 compendium, Exhibit D2-2-1, attachment 6-1 -- I'm not sure
9 here. This is page 9 of 22.

10 Within the context of that document on page 16 of 22,
11 there's actually a set of definitions, and the definitions
12 for cost-reimbursable says:

13 "Vendor is paid its actual labour and material
14 costs with mark-ups for overhead and profit,
15 which are usually at percentage of costs."

16 So in the example that is in this document, it is
17 talking about the cost-reimbursable for every hour
18 incurred, that costs are reimbursed with profit and
19 overhead applied for every hour.

20 That is different from the target price, where profit
21 and overhead is set aside based on a target price, and for
22 every hour beyond that target price the profit and overhead
23 is not included.

24 MR. POCH: Ms. Long? Thank you.

25 All right. I think that helps. I think what you're
26 saying is there is a cost-reimbursable component to your
27 target pricing approach you have taken. You're just not
28 using that synonymously with the way you've used it in this

1 exhibit. That is helpful.

2 MS. HARE: Mr. Poch, I think this is an appropriate
3 time to take a break, then.

4 Before we do, though, I would like to ask you
5 something to think about over the break and come back and
6 answer.

7 You, in cross-examination, were making a difference
8 between minimizing costs versus balancing costs and risks
9 in the context of a prudence review.

10 And when we come back, I would like to understand
11 better what you mean by that. Maybe nothing hinges on it,
12 but you did make a difference between minimizing costs
13 versus balancing costs and risks. So that would be of
14 interest.

15 We will come back at 11:15.

16 --- Recess taken at 10:55 a.m.

17 --- On resuming at 11:20 a.m.

18 MS. HARE: Please be seated.

19 **PROCEDURAL MATTERS:**

20 I would like to first address the submissions of Ms.
21 Girvan on behalf of a number of intervenors with respect to
22 the schedule. And as a result, we have revised the
23 schedule. So the date for argument in-chief remains the
24 same.

25 The date -- we're going to have staff submissions
26 first, and those will be on August 19th, and then
27 intervenor submissions on August 26th, with reply on
28 September 9th, because we are assuming, Mr. Keizer, that

1 you do need two weeks?

2 MR. KEIZER: For sure.

3 [Laughter]

4 Even that might be a little bit -- have us under
5 stress.

6 MS. HARE: So just to repeat, August 19th for Board
7 Staff, August 26th for intervenors, and September 9th for
8 reply.

9 **CONTINUED CROSS-EXAMINATION BY MR. POCH:**

10 Okay. Then, Mr. Poch, I left you with a question
11 before the break.

12 MR. POCH: Yes, you did. Thank you, Madam Chair.

13 Just a little context of the distinction I was trying
14 to draw, and you may have questions for the witnesses.
15 Where I was going on this is trying to clarify the
16 distinction which we draw, which the witnesses may not
17 draw, between the standard in the LTEP principles, Long
18 Term Energy Plan principles, on the one hand, and on the
19 regulatory prudence standard, which Concentric brought to
20 bear, and which the Board would ordinarily bring to bear,
21 but of course in this case you are being asked to -- also
22 to comment on the contracting approach compliance with the
23 Long Term Energy Plan.

24 In the ordinary course there is -- it is prudent, one
25 assumes, to enter in some balancing of cost and risk. I am
26 not suggesting you wouldn't do some balancing of cost and
27 risk in pursuit of the Long Term Energy Plan goals either,
28 but there would be a, for example, if I could, you know,

1 hazard a quantification, if there's a contract for a dollar
2 and there's a 10 percent at risk that it might end up being
3 \$2, if you can lay off that risk for 10 cents, given the
4 probability and consequence value, that would be the amount
5 you would deem it would be prudent to go to. You've -- on
6 your curve you have minimized your expected costs that way.

7 Whereas what I was driving at is, under the long --
8 our position, which is under the Long Term Energy Plan
9 rules, that the pointer has been shifted, that the
10 government -- what I was suggesting to the witnesses is the
11 government is suggesting we place more emphasis on avoiding
12 the risk aspect, the likelihood of a significant cost
13 excursion, and it is worth paying more of a premium than
14 you ordinarily would under the prudence test. Otherwise,
15 why did they bother giving this extra set of rules? OPG
16 was already subject to the prudence test.

17 I didn't pursue it further because I took the answers
18 from the witnesses as being, they were viewing the Long
19 Term Energy Plan principles as synonymous with the ordinary
20 prudence standard. We will leave it to argument to
21 disagree with them.

22 MS. HARE: Okay. Thank you.

23 MR. POCH: I hope I haven't mischaracterized your
24 position.

25 MR. REED: I don't think it is actually fully correct
26 or fully accurate, so if I could just comment on that
27 briefly.

28 We see in the Long Term Energy Plan item 1, which is

1 minimize commercial risk, but also item 6, which is to make
2 site-project management, regulatory requirements, and
3 supply-chain considerations and cost and risk containment
4 the primary factors in developing the implementation plan.

5 So in my view, when you take 1 together with 6, which
6 says you should make cost containment a primary factor,
7 that does require balancing. To me the difference is in
8 prudence we ask the question: Would a reasonable person,
9 given this set of instructions from the LTTP, make such an
10 effort to balance risk and cost? And I think the answer
11 is, yes, they would.

12 MR. POCH: I am not going to bite. I think the Board
13 appreciates where the difference of perspective lies, and I
14 think we are really going to venture into argument if we go
15 much further.

16 MS. HARE: Okay. Thank you.

17 MR. POCH: Gentlemen, I understand that the -- in
18 terms of CANDU reactor refurbishments, the Wolsong reactor
19 that was refurbished in Korea is the least expensive
20 occurrence thus far. Is that right?

21 MR. REINER: It's the one that was executed very close
22 to the schedule on cost that they estimated going into it.
23 I don't offhand have the exact dollars to be able to do a
24 relative comparison.

25 MR. POCH: Okay. I had understood it was the -- from
26 the discussion, I think it was in the Modus -- perhaps you
27 can help us, Mr. Gould. I think there was observations
28 about this, that one of the contractors had made reference

1 to this because it was a leading example. Does that
2 confirm -- conform with your memory?

3 MR. GOULD: So what we talk about there is that the
4 Wolsong plant was used as a reference plant for developing
5 a stage of the estimate for the -- by the joint venture who
6 is doing the re-tube and feeder replacement project.

7 MR. POCH: And I recall you went on to say why there
8 were some problems with that approach. We don't need to
9 get into -- that is not the purpose of my question here.

10 I was just really getting at the point that is your
11 understanding from that implicit that the Wolsong was
12 considered to be the best example we have, in terms of cost
13 and schedule control, thus far?

14 MR. GOULD: I would say that that is a correct
15 characterization.

16 MR. POCH: Okay. If you could turn to page 26 and 27
17 of the compendium. There -- this is actually material that
18 was provided in the previous payments application before
19 you, Madam Chair. And there it is a news report from World
20 Nuclear News.

21 And if you turn on page 27, I read there in the first
22 full paragraph, the second paragraph on the page, it is
23 talking about the AECL having been awarded a large contract
24 for Wolsong 1 re-tubing, and it says there:

25 "The terms of contract include completion of the
26 re-tubing for a fixed price and fixed schedule."

27 Does that conform with your understanding, gentlemen?

28 MR. REINER: I don't have any reason to believe that

1 this is untrue, but just to be clear on what that scope
2 included, the actual labour to perform the work was not
3 provided by Atomic Energy of Canada, so Atomic Energy of
4 Canada provided the technical expertise, the tooling, and
5 the oversight. The actual physical labour of doing the
6 work in the field was provided by the utility and managed
7 by the utility.

8 MR. POCH: Okay. Now, gentlemen, I think probably any
9 of you could answer this. But I take it as a given that
10 every major project estimate includes, when we're talking
11 about projects of this scale, includes a contingency
12 allowance, because every project planner understands there
13 is a high likelihood of needing that; is that fair?

14 MR. ROSE: Yes.

15 MR. POCH: All right. And if you would turn to page
16 28 of our compendium, we have reproduced there part of the
17 Modus report. This is the -- from the June 26th -- the
18 sort of cover report that Modus did, if you will.

19 And in the second paragraph there, Mr. Gould, you have
20 said:

21 "A concept within the estimate that is commonly
22 misunderstood is the application of contingency.
23 Contingency is included in the base estimate and
24 refers to costs that will probably -- probably
25 occur based on past experience. As a result,
26 contingency is expected to be spent as the
27 project progresses through its life cycle."

28 And you say:

1 "The utilization of contingency is not an
2 indication of poor management."

3 Mr. Gould, I asked you about that, and I've reproduced
4 the section of the transcript from the technical conference
5 on page 29 of our materials. And in the -- again, in the
6 first full paragraph, I asked you about -- I first recited
7 that to you, and I asked you if, from your perspective,
8 that was the case and therefore it is the 19 billion or the
9 12.9 with interest and escalation that is the -- is the
10 number people should -- the realistic cost estimate people
11 should have in mind for this project, as opposed to the
12 point estimate without contingency in reserve, and you
13 said: "Correct."

14 And first of all, I take it that that --

15 MR. GOULD: Is there a question there?

16 MR. POCH: I am getting to the question.

17 MR. GOULD: Okay.

18 MR. POCH: Setting up the question.

19 Mr. Reiner, at page 30 of these -- we don't have to go
20 through them. I have just included the page that has all
21 of this history that Environmental Defence provided us
22 with, and that you have been taken to before and put your
23 caveats on.

24 But would you agree that the planners that would have
25 proposed these estimates that are referred to here, they
26 would have included contingency in those?

27 MR. REINER: No, I don't -- I mean, I would assume
28 that in some cases, yes, but I think in other cases likely

1 not. And I say that only because when I look at the dates
2 of when some of the estimates were produced, versus the
3 date of the project, I think they would have been just very
4 high-level estimates that didn't get that precise.

5 MR. POCH: All right. You haven't gone back and
6 looked at, tried to dig through that history and figure
7 that out?

8 MR. REINER: No. No, we have not.

9 MR. POCH: Okay. Now, in answer to -- actually, I
10 will turn you to page 9 of our materials. This is the
11 second page of JT2.2.

12 And you were asked to do, I think, what I was asking
13 you to do in JT3.17 that we discussed this morning, to give
14 a sense of where the chips will fall if there's significant
15 overruns here. And I just want to make sure I am
16 understanding that table correctly.

17 You show for pretty significant cost overruns, 50 or
18 100 percent, that the price, the total price that --
19 doesn't change very much.

20 Is that because in answering this, you have applied
21 the contingency first?

22 MR. ROSE: So we actually did -- this question, I
23 think, was asked of me at the technical conference.

24 MR. POCH: Yes.

25 MR. ROSE: My response was yes, in the -- when we
26 looked at -- in the individual contract -- we looked at the
27 major contracts -- when the price went up, we applied the
28 contingency first.

1 MR. POCH: Right. And so what we can't see here is
2 that -- how much of that contingency was taken up in any of
3 these scenarios, and that's what we can see by reference to
4 the JT3.17?

5 MR. ROSE: And also, I think we had an undertaking
6 yesterday that would also -- that we were going to provide
7 you the details of this table for Mr. Elson, and that is
8 getting ready for filing.

9 MR. POCH: He has asked -- he has asked you an
10 undertaking to fill out a table and I understand you are
11 going to do so, so I don't need to pursue that further.

12 MR. ROSE: That is correct.

13 MR. POCH: Okay. If you turn to page 31 of our
14 materials, I just wanted to -- we had a discussion earlier
15 how you were pointing out that some of your contracts are
16 fixed, and so they wouldn't be subject to the target price
17 sharing of risk. And I just wanted to get a sense of
18 those.

19 From the -- you can see this in the redacted -- even
20 in the redacted version I have reproduced here. I have
21 just summed up the ones that are labelled "fixed," which
22 are the RFR tooling and mock-up, the steam generator and
23 the turbine generator, the first line there.

24 Those four items? I've got them all; correct?

25 MR. ROSE: That is correct.

26 MR. POCH: I just added those up. It comes to
27 655 million; sound about right? Take it, subject to check?

28 MR. ROSE: Yes, yes.

1 MR. POCH: So just based on -- and these are -- these
2 would be overnight costs?

3 MR. ROSE: These were overnight costs in 2013 dollars.
4 That's correct.

5 MR. POCH: So they would be comparable to the
6 \$10 billion figure as opposed to the 12.9?

7 MR. ROSE: That is correct.

8 MR. POCH: Under an -- interest and escalation...

9 MR. ROSE: Are excluded from this estimate.

10 MR. POCH: Right. Okay. These would go up if we
11 counted interest and escalation, but we're on an apples-
12 and-apples basis.

13 So that would be 6.55 percent of the 10? 655 million?

14 MR. ROSE: That is 6.55 percent of the 10.

15 MR. POCH: So in other words, 93.45 percent of the
16 cost estimate, of the \$10 billion cost estimate, is either
17 OPG cost or is under target -- in which case you bear the
18 whole risk, or is target pricing with shared risk, or is
19 still in the contingency and reserve pools; correct?

20 MR. ROSE: That is correct.

21 MR. POCH: Obviously you bear the risk?

22 MR. ROSE: There are some non-OPG costs, you know,
23 insurance, fuel, that are not -- that are OPG's to pay, but
24 they're not OPG labour. Just to clarify that.

25 MR. POCH: No, I understand. I'm just -- who is
26 bearing the risk on these different pots? And so apart
27 from that 6.55 percent, you're either bearing all of the
28 risk or sharing the risk under the target pricing

1 agreements?

2 MR. ROSE: Yes.

3 MR. POCH: Okay. So just to be clear, if we go back
4 to that exhibit of the \$15 million hypothetical contract --
5 10 million in labour and materials and then 5 million in
6 overheads and profit -- if scope changes occur and you
7 renegotiate -- you therefore have to renegotiate -- and so
8 the contractor hard costs change, the overhead and profits
9 would presumably change, you would absorb all of that?
10 That would be the expectation, that you would absorb all of
11 that?

12 MR. ROSE: Yes.

13 MR. POCH: Okay. If there is an underestimate of work
14 or materials, it turns out to be a more complicated job
15 because of unforeseen factors, as I think is your position
16 with the campus projects, all three categories go up, and
17 again you absorb -- that is really the same thing? You're
18 going to absorb it in that case?

19 MR. REINER: That's correct.

20 MR. POCH: Okay. And if the -- if we have, on the
21 other hand, a cost increase driven by the contractor with
22 the exception of warranty and rework, and they go up,
23 that's what your -- we have discussed already today that is
24 what the -- the penalties try to dissuade them from getting
25 into that situation.

26 But if those costs were to exceed, in our little
27 example of a \$15 million contract, if those extra costs
28 were to exceed the 5 million or even approach the

1 5 million, presumably, your contractor is just not going to
2 want to carry on, and you would have to renegotiate in that
3 case too; is that fair?

4 MR. REINER: There could be a potential of that, yes.

5 MR. POCH: Okay. Just so I understand the interest
6 and escalation, the difference between the 10 and the 12.9,
7 is that calculated -- assuming that the project completion
8 occurs as you now envisage it, you figured out how much it
9 is going to cost you to finance it until then, you figured
10 out what the escalation will be and what inflation is, as
11 applicable to these cost categories, and then you've
12 discounted it back at 7 percent at 2014 or 2013 dollars?

13 MR. ROSE: So it is based on the -- the interest is
14 based on the cash flows associated with how we expect to
15 spend the funds associated to the 10 billion, based on our
16 current schedule and our current business case.

17 MR. POCH: Right. But as I have described it -- with
18 that additional thought -- I am correct that you then have
19 added -- in your spreadsheet, you will have added your cost
20 of capital, mix of debt and equity at the rates you use, to
21 carry it to the completion of the project to in-service.
22 And then you've -- and you've calculated escalation and
23 then you have discounted back at 7 percent? That is the
24 mechanics of how you do this, to get to 12.9?

25 MR. ROSE: No.

26 MR. POCH: No? Okay.

27 MR. ROSE: Mechanics are we take the \$10 billion,
28 based on a cash flow of how we're going to expend those

1 dollars.

2 We have added to them a dollar amount for inflation,
3 and we have added to them our interest.

4 MR. POCH: Yes. That's what I think I was saying.

5 MR. ROSE: We have not discounted it back to today's
6 dollars. 12.9 billion is representative of the as-spent
7 dollars in the years that they would be spent.

8 MR. POCH: Okay. What then would be the dollars --
9 this project is scheduled to be finished in, what, 2020?

10 MR. REINER: About 2025.

11 MR. POCH: Oh, 2025?

12 MR. REINER: Yes.

13 MR. POCH: I'm sorry. What is going to be the dollars
14 -- at the end of the day? Because this Board -- at the end
15 of the day you're going to come back to this Board and say,
16 Okay. Let's put it all in rate base; so when they look
17 back at this record, and you're going to be dealing in 2025
18 dollars -- and I understand you might do this in -- not all
19 in one lump sum, but leaving aside that for the moment,
20 what is your estimate now of what this whole project is
21 going to cost in 2025 dollars, with interest and
22 escalation, when you come before this Board at that point?

23 MR. ROSE: 12.9 billion.

24 MR. POCH: 12.9 billion in 2025 dollars.

25 MR. ROSE: That's correct, because it includes
26 escalation for future years' cash flows.

27 MR. POCH: Okay. All right. And if the project takes
28 longer, leaving aside the -- you saw there was some

1 schedule penalties that you referred us to this morning.

2 Other than that, if it simply takes longer, I take it
3 that the risk associated with interest and escalation is
4 something that OPG bears?

5 MR. ROSE: That is correct.

6 MR. POCH: Okay.

7 MR. REINER: No, it is not -- just a qualifier on
8 that. It wouldn't be that entire amount of interest and
9 escalation, because you would have to look and see where
10 the delay occurs, because there is an expectation, in fact,
11 we will place units in-service as they are completed.

12 So the first unit will return to service, and we would
13 put that into rate base in 2019. So it all depends on, you
14 know, the scenario on what that amount might be.

15 MR. POCH: Yes. No, I wasn't suggesting that we could
16 pin down what the extra interest and escalation might be.
17 It depends what the delay was and what it applied to,
18 obviously.

19 MR. REINER: Correct.

20 MR. POCH: Yes, understood. Thank you.

21 Okay. I wanted to just ask you about the in-service
22 rate-base additions. And you can see at page 1 of our
23 materials, other than the cover -- I think -- this is the
24 -- in this table 1, this is where you -- where you have
25 shown the -- what's happened to the campus projects. And I
26 just wanted to compare that list to what is on page 2,
27 which is the Modus report on the campus projects, or at
28 least it is the part of the cover report which brings

1 forward some of their findings on the campus projects.

2 This is the same list, right? We're talking about the
3 same group of projects here? The in-service amounts
4 pertain to the campus projects, the same ones that Modus
5 was looking at.

6 MR. ROSE: Correct.

7 MR. POCH: Okay. And Modus gave you their
8 observations. If I can paraphrase, they felt on the campus
9 project that there was immature -- may not like that
10 phrase. I know your counsel doesn't like it -- immature
11 engineering and costing, and that they recommended OPG
12 increase transparency and be more hands-on in their
13 oversight. That is really a very high-level synopsis. Mr.
14 Gould, I take it that doesn't offend you?

15 MR. GOULD: Well, I think this is a little bit too
16 high-level of a synopsis, frankly, sir.

17 MR. POCH: Okay. And I am trying to avoid getting
18 into it because we spent so much time on it last week and
19 that record is available to us all.

20 But I just wanted to say what -- be clear what you
21 didn't look at with respect to this. Am I correct that
22 Modus did not seek to provide benchmarks for the heavy-
23 water or the other campus project costs? You didn't go out
24 and look at what other heavy-water facilities have cost to
25 build elsewhere and --

26 MR. GOULD: To my knowledge, there isn't one.

27 MR. POCH: All right. And --

28 MR. GOULD: Which might be indicative of why the scope

1 and estimates are migrating to the place that they have,
2 because it is the first of a kind, and first-of-a-kind
3 construction typically involves a lot more understanding of
4 engineering and engineering of scope before you get a
5 realistic estimate.

6 MR. POCH: Sure. You didn't do it for any of the
7 other campus projects either, though.

8 MR. GOULD: That is not part of our scope on this
9 project, sir.

10 MR. POCH: Okay. And Mr. Reiner, OPG hasn't filed
11 with us, you know, benchmarking to the extent -- obviously
12 it may not be possible for some of these projects, but you
13 haven't filed benchmarking analysis of, you know, what it
14 costs for an auxiliary heating plant or something?

15 MR. REINER: We --

16 MR. POCH: I haven't missed that, have I?

17 MR. REINER: No. We have not done that, and partly
18 because, you know, there is a unique nature to some of
19 these projects. Everywhere where a system ties into the
20 nuclear plant, there is an engineering assessment that's
21 required that really sort of forces you to do the
22 benchmarking in a nuclear context. And the facilities
23 we're looking at, there, you know, there aren't a lot of
24 good test cases out there.

25 MR. POCH: Hmm-hmm, I understand. And Mr. Reed, I
26 think you have already answered this in the broader sense,
27 but specifically with respect to these campus projects, it
28 wasn't part of your brief either to do that.

1 MR. REED: It was not part of our mandate to develop
2 into the individual cost estimates, no.

3 MR. POCH: Okay. Mr. Reiner, I think you indicated in
4 the technical conference that the heavy-water facilities
5 are about 10 to -- at least as of July 8th, they were about
6 10 to 20 percent complete, and that the auxiliary heating
7 plant or -- and these are the two that you have had the
8 biggest cost overruns on -- that is about 35 to 40 percent
9 complete? Correct?

10 MR. REINER: That is probably about right, yes.

11 MR. POCH: Now, does some of the unfinished work on
12 those projects involve engineering, or is it just all pure
13 construction at this point?

14 MR. REINER: There is some engineering, because you
15 typically start -- it is possible to start construction
16 before all engineering is complete. But the engineering is
17 largely done, with the exception of finalized and stamped
18 drawings being delivered, but in the case of the D20
19 storage project, we have gone back and revisited some of
20 the technical requirements and looked to see if there are
21 opportunities to make adjustment. And that involves
22 engineering, and that would not yet be complete.

23 MR. POCH: Okay. It is really just the Darlington
24 Energy Centre, which is the conventional building that is
25 complete, right?

26 MR. REINER: That's complete. And the OSB
27 refurbishment is also complete from an engineering
28 perspective.

1 MR. POCH: But not from a construction perspective?

2 MR. REINER: Not construction, no. Yeah, sorry, in
3 terms of what is complete, in terms of construction, it
4 would be the Darlington Energy Complex.

5 MR. POCH: Now, just to be clear, I understand that
6 the overruns you've experienced on these campus projects,
7 because it is capital and it is getting amortized and it
8 doesn't -- the amount coming into rates that you are
9 proposing, it doesn't trip over your \$10 million guideline
10 for when we talk about it in these cases, but that you are
11 nevertheless asking the Board to find, with respect to the
12 -- the portion of these projects you're bringing into
13 service, that there is prudence at this time. You were
14 asking it to be included in rate base?

15 MR. ROSE: What we're asking for is what was
16 originally filed is the 18.7 and the 209.4. That is to be
17 included in rate base. We evaluated the revenue impact of
18 the changes made in Exhibit N1-1-1 and the changes made in
19 Exhibit D2-2-2, and they're both not material from a
20 revenue requirement, and I believe that at the technical
21 conference, through a discussion you had with Mr. Barrett,
22 the discussion about prudence was made, and we're asking
23 for an assessment of that.

24 MR. POCH: Thank you. And I just wanted to bring that
25 out on the record in front of the Board, because that's
26 something the Board is being asked to deal with.

27 Okay. And obviously you are not asking for prudence
28 with respect to the Darlington refurbishment project, apart

1 from that, at this time?

2 MR. ROSE: For the overall cost estimate of the
3 Darlington refurbishment project?

4 MR. POCH: Yes.

5 MR. ROSE: No.

6 MR. POCH: But you are moving on now to asking for
7 capital budget approval, and I think the amounts there are
8 -- I have reproduced somewhere, but I lost track of where
9 they are.

10 MR. ROSE: I think with respect to the capital budgets
11 we're asking for a finding that the proposed capital
12 expenditures are reasonable.

13 MR. POCH: Okay.

14 MR. ROSE: And I think they are --

15 MR. POCH: Yeah, page 10 of my materials, I think is
16 where that shows up, and similarly for some O&M and so on.

17 Okay. In that regard, I just wanted to look at some
18 of the numbers as they progressed.

19 If you turn to page 3 of our materials, you can see
20 this is from your updated business case summary for the big
21 projects.

22 I am reading this correctly that at the 50 percent
23 confidence level, the LUEC -- levelized unit energy cost -
24 - is 7 to 7-and-a-half cents? In that range? 7.25 on the
25 graphic; is that fair?

26 MR. ROSE: That is correct.

27 MR. POCH: Is that what you would refer to as your
28 median estimate, median confidence value?

1 MR. ROSE: I don't believe we refer to it. I am just
2 trying to figure out if we refer to our median
3 confidence --

4 MR. POCH: We will come to this, just because later I
5 will take you to places where you compared... yes. In fact
6 if you go to page 5A of my materials, near the bottom of
7 the page, second-last paragraph, this is from the business
8 case summary. You say:

9 "The Darlington refurbishment project's median
10 confidence LUEC is approximately 7 to 7-and-a-
11 half cents."

12 So I think there is my answer.

13 MR. ROSE: Correct.

14 MR. POCH: And just at the time of this business case
15 summary, the high confidence, the 90 percent, was in the
16 8.1 cent range; correct? And I think you have updated that
17 now and I understand it is now 8.3; is that correct?

18 MR. ROSE: That's correct.

19 MR. POCH: Okay. Page 4, this is -- in your business
20 case under alternative 4 -- abandon the DRP, do not plan to
21 refurbish Darlington -- the paragraph there contrasts the
22 Darlington LUEC and the gas alternative, including carbon
23 taxes.

24 I take it this is -- this was part of your board's
25 consideration as to whether or not to proceed?

26 MR. REINER: It was certainly looked at. The
27 combined-cycle was used as a comparator to assess the
28 economics of refurbishment, but it was not the basis for

1 the decision to proceed.

2 The basis for the decision to proceed came from a
3 shareholder directive that asked us to assess the
4 feasibility of refurbishing the Pickering station, the
5 Pickering B plant, and the Darlington plant.

6 We provided the results of that assessment back to the
7 shareholder with a recommendation that we not refurbish the
8 Pickering B plant but that we proceed with refurbishing the
9 Darlington plant.

10 And the -- subsequent to that, we were directed by the
11 shareholder to proceed with the definition phase for that
12 project.

13 MR. POCH: Can I assume -- is my assumption correct
14 that in doing that analysis for the shareholder, you would
15 have looked at the same factors as -- roughly the same
16 factors that you do in your business case?

17 MR. REINER: We look at a number of factors.
18 Economics is certainly one of them, but there are other
19 factors that weigh into that.

20 For one, Darlington is a base load generator, so that
21 means it is a high-capacity factor, a full power type of
22 plant. And so there are some differentiators. It
23 produces, actually, two products for the power grid. One
24 is energy, and that's what we most often speak about, but
25 the other is capacity, and capacity is required for grid
26 stability.

27 And so this weighs into sort of the analysis that the
28 OPA does, and that comes forth in the LTEP and recognizes

1 that there is a need for that type of a generation
2 resource.

3 So those are all factors that weigh into the decision.

4 There are other factors, like community impacts, what
5 the -- employment impacts in the community.

6 So there are a series of factors, but most definitely
7 the cost is not ignored.

8 MR. POCH: Right. And the cost you have -- the
9 benchmark you were using to look at the cost is the
10 combined-cycle gas turbine because it can -- it can meet
11 those system needs?

12 MR. REINER: It can meet those system -- it can meet
13 those system needs, theoretically.

14 The reason we look at a -- also, we don't ignore the
15 carbon tax, because replacing Darlington with combined-
16 cycle gas would add a significant amount of greenhouse gas
17 emissions, and it would essentially offset a large portion
18 of what the government achieved through the closure of
19 coal.

20 And that's why we don't ignore that factor. So
21 really, the true, equitable comparison would be carbon-free
22 combined-cycle. That would be the true economic
23 comparator.

24 MR. POCH: Okay. And you have -- I just see, for the
25 Board's information, at page 5A at the top paragraph you
26 actually do indicate how much of the 7.5 is the carbon
27 pricing. I think it is 0.6 cents, just by way of
28 reference.

1 But I take it when you did this analysis, you didn't
2 take into account, at least not explicitly, the
3 externalities of your nuclear plants. You ensure for,
4 what, at the time I guess it was 75 million, which would be
5 about one apartment building, you know.

6 The rest of that risk cost, whatever it may be, it is
7 not included in your analysis, is it?

8 MR. REINER: What is included is certainly any sort of
9 insurance-related premiums. There is a safety analysis
10 that gets done as part -- and it was done as part of the
11 environmental assessment, that looks at the probabilities
12 associated with releases.

13 Based on the outcome of that analysis, there is a
14 requirement for us to meet a regulated standard, and that
15 has resulted in investments in safety-related systems such
16 as containment filter venting. So all of those costs are
17 included, yes.

18 MR. POCH: But you agree with me the residual risk,
19 you know, after you have done what your safety regulator
20 tells you to do, the residual risk that you have insured
21 against to this \$75 million limit, whatever is left, you
22 haven't counted that economic cost in your comparison?

23 MR. REINER: No. And it would be quite low, because
24 the probability is extremely low.

25 MR. POCH: Well, obviously a whole separate debate,
26 which we are not going to have here. But whatever that
27 cost is, you haven't included it?

28 MR. REINER: That cost is not included in this

1 economic assessment.

2 MR. POCH: Right. And I think it was yesterday Mr.
3 Elson discussed with you the fact that you enjoy the
4 benefit of government guarantee on -- on your borrowing,
5 and you are publicly owned and so on, and whatever social
6 cost is shifted there to the government.

7 You haven't accounted for that in your analysis
8 either?

9 MR. REINER: Well, we have accounted for the cost of
10 borrowing. We have, yes. I am not sure --

11 MR. POCH: You haven't accounted for what the extra
12 cost would be without the government risk guarantee?

13 MR. REINER: I don't know how we can do that, because
14 we are owned by the government and this is the environment
15 we operate in. So I am not sure how we would go about
16 doing that.

17 MR. POCH: I'm just confirming you haven't -- you may
18 not be able to, but you haven't --

19 MR. REINER: Our analysis is based on the project, the
20 environment we operate in.

21 What we are asked by the province, what is reflected
22 in the LTEP, it is reflective of the realities of the
23 situation that we are in.

24 MR. POCH: I understand. I'm just confirming --

25 MS. HARE: Mr. Poch is looking for a yes or no answer.

26 MR. POCH: I'm just confirming you didn't quantify
27 that cost which is borne by the government, therefore by
28 the public, that risk cost.

1 You haven't quantified it? You may not be able to,
2 but you haven't?

3 MR. REINER: Well, we have quantified the repayment of
4 debt, which eliminates that risk.

5 So if you are asking is there a formula in this
6 analysis that tries to quantify a scenario where there
7 isn't a repayment and there is a residual risk to
8 government, no, because it would -- we have not done that.
9 It would be virtually impossible for us to do that.

10 MR. POCH: Now, the -- when we looked at Exhibit J2.2
11 earlier, the figures there for the -- the LUEC value --
12 LUEC values, levelized unit energy cost values -- the
13 footnote indicated that they were -- excluded fixed
14 corporate overheads and the OPEB, and that explains the
15 difference between, I think it is 7.8 in that exhibit and
16 the 8.3 you mentioned to me before. Correct?

17 MR. REINER: That is correct, yes.

18 MR. POCH: Okay. Would you agree, though, that if you
19 didn't proceed with the Darlington refurbishment, at the
20 point when you shut down that plant, and Pickering will be
21 shut down by then, a bunch of corporate overheads that you
22 are treating as fixed could disappear?

23 MR. REINER: That is quite possible, depending on how
24 that transition is executed, yes.

25 MR. POCH: Now, just in terms of the sort of risks
26 that are captured in your analyses and that aren't, in the
27 earlier panel that was largely dealing with Pickering, we
28 heard that there is a three-year project on to do a new

1 probabilistic risk assessment which looks at -- I think it
2 looks at the effect of multi-unit interactions rather than
3 just dealing with single units separately.

4 It is going to take some years to do. It is
5 complicated. Would you agree that that may lead to new --
6 the outcome of that may lead to new requirements from your
7 safety regulator. And if so, that would be an example of a
8 future capital cost uncertainty that isn't really -- it is
9 difficult to include in your -- in the analysis, your
10 business-case analysis?

11 MR. REINER: That particular example that you cited
12 was for Pickering. And that may happen at Pickering. It
13 is not the case for Darlington. We have done a
14 probabilistic risk assessment. That risk assessment did
15 look at multi-unit events, and that was incorporated.

16 So for Pickering -- for Darlington, excuse me, because
17 we are essentially the first refurbishment to make its way
18 through a new set of regulatory guidelines that the
19 Canadian Nuclear Safety Commission has issued, and under
20 those guidelines we are required to do that kind of
21 analysis, and have done that, and have provided it to the
22 Canadian Nuclear Safety Commission.

23 MR. POCH: Okay. And I perhaps put too much stress on
24 the example there. I think, in fact, in the technical
25 conference you mentioned that the CNSC, or Canadian Nuclear
26 Safety Commission, has in fact already told you that they
27 want you to look at seismic -- different standards for
28 seismic qualification and fire suppression on some of this

1 Darlington project, and you are in the process of doing
2 that. And I think you already -- correct me if I'm wrong
3 -- you've already agreed there may be some cost
4 implications of that that are not yet quantifiable.

5 MR. REINER: There is an outstanding regulatory issue
6 regarding Darlington's compliance on fire safety to the
7 current standard. So we are in discussion with the CNSC
8 with putting closure to that. And closure -- just for
9 background, closure doesn't necessarily mean that you must
10 construct precisely to the standard. It means you must
11 demonstrate how you are mitigating any gap that might
12 exist, and in the case of seismic, there is a new seismic
13 design curve that the Canadian Nuclear Safety Commission
14 uses in assessing whether or not construction projects that
15 have a nuclear safety component associated with them
16 comply.

17 In the case of our projects, that's not an issue for
18 the Darlington refurbishment as a whole. It could have an
19 impact on some of the campus-plan projects. We have
20 already addressed it for the D20 storage project. We're in
21 the process of addressing it for the third emergency power
22 generator project. That would be a second project that
23 would fall under that requirement.

24 MR. POCH: But -- that's helpful. More generally,
25 there could be -- there can always be either costs or
26 delays in this project or eventual subsequent capital costs
27 or operating costs due to regulatory issues that might
28 arise from time to time. I think that is difficult to

1 quantify, but you acknowledge that is a risk category?

2 MR. REINER: It is a risk category. And there is a
3 process that deals with that. So as part of the licensing
4 process, when we apply for a licence there is a requirement
5 to do the safety assessments and to do the risk
6 assessments, and those assessments are done against current
7 standards.

8 And they also incorporate operating experience,
9 nuclear operating experience worldwide. And we are
10 required as part of the relicensing then to identify any
11 potential gaps and mitigation. And the cost for doing that
12 is included in the OM&A costs that the stations have, as
13 well as the project portfolio costs. So they're accounted
14 for through the business planning process.

15 MR. POCH: So if I could parse that, what you're
16 saying is you expect, in the routine world that you have to
17 live in, there's always going to be some dealing with your
18 regulator, there is always going to be monitoring other
19 worldwide, what's going on, responding to that. You do
20 budget for a certain level of that. You're staffed up,
21 you've got staff that that is their file to manage.

22 But then what I was asking about is, as a result of
23 that there might be some new requirements. So that is an
24 uncertainty that we can't budget for and you can't quantify
25 at this time?

26 MR. REINER: Well, that -- I mean, the budgets that
27 the nuclear fleet has in its business plan account for
28 that. That's where those costs are captured.

1 So the costs that are captured here in the
2 refurbishment program deal with compliance to the current
3 standards. We were required to do an assessment which is
4 part of that integrated implementation plan to identify,
5 you know, how -- any potential gaps and addressing those
6 gaps to the current standards.

7 MR. POCH: I understand. No, I was really looking at
8 the risks in the LUEC, as opposed to in your capital cost
9 overnight estimate. And the LUEC, which takes into account
10 the future stream of operating capital costs, that is an
11 uncertainty in the LUEC as well --

12 MR. REINER: It would be included in the LUEC, because
13 it also takes into account the future OM&A costs and the
14 future portfolio costs. So we have accounted for -- there
15 is a capital investment component in the LUEC that deals
16 with precisely the requirement to potentially do an upgrade
17 because of a change in the licensing requirement.

18 MR. POCH: Okay. I didn't understand that, thank you.

19 Now -- and I know you have a number of uncertainties
20 in your LUEC, and you do a Monte Carlo analysis to --
21 because they're not all going to arise at the same time, so
22 that gives you a probabilistic range for -- depending on,
23 in the shuffle, how many of these things happen to overlap
24 one another.

25 In that analysis could you tell me, does that -- does
26 that analysis take into account sort of more remote
27 scenarios? For example, if you had a big multi-unit outage
28 because of a significant accident at the plant, a loss of

1 coolant accident, for example, is that part of that
2 analysis, or that would be an extraordinary event that
3 isn't captured in your LUEC?

4 MR. ROSE: The LUEC would include -- it includes a
5 capacity factor that is based on our medium confidence
6 based on ten years' experience. And we also have the
7 lifetime experience.

8 So if that event fell within, you know, beyond that
9 level of assumption within those capacity factors, it could
10 be an externality. But we've not assumed 100 percent
11 capacity factor, obviously. We've assumed average, based
12 on the performance of Darlington life to date, and the
13 medium confidence is based on the past ten years.

14 MR. POCH: Okay. I think the answer is you haven't
15 explicitly accounted for that unless that happens to be
16 part of the historic experience you have had with capacity
17 factor and the uncertainty you have allowed for that; is
18 that fair?

19 MR. ROSE: I believe that's fair.

20 MR. POCH: Okay. And just to get a sense of that, we
21 -- if we wanted to look at how significant that was, and I
22 am informed that your current probabilistic risk assessment
23 for Darlington doesn't provide us with, at least in the --
24 what is published publicly doesn't provide us with
25 estimates of outage lengths for different accident
26 scenarios.

27 So we actually -- we went back to the earlier one, and
28 I have included the few little excerpts of that, and Madam

1 Chair, I should say obviously the costs in this document
2 will be quite dated, and I am not putting any emphasis on
3 those. I am not going to be arguing that these are
4 indicative of what the costs would be in an outage
5 situation.

6 I just wanted, for the sense of the order of magnitude
7 of the risk here, to discuss this with you if I could, Mr.
8 Reiner. And you will see that starting at page 11 of our
9 document. And I can -- you can maybe jump to the bottom
10 line here at -- at page 14 of our materials is the -- they
11 have looked at nine categories of accident. And correct me
12 if I'm wrong. If we just look at the least significant
13 accident, that is the FDC number 9, we have LOCA, which is
14 loss of coolant accident, but there's no fuel failure.

15 So I assume in that case you wouldn't have a problem
16 of contamination of the reactor with components of the
17 fission products from the fuel. The only issue you would
18 be dealing with would be, presumably, some radioactive
19 steam that gets released; is that fair?

20 MR. REINER: Now, your -- maybe I need to make a
21 couple of points here. This is delving into a subject
22 matter where we would need to bring somebody with
23 expertise.

24 I don't have that personally.

25 MR. POCH: All right.

26 MR. REINER: And this dates back to analysis that was
27 done in the Ontario Hydro days under a regulatory regime
28 that was quite different.

1 So the types of risks assessments that are done today
2 are very, very different from this. They're quite
3 stringently regulated through the Canadian Nuclear Safety
4 Commission. So the order of probabilities of events today
5 would look very, very different.

6 They're also reflective of the safety systems that are
7 in the plant. So for example, if we talk about a steam
8 release, a radioactive steam release, we have been required
9 as part of the Darlington refurbishment to put a system
10 into place that ensures that we can vent steam without
11 releasing radioactive material, and therefore keep the
12 containment structures intact in the station.

13 So those events, with the implementation of those
14 systems, they really start to drop down the probabilistic
15 curve.

16 MR. POCH: I can calm your concerns here, that in fact
17 I picked that example precisely because it is a situation
18 where there isn't a release to the environment. We are not
19 talking about those scenarios here.

20 Let me just tell you why I'm asking about this and
21 then I will let you comment.

22 We looked at this and said for that least of
23 concerning of accidents that they looked at, you can see
24 there there is a mean frequency per reactor-year of 2.3
25 times 10 to the -- to, in other words, a 2.3 percent chance
26 of that for each reactor for each year it operates.

27 And then we looked at what is reproduced at page 13 of
28 our materials, and this is the outage duration that would

1 occur -- in the middle two columns -- for all four units if
2 you have such an accident, if you look at the -- under FDC
3 9, the row for FDC 9, it says from four to 7.5 months, four
4 units would be out.

5 And I just did the math, and it is, you know, 2.3
6 times 10 to the minus 2 times four units times 30 years, so
7 an expected 2.76 events, with a four to 7-and-a-half month
8 outage for all for units.

9 It seemed to me that is adding up to a significant
10 number that would affect your assessment of average
11 capacity factor, looking forward for 30 years.

12 I am wondering, given that you have -- your LUEC, as
13 you said earlier, just said all you have done is looked at
14 what the range of experience to date, am I correct that --
15 this kind of analysis that I have just gone through, and
16 admittedly with old numbers -- I have heard your caveats --
17 you haven't done that in crystallizing your LUEC going
18 forward?

19 MR. REINER: So we -- the LUEC going forward does not
20 explicitly include an assumption of reduced capacity factor
21 resulting from a significant safety event.

22 I just caution you not to take these numbers and
23 conclude that it is a high-probability event, which I think
24 you were doing.

25 MR. POCH: These were the only numbers available to
26 me. And I hear your caution and I assure you -- I hear
27 your caution. But you're telling me you haven't got other
28 numbers to provide us with, and you didn't do that

1 analysis?

2 MR. REINER: Well, there is a probabilistic risk
3 assessment that was submitted to the Canadian Nuclear
4 Safety Commission that was presented as part of the
5 environmental assessment. These numbers would have been in
6 that.

7 But the probabilities, again, end up being so low that
8 it becomes an outlier when you apply it to the LUEC.

9 And it really does not -- you know, it becomes one of
10 these very low-probability, high-consequence events that is
11 at that top tail of the LUEC curve.

12 MR. POCH: All right.

13 MR. REINER: So it is -- it really doesn't weigh into
14 the LUEC.

15 MR. POCH: Okay. I wanted to ask you about another
16 area of costs that aren't --

17 MS. HARE: Can I -- I am sure it is in the evidence,
18 but what is the date of this report, the Darlington
19 probabilistic safety evaluation?

20 MR. POCH: This one is quite old. You can help me,
21 sir --

22 MS. HARE: How old?

23 MR. POCH: I think would be from the --

24 MR. REINER: This says Ontario Hydro, so that would be
25 pre-1999.

26 MR. POCH: Yes. Which is why I cautioned --

27 MR. REINER: I do not know the date. I don't
28 recognize this report.

1 MS. HARE: That's fine.

2 MR. POCH: We don't have -- we did look at the more
3 recent one. And this information is not available to the
4 public, so this is why we went back to this one.

5 MS. HARE: I think Ms. Duff has a question as well.

6 MS. DUFF: Do you mind if I interrupt?

7 MR. POCH: By all means go ahead.

8 MS. DUFF: Just regarding your current state, where
9 you are -- the probability -- probabilistic events that are
10 evaluated, that's done through the nuclear -- Canadian
11 Nuclear Safety Commission, am I to understand that the
12 scenarios that are reviewed and are presented and
13 evaluated, this Panel can rely or should rely on the review
14 and evaluation being done by that other commission with
15 respect to this risk?

16 MR. REINER: I would say yes. This Panel would need
17 to rely on that, because that's done through the
18 environmental assessment process and the licensing process
19 that the Darlington station is required to operate under,
20 which the Canadian Nuclear Safety Commission administers.

21 MS. DUFF: Thank you.

22 MR. POCH: Thank you. And I wasn't suggesting
23 otherwise, Ms. Duff. I was just looking at what the
24 operating and capital cost consequences are of whatever
25 risk that process allows to persist.

26 MS. DUFF: Understood.

27 MR. POCH: So turning to another aspect, we heard in a
28 technical conference that you had a blue ribbon committee

1 review, amongst other reviews you have done, of your scope.

2 You continue to review your scope on an ongoing basis.

3 Thus far, they made a recommendation. I think it is

4 -- I think I can say the amount. It is not confidential?

5 You're nodding.

6 MR. REINER: No.

7 MR. POCH: What you have used the term "scrubbed"

8 \$179 million of the capital costs from the Darlington

9 refurbishment project, some of which is deferred to the
10 operating period.

11 I did discuss with you in the technical conference one
12 example of that. There was \$30 million of the cost of the
13 turbine controls for Unit 2, which is the first unit you
14 are refurbishing, have been deferred to the operating
15 period.

16 And you explained you wanted to do that because there
17 is a lot of uncertainty in -- in, I think you called it,
18 the burn-in or the teething period for turbine controls.
19 You wanted to get that out of your critical path.

20 MR. REINER: Yes. There were two reasons. That was
21 one of the reasons, is there was a risk mitigation decision
22 that was made.

23 But there was another primary reason. The life of the
24 turbine generator, including the control system, is around
25 about 300,000 equivalent full-power hours. And you will
26 see in our evidence that the first unit is actually coming
27 down well before that.

28 So there is useful life left in the existing system,

1 and it would not make sense for us to replace it
2 prematurely. There's a time value for money element here
3 that also weighs into that decision.

4 MR. POCH: I guess what I was getting at is you have
5 taken that out of your capital cost estimate for this
6 project. It presumably is in your LUEC?

7 MR. REINER: It is in the LUEC, yes.

8 MR. POCH: Because it is foreseen in the future. But
9 it is a cost that is only going to be incurred because of
10 the refurbishment, and indeed you are going to incur it for
11 the subsequent three units being refurbished; correct?

12 MR. REINER: Well, we are -- again based on sort of
13 timing of when the units come off-line and the state of the
14 system, it is in scope to be executed during refurbishment
15 for the other three units. So it's included in the
16 \$10 billion cost estimate.

17 But the cost -- the \$30 million deferral, that would
18 be part of the project portfolio, which is in the LUEC and
19 is in the nuclear business plan.

20 MR. POCH: Right. Okay. Another thing we have talked
21 about is the tritium removal facility, and you're going to
22 have to -- you're doing a life extension on that and you
23 have to support that, necessitated by the longer life you
24 are now predicting for Darlington.

25 I take it that that is not something that is -- other
26 than -- the portion of that that you can avoid by doing the
27 D2O handling facility, that life extension, that is a
28 future cost that is also not part of your capital cost

1 estimate, your 10 billion.

2 MR. REINER: Yes, it is not part of the 10 billion.
3 Again, it would be in the project portfolio and would be in
4 the LUEC.

5 MR. POCH: All right. You have identified -- and I
6 think at page 21 and 22 of our materials -- I am almost
7 done here -- you have identified...

8 I've got the wrong page, perhaps. Hang on.

9 Right. Yes. This is in response to Board Staff 58,
10 L4.12, schedule 1, Staff 58, part (c). If you stop after
11 doing the first unit, Unit 2, and you had a \$.7 billion
12 overrun and no further units built, you go -- you answer
13 you would have an 11 to 15 cent per kilowatt-hour
14 levelized unit energy cost for the power that would come
15 out of that unit.

16 And then it says "production only", and I just wanted
17 to ask you, what's that caveat, "production only", refer
18 to?

19 MR. ROSE: I think the caveat is getting back to the
20 question that is asked, that the other units, units 1, 3,
21 and 4 would not be producing energy.

22 MR. REINER: Sorry. Yes. It is units to production
23 only, not Unit 2, 3. Unit to production only.

24 MR. POCH: All right. And --

25 MS. HARE: Just to clarify for the transcript, you
26 took us to page 21 and 22, and then you realized those were
27 the wrong pages, and then you mentioned the interrogatory
28 response. That is not in your compendium, right?

1 MR. POCH: No. I misspoke. This is indeed Staff 58
2 at page 21 and 22, and part (c) is responding to this
3 scenario that staff posed --

4 MS. HARE: That starts with "while OPG believes"?

5 MR. POCH: Yes. That's right. part (c), this is
6 OPG's answer --

7 MS. HARE: Yeah, okay. That's fine.

8 MR. POCH: -- they don't --

9 MS. HARE: Very good, thank you.

10 MR. POCH: -- don't think it is a realistic scenario,
11 but there you are.

12 Is there somewhere where the Unit 2 costs are broken
13 out separate from the overall project? The cost estimate?
14 What is the equivalent of the 10 billion for the -- for
15 Unit 2 only?

16 MR. ROSE: I don't recall.

17 MR. POCH: Can we get an undertaking to provide that,
18 either point to where in the evidence it is or provide it?

19 MR. ROSE: We will take an undertaking to either
20 provide it or let you know where it has already been
21 provided.

22 MS. HARE: Thank you, Mr. Millar.

23 MR. MILLAR: J15.1.

24 **UNDERTAKING NO. J15.1: TO PROVIDE INFORMATION RE:**
25 **WHERE THE UNIT 2 COSTS ARE BROKEN OUT SEPARATE FROM**
26 **THE OVERALL PROJECT AND TO PROVIDE THE EQUIVALENT OF**
27 **THE 10 BILLION FOR UNIT 2 ONLY.**

28 MR. POCH: And I guess there's a concern because the

1 government has specifically said, Let's just do one unit
2 and see how it goes before we commit to the other ones.

3 And we saw with the -- at least with that turbine
4 situation that the first unit's in a different position
5 than the other ones. Some of those costs are being
6 deferred and so on.

7 Are there any other -- other than it being the first,
8 are there other distinctions where there's costs that you
9 are not seeing in Unit 2, but that you are going to see in
10 the subsequent units?

11 MR. REINER: There wouldn't be anything. But, I mean,
12 there are differences between units. They're not
13 significant differences. So I would say this is probably
14 the only case where there is a significant expenditure that
15 would not be incurred on the first unit during
16 refurbishment.

17 MR. POCH: Has there been any guidance from your
18 shareholder as to what the acceptable end price is for --
19 end cost is for Unit 2?

20 MR. REINER: There hasn't been guidance, but the way
21 that we are approaching this is, we are going to issue a
22 release quality -- cost and schedule estimate. It is going
23 to be a public release. That will form the yardstick
24 against -- we get measured. We haven't got specific
25 guidance that says you can be 1 percent or 5 percent or 10
26 percent over before we -- so I think it would be a case of,
27 if we are in a scenario where there is a cost overrun or a
28 schedule delay where it would need to be understood what

1 resulted in that, and, you know, any decision would get
2 made at that point in time.

3 Now, if it's an event that would result in a very
4 significant cost overrun, it would also become very visible
5 just by virtue of the fact that we are going to issue this
6 release quality schedule.

7 And it will give the opportunity for the shareholder,
8 this Board, and essentially the public to track our
9 performance and progress on the project.

10 MR. POCH: All right. And I take it that that -- the
11 fact that you have no guidance from the Minister on what is
12 acceptable applies to both the Unit 2 costs and to the
13 overall costs.

14 MR. REINER: It would apply to the Unit 2 costs and
15 the overall costs, but our release quality estimate will
16 break down, so it will identify that Unit 2 cost, and so
17 that would form the base line.

18 MR. POCH: Thank you. Madam Chair, thank you, those
19 are my questions. I think that is probably the last I will
20 be in your hair for this hearing, so thank you --

21 MS. HARE: For now.

22 MR. POCH: -- for this opportunity.

23 MS. HARE: All right. Thank you, Mr. Poch.

24 I think we will take our lunch break now and then
25 resume at 1:30 with CME's cross-examination by Ms.
26 Blanchard. Thank you. So 1:30.

27 --- Luncheon recess taken at 12:27 p.m.

28 --- On resuming at 1:40 p.m.

1 MS. HARE: Please be seated.

2 The Panel apologizes for the delay. What we were
3 doing was reviewing the interim cost claims with a view to
4 issuing a decision next week. I just want to explain that
5 we weren't having a leisurely lunch.

6 [Laughter]

7 MS. HARE: So, Ms. Blanchard, you're ready?

8 **CROSS-EXAMINATION BY MS. BLANCHARD:**

9 MS. BLANCHARD: Yes, thank you.

10 I am going to focus my questions this afternoon
11 primarily on the issue relating to the reasonableness of
12 the commercial strategy and contracting model. And with
13 that in mind, I would like to take you to the Concentric
14 report, and in particular the report that speaks to the
15 overall contracting model, which is found at Exhibit D2-2-
16 1, attachment 7-1. And I am going to start on page 4 of
17 that report.

18 Now, in the context of this review, Concentric first
19 set out some general observations that were going to frame
20 the consideration of what was being proposed for DRP, and
21 those are found starting under the heading "General
22 observations." And there is really three key observations
23 there.

24 The first one is that in Canada we have a very limited
25 marketplace for both -- well, for nuclear, for qualified
26 nuclear engineering fabrication and construction services.

27 And Concentric goes on to note that of the pool of
28 vendors available in the Canadian market, only one has

1 recently provided a full turn-key refurbishment of a CANDU
2 reactor. And that's, I'm understanding, a reference to the
3 Point Lepreau project.

4 So essentially, would you agree with me what is being
5 flagged here is really less than ideal commercial
6 circumstances for initiating a megaproject like this?

7 MR. REED: It is certainly less than perfect
8 competition. So to the extent you believe that a
9 heightened level of competition is ideal, I would agree
10 with that.

11 MS. BLANCHARD: So do you not agree that competition
12 is important for assisting with obtaining optimal
13 contractual terms?

14 MR. REED: Some degree of competition is necessary.
15 We run a lot of competitive processes where there have been
16 two or three bidders and that was sufficient to produce a
17 successful level of competition.

18 It is not perfect. There is not perfect competition
19 in this market, and there are a lot of intellectual
20 property restrictions that have to be abided by, as well as
21 the limited pool of vendors.

22 But that doesn't mean that there aren't workable
23 solutions to get to a reasonable price and to get to value
24 for money.

25 MS. BLANCHARD: And while we're on the subject of the
26 IP, because I think you were referring probably to the
27 Alstom contract on the turbine component of the project, so
28 I understand that there are a number of components of this

1 project that have had to be sole-sourced, or where sole-
2 sourcing was identified as the best approach because of IP
3 issues or because of -- because of a general understanding
4 that having the original designer in the midst can be
5 optimal for these projects?

6 MR. REED: Yes. There is two separate issues there.
7 One is IP and the other --

8 MS. HARE: If I could just interrupt, "IP," you're
9 talking about intellectual property?

10 MS. BLANCHARD: I apologize. I --

11 MS. HARE: Can you please say that instead of "IP"?
12 Because you know what happens? Years later people look at
13 the transcript and they go: Like, what's that?

14 MS. BLANCHARD: I apologize, Madam Chair.
15 Intellectual property.

16 MR. REED: Yes. So the first issue is intellectual
17 property. And both fuel handling as well as the turbine
18 had issues with regard to who had the rights to
19 intellectual property with regard to the existing design
20 and the existing configuration.

21 Apart from that, there's also many other reasons to
22 have the OEM involved in a refurbishment. Whether that is
23 specialized tooling or knowledge of the equipment, it's not
24 just limited to the possession of intellectual property.

25 MS. BLANCHARD: And just for the record, the OEM is
26 the original engineering designer?

27 MR. REED: It is the original equipment manufacturer.
28 Sorry, I will try and avoid the use of acronyms as well.

1 MS. HARE: Please.

2 MS. BLANCHARD: No. Thank you. We're all guilty of
3 it in this process.

4 So we have a number of components of the project that
5 have been sole-sourced for a number of reasons, and that
6 has produced some risks that have had to be managed. And
7 those are identified in some of the other reports.

8 So I am going to come back to that in a moment, but
9 essentially we're dealing with a market that produces less
10 than perfect competition, and so that's one of the factors
11 that is going to be driving the analysis or the selection
12 of the contracting model for DRP?

13 MR. REED: That's fair.

14 MS. BLANCHARD: So then I am just going to move on to
15 the next general observation. So the next observation --
16 and I am not going to get into this too deeply, because we
17 have heard a lot of evidence on it, but the next
18 observation looks at the three significant CANDU either
19 return-to-service projects or refurbishments that have
20 happened in recent years in Canada.

21 And the statement from Concentric regarding those
22 three projects is, one, all three of them used a different
23 contracting model. And none of those models represent a
24 successful commercial strategy.

25 MR. REED: I'm not sure we have the phrase: None of
26 them represent a successful strategy. But each used a
27 different model and each of them faced challenges.

28 MS. BLANCHARD: So the actual line is:

1 "No Canadian CANDU refurbishment or return-to-
2 service project to date represents a model of a
3 successful commercial strategy."

4 MR. REED: That's correct.

5 MS. BLANCHARD: So I'm just going to touch, briefly,
6 on the three, just to get a sense of what the options were.

7 So the first one was Pickering. And I think we've
8 discussed a little bit this partnership model. And as I
9 understand it, what that entails, from a very high level,
10 is bringing a number of contractors together in a form of
11 joint venture together with OPG, so that the risk of cost
12 overruns and scheduling is distributed amongst the
13 partnerships.

14 MR. REED: Your description of the partnering model is
15 accurate. I am a little bit lost by your reference to
16 Pickering.

17 I would not describe Pickering as being in a
18 partnership model.

19 MS. BLANCHARD: Was it not? Okay. What was the model
20 used at Pickering?

21 MR. REED: For the Pickering return-to-service -- or
22 parts project, I assume we're talking about -- I have
23 described that as more a self-perform model.

24 MS. BLANCHARD: A self-perform model?

25 MR. REED: Yes.

26 MR. REINER: Maybe I could weigh into that. It
27 started on the first unit as a turn-key project.

28 MS. BLANCHARD: Okay.

1 MR. REINER: And because of the difficulties that were
2 encountered on the first unit, when Unit 1 -- and that was
3 Unit 4 -- when Unit 1 was executed it became essentially a
4 self-perform model.

5 MS. BLANCHARD: So self-perform model as distinct from
6 a multi-prime model that I will want to go to in a minute.
7 But self-perform means that internally OPG employees
8 completed the work?

9 MR. REINER: Let me define that a bit better.
10 It wasn't exactly a self-perform. The construction
11 workforce was provided through a contractor. But OPG
12 directly managed that workforce. It was done in
13 conjunction with the contractor, but it was OPG management
14 and oversight of that workforce. But the workforce did
15 come through a contract.

16 MS. BLANCHARD: So omitting for a moment that it
17 started as a turn-key, did it wind up like a multi-prime
18 contract model, because OPG was acting as the project
19 manager?

20 MR. REINER: It's sort of -- I would call it a hybrid,
21 somewhat of a hybrid. There was a contract for the
22 construction workforce. There was also a contract for
23 engineering-related services with Atomic Energy of Canada,
24 and I don't know precisely, but there may have been other
25 contracts as well, but the similarity with that project and
26 what we've done on refurbishment, what was recognized on
27 Unit 1, is the more direct involvement of OPG to manage the
28 work.

1 MS. BLANCHARD: So you have indicated that it was a
2 hybrid. So in terms of what's being presented as the
3 contracting model or commercial strategy, I understand
4 there's two components.

5 One is, it's multi-prime. So OPG is the project
6 manager, and there are a number of contractors that OPG is
7 managing. And the second component is that there is a use
8 of -- within those multiple contracts, a use of target
9 pricing and sometimes fixed pricing wherever --

10 MR. REINER: There is a use of target pricing and
11 fixed pricing, and maybe the other nuance that I can
12 identify for you is the other change that was made for
13 refurbishment, is the engineer/procure/construct concept.

14 So engineering for Pickering was done by Atomic Energy
15 of Canada for the entire project, and then those
16 engineering work packages were essentially handed over to
17 the group that managed the construction work, and they
18 created the comprehensive work packages that then are the
19 instructions to the field for execution of the work.

20 And what we learned in that exercise is, when you have
21 that kind of a disconnect, when the work starts to get
22 executed in the field, if there is something in the plant
23 that is different than what the engineering drawings tell
24 you, there is a process where the constructor starts making
25 field changes and needs to get things back to engineering.
26 Engineering make changes. It needs to make its way back to
27 the constructor. And that creates an opportunity for
28 finger-pointing, if you will, because they are two separate

1 contractors.

2 What we have done is, through the engineer/procure/
3 construct concept, we have tried to bundle work items into
4 distinct scopes, you know, high-level scopes where the
5 engineering and procurement and construction is all done by
6 the same contractor to avoid those hand-offs that occur
7 when engineering gets done and construction starts, so that
8 there is one accountable entity to ensure that field walk-
9 downs are done, there is an understanding of what
10 physically is in the plant and what the deviations are
11 relative to what the paper tells you from an engineering
12 perspective.

13 So that would be a variation, a learning, that came
14 out of that sort of evolution that happened through
15 Pickering.

16 MS. BLANCHARD: But aren't you still having some --
17 some of the bundles -- you've described five major work
18 packages.

19 MR. REINER: Yes.

20 MS. BLANCHARD: And within some of those five, at
21 least if I were to take the turbine component for an
22 example, my understanding is that Alstom is doing the
23 engineering because they are the --

24 MR. REINER: The original --

25 MS. BLANCHARD: -- I want to say OEM, but the words
26 that connect to that acronym.

27 [Laughter]

28 MR. REINER: Yes.

1 MS. BLANCHARD: And then there's others. And that
2 actually was identified as a risk by Concentric when it was
3 doing its review of that component.

4 MR. REINER: Yes. So the turbine generator bundle is
5 unique in that regard, and the fuel handling as well, and
6 to put context around it, the sole-sourcing component of
7 that amounts to less than \$250 million in the entire bundle
8 of work. So there was a competitive process.

9 Now, we -- our initial strategy with the turbine
10 generator work, because of these intellectual property
11 restrictions that Mr. Reed talked about, the turbine
12 generator sets for Darlington are custom-built to a
13 specification from Ontario Hydro. They are not an off-the-
14 shelf item, so to speak. They are completely customized
15 for Darlington.

16 Back when Darlington was constructed, there wasn't a
17 lot of thought given to intellectual property. And so the
18 rights were retained by the original equipment
19 manufacturer.

20 We had a desire to maintain that engineer/procure/
21 construct concept and stay true to that strategy. So we
22 embarked on a sole-source negotiation with Alstom for the
23 entire scope of work: engineering, supply of materials,
24 and management of the construction work force, which is a
25 relatively large work package.

26 We could not get to a successful conclusion. And the
27 premium that Alstom put on this job was so significant it
28 essentially priced it from our perspective out of the

1 market.

2 We recognize that there was a risk that was going to
3 be incurred in separating the work. We separated
4 engineering and procurement of parts and negotiated an
5 agreement with Alstom for that part, and we negotiated a
6 separate agreement that was run under a competitive process
7 to manage the field installation and the construction part
8 of it.

9 And essentially, in that particular contract, the
10 integrator is now OPG. We have been able to mitigate that
11 risk to a degree. We have got the two contractors signed
12 -- signed off on an agreement that deals with the
13 interchange of information and communications.

14 It is essentially, call it a collaboration agreement
15 that avoids these issues that I talked about, where a
16 designer may say something and then a constructor says,
17 Well, that's not what I see here in the field. You need to
18 go back and redesign. So we've mitigated that by getting
19 both contractors to sign off on a collaboration agreement.

20 MS. BLANCHARD: Okay. So I'm not going to spend too
21 much longer on the turbines, but there was a recommendation
22 from Concentric that the Alstom contract be assigned to the
23 contractor who is ultimately retained to do the bulk of the
24 project in order to avoid what you're describing at
25 Pickering, which was sort of the contractor in-fighting
26 kind of situation.

27 And I think what I am hearing is, that didn't happen.
28 There is something called a cooperation agreement that's

1 been executed instead.

2 So OPG is remaining in a direct relationship with
3 those two contractors, and there's been an attempt to
4 mitigate that issue, but, you know, it's not the full
5 assignment that Concentric was advocating.

6 MR. REINER: That's correct.

7 MS. BLANCHARD: Okay. So I was just going to go
8 through the three quickly, so we've talked a little bit
9 about Pickering. Point Lepreau, we've heard it was a
10 turnkey fixed-price. You discuss it on page 7, or
11 Concentric discusses it on page 7 of the report, when it is
12 looking at the different alternatives that were considered.

13 And we have heard that Point Lepreau wasn't considered
14 a successful delivery of a mega-project, in that it went
15 over schedule and they were required to pay for additional
16 power.

17 But there's also a statement which says that the
18 turnkey strategy did largely protect NB Power from cost
19 overruns. And so as I understand it, you know, the turnkey
20 approach would still have been an attractive one in this
21 situation but for the limited market and the statements
22 from SNC-Lavalin that they were not prepared to consider
23 that kind of arrangement on a go-forward.

24 MR. REED: Let me start that answer and then ask Mr.
25 Reiner to chime in with regard to operational issues.

26 With regard to purely contracting issues and price, I
27 would not conclude that but for the limited market that
28 fixed-price or LST -- lump-sum turnkey contracting would

1 have been the best choice.

2 It always comes down to price. It always comes down
3 to a willingness to accept risk and the specific terms of
4 those turnkey kinds of contracts.

5 As I said, there is typically six or seven categories
6 of events and developments that are excluded from the price
7 protection in a lump-sum turnkey contract, and those can
8 essentially be a huge door that you could drive a truck
9 through.

10 So I would not conclude that. It was attractive,
11 obviously, to Lepreau. Lepreau is a fundamentally
12 different position and type of project, and it is important
13 to understand this.

14 Lepreau was going to be shut down. NB Power was
15 shutting down Lepreau completely. There is nothing else
16 going on at the site. And all of the activities on-site
17 were focused on refurbishment. Totally different than an
18 existing site where you've got three other operating
19 reactors, three other units that are in full-scale
20 operation, and you have many common systems between the
21 four units, the biggest of which is fuel handling.

22 So the need for the owner to maintain control over the
23 structure and avoid, essentially, turning over the keys of
24 the plant to the contractor really helped drive the
25 decision as much as the cost or risk transfer issue.

26 The ability to do a turn-key arrangement where you've
27 got three other units on site, sharing systems that have to
28 be operated and maintained under the authority, the

1 licenced authority of OPG, is really completely different.

2 But, again, I would invite Mr. Reiner to comment on
3 that further.

4 MR. REINER: Yes. And I think everything that Mr.
5 Reed said is correct.

6 Now, the other insights I can offer you on this is the
7 schedule delays had a direct financial impact on the
8 utility.

9 And there is litigation currently. This isn't just
10 the contractor picked up the cost and held the utility
11 neutral. There is litigation currently underway to resolve
12 the claims surrounding that.

13 So from -- if I were to look at it as, you know: Was
14 that a successful model to mitigate risk? It did not
15 mitigate schedule risk. In fact, it did the exact
16 opposite.

17 I had explained this, and I can't recall if it was at
18 the technical conference or not. The decision made by the
19 contractor to progress the work, knowing that there is a
20 technical issue, was left to the contractor to establish.

21 That decision was driven -- I'm quite certain that an
22 input into that decision was the contract that they were
23 operating under, fixed price, profit margins that needed to
24 be made within that fixed price. So they took a risk.

25 It's a risk that we would not take, and we would never
26 -- we would never empower a contractor to have the kind of
27 position to make that risk judgment call on our behalf.

28 So from that perspective, it was not a successful

1 outcome.

2 MS. BLANCHARD: All right. So then the last
3 comparator that we have is Bruce, and I would suggest that
4 that's another attempt to try to tie up all of these
5 disparate parts of the project by hiring a third-party
6 project manager to deliver the project, as another effort
7 to distribute that risk for cost overruns.

8 And we're told that that was -- that was not an
9 effective approach at Bruce and ultimately it was
10 abandoned.

11 But we're also told that that also relates or ties
12 back to this limited market, because one of the issues they
13 had at Bruce was that the project manager -- or I think it
14 was at Bruce, although maybe this was just suggesting that
15 this might be an issue -- that because of the limited
16 market, the project management company would likely also be
17 the same company that would be delivering some parts of the
18 work packages, and that would -- that creates friction
19 amongst the vendors.

20 MR. REINER: In that particular case, that was, in
21 fact, the case, that the project manager, they would also
22 have a direct role in executing some of the work, and that
23 they would create some complexity.

24 But I think the key learning in that was there was an
25 attempt to -- so there was a recognition that the multi-
26 prime model is actually a good model.

27 However, what happened there is, as you said, the
28 project management got contracted out. And that led to

1 decisions around the project that the owner, then, needed
2 to intervene on in order to keep the project on track.

3 Now, I just maybe want to clarify something about sort
4 of the limited market. What Mr. Reed identifies is 100
5 percent correct about the limited number of qualified
6 suppliers.

7 There are ways to and processes in place that qualify
8 suppliers to the standards required. And so when we enter
9 into a RFP, for example, we do at times begin negotiations
10 where a supplier may not be qualified. But when we embark
11 on that kind of a process, we very quickly have a
12 discussion with them about what the qualification entails,
13 what they need to be able to demonstrate as part of their
14 own quality program, and enhancements they need to make.

15 And that can have two outcomes. The supplier either
16 says: Yes, we're prepared to go down that path, or: No,
17 we're not prepared to go down that path, and we will pull
18 back.

19 In regards to the re-tube and feeder replacement
20 contract, which is the largest of them, we actually had
21 very healthy competition.

22 We started with seven respondents to an expression of
23 interest. We went through a process of narrowing those
24 suppliers down, based on a criteria that looked at
25 technical capability, project management capability, a
26 number of criteria. We narrowed that field down to three
27 contractors.

28 Through the acquisition of Atomic Energy of Canada by

1 SNC-Lavalin, there was a natural partnering that occurred,
2 which narrowed the field to two.

3 And we actually took both contractors through the
4 negotiation, right to very close to the finish line. And
5 by having negotiations simultaneously with two contractors
6 -- they both knew that the negotiations were underway -- it
7 created a very healthy amount of competition.

8 MS. BLANCHARD: So at the end of the day, you only had
9 two requests for proposals that were actually sent out?

10 MR. REINER: We narrowed the field to three, which
11 then narrowed itself to two. And we asked those two
12 suppliers to provide us a response, through the formal -- a
13 submission on an RFP that we then issued to those two.

14 MS. BLANCHARD: Okay. So I am just going to move on a
15 little bit now.

16 So the multi-prime model is the model that's being
17 proposed for DRP. And we know that there are some
18 significant risks associated with that model; like any
19 model, but there are significant risks.

20 And one of those is that vendor-caused delays would
21 affect other vendors. And so that is a risk that is unique
22 to the multi-prime model, in that the owner is the
23 middleman, and has to ensure that everyone plays nicely
24 together?

25 MR. REINER: Yes. And that is a recognized risk. And
26 that does drive, from an owner's perspective, a level of
27 oversight.

28 But the way -- in large part, the way that risk gets

1 mitigated is by bundling project work in such a way that
2 you can essentially create construction islands where there
3 aren't those kinds of interferences.

4 So for example, for the re-tube and feeder replacement
5 job, the only contractor that will be inside the reactor
6 vault at Darlington is the joint venture. The only
7 contractor that will be on the turbine hall, doing the
8 turbine generator work, is the Alstom -- Alstom and Aecon
9 through this partnering agreement.

10 So we are able to, through scopes of work, island as
11 much as we can, but there are examples where we can't
12 island everything, and then there needs to be a
13 coordination.

14 That has been factored into our scheduling
15 methodology, and we have a process where each contractor
16 attends a regular scheduling meeting where they bring their
17 detailed schedules, they identify the potential
18 interferences. Those get rolled up, and we have a
19 discussion across all contractors to address: So this job
20 is finishing today. What do you need to continue it
21 tomorrow? Is another contractor in the way? So we have a
22 look-ahead process where we start to clear those
23 interferences. And that is run by OPG too, and that's
24 exactly intended to mitigate that risk.

25 MS. HARE: Ms. Blanchard, if I can interrupt, you
26 actually didn't ask a question. You haven't for a while.
27 You make a statement, giving Mr. Reiner the opportunity to
28 make long speeches, but I don't actually know what the

1 question is and what he is answering.

2 MS. BLANCHARD: I apologize. I will try to --

3 MS. HARE: Well, not just you, but also the witnesses;
4 please, just answer the questions.

5 MR. REINER: Yes. I was just attempting to clarify
6 the --

7 MS. HARE: If you look back at the transcript, you
8 will see -- because Mr. Keizer is frowning at me -- you
9 will see that there are lots of opportunities here where
10 there are long speeches here, but you know, I'm looking at
11 my fellow panellists and saying: What was the question
12 that he is answering?

13 MR. KEIZER: Well, I think Mr. Reiner believed there
14 was a question, and I believe Ms. Blanchard believed there
15 was one as well.

16 MS. HARE: Okay. You can look back and see what the
17 question was.

18 MR. KEIZER: And I believe Mr. Reiner is trying to be
19 helpful to the Board.

20 MS. HARE: No, I am sure he is. Hey, listen. I have
21 been a witness. I know what it's like.

22 [Laughter]

23 It is not pleasant.

24 [Laughter]

25 MS. HARE: But it is also not helpful to go on instead
26 of just hitting the high points.

27 MR. KEIZER: Well, I believe he will do his best to
28 answer the question.

1 MS. HARE: Thank you.

2 MS. BLANCHARD: Okay. So I am going to ask a question
3 that maybe has a short answer.

4 You've got five major work packages, but in those five
5 there are a number of significant subsets. And so to just
6 get a sense of the number of -- a sort of ballpark number
7 of major vendors that you are dealing with, I wondered
8 whether it would be useful to refer to the breakdown of the
9 contracts that was provided in Undertaking JT2.3, where the
10 five packages are broken down into different forms of
11 contracts.

12 You went over this with Mr. Poch this morning. It is
13 at page 31. So would each of these lines represent
14 different vendors? I am counting 17.

15 MR. REINER: No. If you look on the left side of
16 that --

17 MS. BLANCHARD: Yes, yes.

18 MR. REINER: -- so re-tube and feeder replacement -- I
19 apologize if this is going to sound like a speech. I am
20 trying to be helpful -- re-tube and feeder replacement is a
21 joint venture, SNC-Lavalin and Aecon, so two contractors
22 under joint venture -- that is for everything, so it is
23 under one contract.

24 MS. BLANCHARD: Yes.

25 MR. REINER: Fuel handling, there are two contracts.

26 MS. BLANCHARD: Yeah.

27 MR. REINER: One is for de-fuelling with General
28 Electric --

1 MS. BLANCHARD: Yeah.

2 MR. REINER: -- the other has not yet been determined.

3 MS. BLANCHARD: Okay.

4 MR. REINER: Steam generators is the -- Alstom doing
5 the engineering and -- sorry, excuse me, my mistake, steam
6 generators is Babcock & Wilcox, partnered with Atomic
7 Energy of Canada, under one agreement, turbine generator is
8 the Alstom for engineering and components, and Aecon to do
9 the construction work. And balance of plant, there are two
10 contractors, E.S. Fox and Black & McDonald.

11 MS. BLANCHARD: Okay. So I counted ten. Yes, okay.
12 So there's ten major vendors, and then whatever
13 subcontractors they might --

14 MR. REINER: Correct.

15 MS. BLANCHARD: Okay. So Concentric indicates that
16 the project team has limited experience in managing vendors
17 under the multi-prime model, and that is in the last
18 paragraph on page 6, and goes on to recommend that owner
19 support services would be necessary to supplement that
20 experience.

21 And so are the owner support services that Concentric
22 is referring to the kind of services that Modus is
23 providing? Is that what's being referred to when you're
24 describing owner support services?

25 MR. REED: I will start. No, I would include Modus as
26 providing additional support services, but OSS is a defined
27 set of vendors.

28 An example is Faithful & Gould, who is brought in for

1 cost estimation. Others have been brought in for
2 engineering. Mr. Reiner can probably speak to the specific
3 names, but OSS is a defined group of vendors that are on
4 call to provide support services in different functional
5 areas.

6 MS. BLANCHARD: Okay. So --

7 MR. REINER: That's correct.

8 MS. BLANCHARD: So would Modus be considered under
9 this umbrella then? I wasn't clear on your answer.

10 MR. REINER: No. We would not consider Modus under
11 that umbrella, because Modus was contracted by the nuclear
12 oversight committee, not by the project.

13 MS. BLANCHARD: Okay.

14 Okay. I'm going to go back now to the report on the
15 turbines, and I am going to go -- so that is attachment 7-
16 2, and I am going to go to page 11 of that report, where
17 Concentric is providing some observations and
18 recommendations relating to how -- to how that project has
19 been -- or how that contract has been structured to date.

20 And in particular, there's a discussion about
21 achieving internal alignment, and that relates to the
22 issues that were identified when the sole-source
23 negotiations with Alstom continued for a period and then
24 ultimately produced this proposal, which was out of keeping
25 with OPG's expectation.

26 So when Concentric is discussing, you know, working
27 towards internal alignment, is that a reference to a
28 situation where management might be at odds with the people

1 who are running the procurement? Or why is there
2 improvement being suggested here? It seems -- I guess, to
3 rephrase the question, there's a suggestion that there is
4 room to improve on internal alignment. And so what was --
5 what was the issue there?

6 MR. REED: The issue was alignment between two
7 different management groups within the company, supply
8 chain and project management. In this case, project
9 management advanced the discussion of moving to a sole-
10 source strategy within the project management group, and
11 believed it had supply chain on board with that decision.

12 Supply chain ultimately has to sign-off, or the VP of
13 supply chain ultimately has to sign off on the sole-source
14 justification for moving to that strategy.

15 There was an unfortunate situation where the position
16 or the person in that position, the VP of supply chain,
17 changed over in the middle of a sole-source consideration,
18 and what looked like it had been alignment on a strategy
19 did not become alignment with the new individual coming
20 into that position.

21 So it ended up not being terribly problematic. It is
22 the kind of thing where we recommended that there be better
23 documentation and a discussion earlier in the commercial
24 strategy with supply chain on the course being taken,
25 rather than waiting til you get to the point of the
26 submission of the sole-source justification.

27 MS. BLANCHARD: So at our technical conference last
28 week, Mr. Gould, we were reviewing your report from May of

1 this year. And I can take you to the report if necessary.
2 But just generally, one of the comments was that the
3 information was not making its way up to management about
4 the problems that were being encountered with the
5 contractor. And so that there was a lack of communication.
6 That was one of the red flags that you identified in your
7 report.

8 MR. GOULD: That's the case, but I think it is a
9 different -- completely different set of circumstances than
10 Mr. Reed just spoke to.

11 MS. BLANCHARD: I'm not suggesting they're the same
12 circumstances. I am just drawing a parallel, in terms of
13 communication issues between different groups.

14 MR. GOULD: And that's one of the things that we look
15 for when we come into a project. We look to see that
16 there's appropriate reporting and appropriate reporting-up,
17 and that the issues necessary for management to see are
18 visible.

19 So it is -- it happens with every project that there's
20 always some flaws.

21 MS. BLANCHARD: Okay. So there's discussion in the
22 Concentric report about how gated approvals are going to be
23 of assistance. So at various points in the delivery of the
24 project there will be an opportunity to reconsider whether
25 it is economically feasible to proceed.

26 And when we're discussing this, I would like to go to
27 the LTEP, and there's the one page that we're referring to.
28 It appears in several documents that should be before you

1 today, including -- this is from -- the one that is up on
2 the screen is from the Environmental Defence compendium,
3 but it also appears in the GEC compendium. I am just
4 looking at the LTEP, the seven bullets.

5 And in particular, at the bottom of the page, in the
6 middle, the instruction is to begin refurbishing -- so the:

7 "Ontario plans to refurbish units at Darlington
8 and Bruce generating stations."

9 Then going further on:

10 "Darlington and Bruce plan to begin refurbishing
11 one unit each in 2016. Final commitments on
12 subsequent refurbishments will take into account
13 the performance of the initial refurbishments
14 with respect to budget and schedule."

15 And so the LTEP seems to be suggesting that these
16 megaprojects should be structured in a way that is -- I am
17 going to use the word "modular." So, you know, you would
18 do one unit, and then that would be your test case. And
19 you would stop at the end of that unit and do a full
20 analysis about whether or not to proceed with the others.

21 And so -- you're smiling.

22 MR. REED: I am just waiting for the question. I
23 didn't want to jump in too soon.

24 MS. BLANCHARD: To what extent are these contracts set
25 up to work -- to operate that way?

26 MR. REED: They are set up with a number of off-ramps
27 and a number of what we call "pivot points," whereby you
28 can choose one strategy and then pivot to an alternative

1 strategy based upon new information.

2 The biggest and best example is in the re-tubing and
3 feeder replacement project, where you can -- at the end of
4 establishing a target price, you can actually terminate the
5 services of SNC-Aecon if you want to, take the mock-up,
6 take the tooling and move it to another vendor, if you
7 choose to pivot at that point to a different strategy.

8 But there are many other examples in terms of
9 assignment of work, in terms of contracting approach. A
10 number of the contracts, for example, have the ability to
11 pivot from fixed pricing to firm pricing, or from pass-
12 through pricing to firm pricing over time.

13 So in addition to off-ramps there are pivot points.
14 So that type of flexibility -- and I think the key phrase
15 there was incorporating the lessons learned -- is something
16 that we found to be present in almost all of the contracts,
17 and we view that as a good thing.

18 MS. BLANCHARD: Okay. I am now going to jump to a
19 different area, which is in our technical conference last
20 week we discussed the 6 to 10 billion dollar range that is
21 referenced. And I asked the question: Do you think it is
22 reasonable to refer to a \$6 billion outcome in the context
23 of this project?

24 So I would like to put that question to you again. Do
25 you think that referring to a \$6 billion outcome is
26 reasonable in the context of this project?

27 MR. REINER: I would not refer to a \$6 billion
28 outcome. The \$6 billion, if you were to look at the S-

1 curve, the probability curve of project cost, when you pick
2 a confidence range, you will see there's a 6 to \$10 billion
3 range that aligns with the confidence that had been
4 communicated.

5 But our point estimate is not converging on 6 billion.
6 It is inside the 6 to 10 billion range, but it is not
7 converging on 6 billion.

8 MS. BLANCHARD: So I think we heard that -- now,
9 here's where -- if this is confidential, please don't
10 answer, but you did what is called a Monte Carlo analysis
11 and you obtained a probability for the \$6 billion in 2009,
12 and are you able to tell me what that probability was for
13 2009?

14 MS. DUFF: Is there a reference? I'm sorry, it would
15 be helpful if I could refer to something in the evidence as
16 you're proceeding.

17 MS. BLANCHARD: Unfortunately my reference is the
18 transcript, which hasn't been redacted yet, and so I have
19 been sort of dancing around that in an effort to not go in
20 camera.

21 If it can't be answered easily, I can move on.

22 MR. ROSE: I can answer it --

23 MS. HARE: Ms. Blanchard, sorry. Ms. Blanchard, if it
24 is important to you we can go in camera.

25 MS. BLANCHARD: Well, I wouldn't mind hearing what Mr.
26 Rose has to say, and if it is not satisfactory, then we can
27 go in camera.

28 MS. HARE: Fine.

1 MR. ROSE: So in 2009, based on an early level of
2 planning, the \$6 billion figure was approximately 50
3 percent confidence.

4 MS. BLANCHARD: And so what is the confidence now, now
5 that there have been the additional five years under our
6 belts in terms of working on this project.

7 MR. ROSE: It's less than 10 percent confidence.

8 MS. BLANCHARD: Less than 10 percent confidence?

9 MR. ROSE: That's correct.

10 MS. BLANCHARD: Okay. But the confidence in the upper
11 range, the 10 million, that's the 9 -- the 98.6?

12 MR. ROSE: So in 2009, based on our level of planning,
13 we had carried a larger -- I would say we carried a larger,
14 much larger management reserve than we have today.
15 Obviously through our planning, understanding of our scope,
16 finalization of our scope, awarding of our contracts,
17 progressing of engineering, our confidence, our
18 understanding of the scope and the cost estimate has
19 improved.

20 And the certainty band is tighter, but it's shifted to
21 the right.

22 MS. BLANCHARD: So is there a reason why that new,
23 tighter confidence band isn't being used in the context of
24 this application in describing the project?

25 MR. ROSE: No. There is not a reason for that, no.
26 We could put a range on it. We could do the same thing we
27 did in 2009, is look at the P 50 point and the, you know,
28 the P 99, as we did here, and that would be the range.

1 MS. BLANCHARD: I think that would be helpful. Can I
2 get an undertaking for that?

3 MR. ROSE: Yes, we can do that.

4 MS. BLANCHARD: Thank you.

5 MR. MILLAR: J14.9. (sic)

6 **UNDERTAKING NO. J15.2: TO PROVIDE CURRENT DARLINGTON**
7 **REFURBISHMENT PROJECT COST RANGE AT P50 AND P99**

8 MS. BLANCHARD: So there's very high confidence in the
9 12.9 billion, which is the number that includes inflation
10 and capitalization.

11 We have also heard, though, that OPG is charting new
12 territory in terms of running a multi-prime megaproject.
13 This is OPG's first -- or would you agree that this is
14 OPG's first multi-prime megaproject?

15 MR. REINER: I think it is certainly the first of the
16 scale that we are executing. There may have been others
17 that were done in a multi-prime way in other parts of the
18 business, across OPG, but certainly in nuclear and of the
19 scale that we are talking about, this is the first.

20 MS. BLANCHARD: And it's also the first in Canada?

21 MR. REINER: If you're asking about the --

22 MR. MACINTOSH: Megaprojects.

23 MR. REINER: The refurbishments? Or megaprojects in
24 general?

25 MS. BLANCHARD: Nuclear refurbishment mega --

26 MR. REINER: Nuclear refurbishments, I mean, Bruce had
27 a multi-prime model, but they subcontracted the management
28 of those contractors and then brought the management of

1 those contractors in-house. So they actually did have a
2 multi-prime model.

3 MS. BLANCHARD: With a project management --

4 MR. REINER: With the project management
5 subcontracted. But midway through their refurbishment,
6 they terminated that contract and they took control of the
7 project themselves and project management, each of the
8 prime contractors.

9 MS. BLANCHARD: So in the context of OPG's request
10 that the Board make a finding about the commercial strategy
11 and the contracting model selected -- so one of the
12 findings that OPG is asking the Board to make is relating
13 to the reasonableness of the commercial strategy and the
14 contracting model -- would you agree that it's reasonable
15 to suggest that that be conditional on -- that there be a
16 proviso added that this finding only holds to the extent
17 that the recovery from ratepayers will be no greater than
18 the revenue requirement associated with 12.9 billion?

19 I can try to rephrase it, but if... that's the
20 question.

21 MR. REINER: I would not, because then essentially
22 what you would be suggesting is that this becomes a -- this
23 becomes a capped contract --

24 MS. BLANCHARD: Yes.

25 MR. REINER: -- essentially. I mean, that's not the
26 model we operate under in our cost recovery and rate
27 recovery, so --

28 MS. BLANCHARD: Well, not capped in perpetuity, but

1 capped for the purposes of this decision. You will have to
2 come back for the next application, and, you know, there
3 may be more information then.

4 But in terms of what the Board is asked to approve
5 today --

6 MR. KEIZER: I think that would be something for
7 argument, where, if my friend wanted to propose conditions
8 associated with the order, we would have to respond to that
9 in argument. But I don't think that these witnesses have
10 contemplated that scenario in the scheme.

11 MS. LONG: I thought what Ms. Blanchard was asking is
12 whether or not that was a reasonable strategy for us to
13 make a determination on a contracting strategy that
14 contemplates going over the 12.9 billion. That's what I
15 understood the question to be.

16 MR. KEIZER: Oh, I interpreted it as that --

17 MS. LONG: I wouldn't expect that these witnesses
18 would --

19 MR. KEIZER: -- what -- is what the Board order should
20 be.

21 MS. LONG: -- be speaking to the issues. I expect you
22 might speak to conditions in argument, but I think what she
23 was asking, is this a reasonable strategy when we consider
24 what a reasonable strategy is.

25 So I think, Mr. Reiner, you could probably answer that
26 question.

27 MS. HARE: But I also don't understand it, to tell you
28 the truth, because if then it is capped for these payment

1 amounts and then they can come back to ask for more, what
2 is the difference? What does that accomplish? That is
3 what I am trying to understand.

4 MS. BLANCHARD: Well, I mean, if you go to the last
5 rate decision -- and I have reference to that. It is on
6 page 72 of that decision -- what the Board was grappling
7 with then is the same thing that the Board is grappling
8 with now, which is that there is a history of cost overruns
9 associated with these mega-projects. I don't think that is
10 in dispute.

11 And there's a concern that in the regulated context
12 the ratepayers bear -- I am now reading from the decision
13 -- ratepayers bear a particular risk in relation to these
14 large nuclear projects, because they have a history of
15 going over budget.

16 So we have heard that OPG has all of these strategies
17 in place to mitigate that risk, and it seems to me that it
18 would be appropriate for them to say, We're seeking your
19 approval as to the reasonableness of our strategy, as long
20 as it's in the context of our high-confidence estimate, you
21 know. The two things are paired.

22 MS. HARE: And then we will come back later if in fact
23 it is more.

24 MS. BLANCHARD: Well, we will come back and --

25 MS. HARE: Is that what you're asking?

26 MS. BLANCHARD: -- we'll -- I mean, if it proves -- if
27 you are above the 12.9, you know, I think a rethink of the
28 contracting strategy is necessary.

1 MS. HARE: It might be too late.

2 MR. KEIZER: I think we will have progressed, and I
3 think -- I still hear my friend asking if that is a
4 condition that we want the Board to -- as part of its
5 decision. I think the appropriate place for that to
6 respond to is in argument.

7 MS. HARE: Is argument. I think so too, Ms.
8 Blanchard.

9 MS. BLANCHARD: Okay. That was my last question.

10 MS. HARE: Fine, thank you. Mr. Millar?

11 **CROSS-EXAMINATION BY MR. MILLAR:**

12 MR. MILLAR: Madam Chair. And good afternoon, panel.
13 My name is Michael Millar. I am counsel for Board Staff.

14 First let me tidy up an administrative matter. I
15 improperly marked or identified the undertaking that you
16 gave to Ms. Blanchard -- I was looking at yesterday's
17 sheet, so I called it J14.9. In fact, it's J15.2, so that
18 is just to clarify the record.

19 And while we are dealing with housekeeping, I have
20 provided to OPG and to the Board Panel Board Staff's
21 compendium for this panel, and I propose to mark that as
22 Exhibit K15.2.

23 **EXHIBIT NO. K15.2: BOARD STAFF CROSS-EXAMINATION**
24 **COMPENDIUM FOR PANEL 8.**

25 MR. MILLAR: Panel, I will start with some high-level
26 overview, and in fact, much of my cross-examination will be
27 dealing with higher-level issues, and I won't be getting
28 into the weeds as much as some of my friends may, but just

1 to start with the very basics, can you confirm for me that
2 the Darlington refurbishment project is a multi-year,
3 multi-phase project and that you currently expect that the
4 entire project will be completed about 2025?

5 MR. REINER: Yes, that is correct, with field
6 execution completed in 2025, closeout of the project 2026.

7 MR. MILLAR: And with respect to the two test years
8 that are currently before the Board, you're seeking the
9 following approvals, and I would ask you to turn to page 3
10 of my compendium.

11 I think Mr. Poch covered these with you earlier today,
12 so if you could scroll to the bottom I will go over this
13 very quickly.

14 First, there is the ask about the commercial and
15 contracting strategies. The ask related to the proposed
16 capital expenditures in the test years. And then there is
17 a little bit of OM&A there as well. And then there is the
18 request with relation to the in-service additions to rate
19 base that we see there.

20 Those are your asks; is that correct?

21 MR. REINER: These are the asks, but the numbers have
22 changed from these numbers through the impact statements
23 that we subsequently filed.

24 MR. MILLAR: That's correct. And I will get to that
25 in a moment.

26 MR. REINER: Okay.

27 MR. MILLAR: There's been some discussion in this
28 proceeding that the establishment of the provincial supply

1 mix is not OPG's job, and that's done, I guess, by the OPA
2 and the provincial government.

3 Do you recall, there have been some discussions about
4 that through this proceeding?

5 MR. REINER: That is correct, yes.

6 MR. MILLAR: So I would like to explore with you what
7 role, if any, OPG itself has in determining if the
8 Darlington refurbishment project goes forward.

9 There's a few documents on the record in relation to
10 this. There's the Long Term Energy Plan, which has been
11 discussed with some of the parties, and there's also a
12 letter from the Minister of Energy to OPG that is dated
13 March 8th, 2011.

14 Is there anything else on the record, or not on the
15 record, for that matter, that indicates where it is you
16 have been told to do the Darlington refurbishment project?

17 [Witness panel confers.]

18 MR. REINER: We will just take a moment to go through
19 that. There were some things in the previous hearing that
20 were filed as well that provided some direction from the
21 shareholder and some additional things, I believe, for this
22 hearing.

23 MR. KEIZER: Would it be more expeditious for you if
24 we actually just undertook to advise you if there was
25 something in addition to the letter and the LTEP?

26 MR. MILLAR: Sure. I think that would -- I have a
27 couple of more follow-up questions in this area. So if it
28 is not something you can put your finger on in the next 30

1 seconds, then perhaps an undertaking would be suitable.

2 MS. HARE: Perhaps, Mr. Millar, because we are going
3 to take a break in probably 15 minutes, you could leave
4 that line of questioning until after the break?

5 MR. MILLAR: Okay. Let me move --

6 MS. HARE: Give the witnesses a chance to look it up?

7 MR. MILLAR: Thank you, Madam Chair.

8 Could you turn to page 7 of the compendium, please.

9 You know, this is on the same line, so why don't -- I
10 will skip this question for now as well. I may return to
11 it. It is a quotation from the March 8th letter that I
12 referred to, but since we may discuss this more after the
13 break, I will move on for the time being.

14 Maybe go back to page 5 of the compendium then. You
15 will see here there's an extract from the Long Term Energy
16 Plan. And I want to ask you in particular about some of
17 the off-ramps that are identified here, or at least the
18 concept of off-ramps as it is identified.

19 You can see just before the list of the seven items it
20 states, for example:

21 "Appropriate off-ramps will be implemented should
22 operators be unable to deliver the projects on
23 schedule and within the established project
24 budget."

25 And it says:

26 "The nuclear refurbishment process will adhere to
27 the following principles."

28 And if you look at number 3:

1 "Entrench appropriate and realistic off-ramps and
2 scoping."

3 Do you see that?

4 MR. REINER: Yes.

5 MR. MILLAR: I would like to hear a little bit more
6 about these off-ramps. Who is responsible for establishing
7 the off-ramps?

8 MR. REINER: So the off-ramps, they occur in a number
9 of places. They have been established at the project level
10 in the contracts, and Mr. Reed spoke to that earlier.
11 There are mechanisms in the contracts that allow for off-
12 ramps, as well as changes in strategy.

13 We also have a process in place. If I can refer you
14 to page 2 of your compendium. That diagram depicts the
15 approvals that we will be seeking for funding releases
16 along each step of the way.

17 So that would be another control that is in place at
18 the board level to determine whether an off-ramp would need
19 to get executed.

20 And then when that decision gets made or as we lead up
21 to that decision, we would also confirm with the
22 shareholder that they are comfortable with the decision
23 that is being made by the board.

24 We also have -- we also have a regulatory off-ramp
25 with the Canadian Nuclear Safety Commission that occurs at
26 the end of each project, and it is essentially a validation
27 that they have asked us for, where we need to present back
28 to the Nuclear Safety Commission the accomplishments in

1 regards to implementing and rectifying the safety gaps that
2 were identified in the integrated implementation plan.

3 So that would be kind of the series of off-ramps.

4 MR. MILLAR: So you listed quite a number there, and I
5 won't be able to remember them well enough to go through
6 all of them.

7 First of all, let's make sure what we understand what
8 we mean when we say an "off-ramp."

9 When I think of an off-ramp, I think an option to
10 decide not to continue with the project. Are we talking
11 about the same thing here?

12 MR. REINER: We're talking about the same thing, yes.
13 Now, there could be a change, of course, but no, we're
14 talking about the same thing.

15 An off-ramp is we decide not to proceed.

16 MR. MILLAR: If you look at the yellow dots that we
17 have on the screen in front of us, there's a number of
18 them, but it looks like the next -- 3 and 4 have already
19 happened; is that right?

20 MR. REINER: That is correct.

21 MR. MILLAR: Five is the next one to happen? That is
22 when the release-quality estimate is ready?

23 MR. REINER: Yes.

24 MR. MILLAR: So at that point, OPG will come to a
25 decision to either continue with the project or not
26 continue with the project; is that correct?

27 MR. REINER: Yes. And let me just also -- between 4
28 and 5, that diagram doesn't actually show it, but there is

1 an annual process. I think it is footnoted down at the
2 bottom of that diagram. There is a bullet that talks about
3 detailed planning releases, and how those are breaking down
4 -- broken down.

5 So number 4 is done on an annual basis. There is
6 4A, 4B, 4C. Last year we passed 4C. We will be back to
7 our board of directors this November, requesting a funds
8 release for 4D. And as we do that, we provide updates on
9 the cost estimate and the economics of the project, to give
10 our board of directors an opportunity to alter course or
11 potentially stop the project.

12 MR. MILLAR: Let me focus on the release-quality
13 estimate now. There is a number of them, but that's --
14 aside from perhaps 4D, that's the next major one, at least
15 that is listed here.

16 So at that point, the board, OPG's board, will make a
17 go/no-go decision.

18 What are the criteria for making that decision?

19 MR. REINER: We haven't yet established the detailed
20 criteria, but I think it is safe to assume that if the cost
21 of the project exceeds the \$10 billion that we have
22 identified, when that threshold is surpassed there would be
23 a serious discussion about next steps. I think we would be
24 in a hold at that point in time.

25 Whether or not that triggered an immediate off-ramp, I
26 couldn't tell you at this point, but there would certainly
27 be a hold at that point.

28 MR. MILLAR: Okay. So total cost is the big thing

1 that would be looked at, at that point?

2 MR. REINER: Exactly. Total cost would be the big
3 thing.

4 MR. MILLAR: If I heard you correctly, if you go over
5 \$10 billion, you're not saying that there is a -- 100
6 percent that will trigger an off-ramp, but there would be a
7 very serious look as to whether or not to continue with the
8 project?

9 MR. REINER: Exactly.

10 MR. MILLAR: Thank you. That's helpful.

11 And again, who -- was it OPG and OPG's board of
12 directors that determines what these off-ramps are? Or was
13 that the role of the OPA or the provincial government
14 somehow?

15 MR. REINER: In this diagram, this is OPG and OPG's
16 board of directors. This is a reflection of the board
17 direction and board process.

18 This wasn't -- this wasn't a provincial direction.
19 However, it does align with the off-ramps that the LTEP is
20 proposing.

21 MR. MILLAR: So the off-ramps that we're looking at
22 here, first, are set by OPG's -- by OPG, and it's OPG that
23 has the power to decide to go or no-go with the Darlington
24 refurbishment project?

25 MR. REINER: The OPG board would have that power to
26 make that decision. I mean, obviously it would be in
27 consultation with the shareholder, but that would be -- it
28 would be board-level authority to make that kind of

1 decision.

2 MR. MILLAR: With respect to the Ontario Energy Board,
3 who you are before today, obviously, what role, if any,
4 does this Board have in deciding if the Darlington
5 refurbishment project goes forward?

6 MR. REINER: In my view, we are not seeking a decision
7 from the Ontario Energy Board whether or not this project
8 goes forward.

9 That's a decision that is made -- again, from my
10 perspective -- outside of this process. What we are here
11 to seek is exactly what the -- what we went through on your
12 first slide.

13 MR. MILLAR: Right. And that is for the test period,
14 obviously?

15 MR. REINER: Yes.

16 MR. MILLAR: I don't know if you can answer this.
17 Will OPG ever -- is it OPG's view that the Board's approval
18 is necessary to go forward with the Darlington
19 refurbishment project, whether or not -- it might not be
20 now. You're right, you're not even at the release-quality
21 estimate yet, but from what I am understanding from you is
22 the Board will be asked in a series of rate applications to
23 put money into rate base as assets come into service, but I
24 am not hearing a step ever where the Board is actually
25 asked to opine on whether or not the Darlington
26 refurbishment project overall is a good idea.

27 MS. HARE: Mr. Keizer?

28 MR. KEIZER: Well, I think that is actually a legal

1 question, in terms of what statutory parameters exist,
2 which would require -- you know, it exists, for example,
3 for transmission companies to come for leave-to-construct,
4 but I don't believe there is a parallel provision for
5 generation construction.

6 So I think it is something for argument as to the
7 parameters of the Board's jurisdiction in respect to that.

8 MS. HARE: And you will address that in your
9 arguments?

10 MR. KEIZER: I figured that would be the next
11 question.

12 MS. HARE: Is that a long list?

13 MR. KEIZER: Madam Chair, we will address that in
14 argument.

15 [Laughter]

16 MR. MILLAR: So I won't receive an answer now as to
17 whether or not you ever intend to come and ask the Board
18 for approval to conduct the Darlington refurbishment
19 project?

20 MR. KEIZER: Well...

21 MR. MILLAR: I took it the answer was no. In
22 argument, we could argue whether or not that is the right
23 answer, but I --

24 MS. HARE: Yes. That is why I asked Mr. Keizer to
25 address in argument in-chief, because then others have the
26 opportunity to respond.

27 Mr. Shepherd, you look very puzzled.

28 MR. SHEPHERD: Madam Chair, I thought this was non-

1 controversial, that they're not and will never ask for this
2 Board's permission to -- and they have no legal requirement
3 to do so.

4 MS. HARE: That's fine. They can set out their
5 position in argument, then.

6 MR. SHEPHERD: Well, I don't want to have to do the
7 legal research if we -- if we all agree on the answer.

8 MR. KEIZER: I think Mr. Shepherd's puzzled look, I
9 think one time we're actually on the same side.

10 [Laughter]

11 MR. SHEPHERD: Perish the thought.

12 [Laughter]

13 MR. KEIZER: So that is our view. We do not -- there
14 is not statutory requirement.

15 MS. HARE: But I assume Mr. Millar is asking for a
16 reason.

17 MR. MILLAR: No, it wasn't entirely clear to me if
18 that was the company's position or not, so -- I thought
19 that was probably the case.

20 MS. HARE: Do you want this addressed in argument, or
21 no need?

22 MR. MILLAR: If we have his answer now, there that is
23 sufficient for me.

24 MR. KEIZER: I believe also, Madam Chair, we will,
25 one, I -- my -- I think -- my position, obviously, is that
26 I don't believe there is a statutory provision requiring
27 it. And I think it was touched on on the issues
28 submissions that were made and the ultimate issues

1 decision.

2 MS. HARE: Okay. Thank you.

3 MR. MILLAR: Okay. I will move on to my next area.

4 Could I ask you to turn back to page 3 of the Board's
5 -- pardon me, Madam Chair. Did you want to break around
6 three o'clock?

7 MS. HARE: Whenever is convenient in terms of your
8 flow of questions.

9 MR. MILLAR: I will see if I can get through a little
10 bit more, and then maybe we will look to take a break.

11 MS. HARE: Thank you.

12 MR. MILLAR: Thank you. Back to page 3, the second
13 bullet point deals with your proposal that the Board make a
14 finding that the proposed capital expenditures in the test
15 period are reasonable. And I recognize the numbers might
16 have changed a little bit, but that is not really relevant
17 to my question right now.

18 As I understand it, these are expenditures you are
19 making in the test year that will not actually close to
20 rate base; is that correct? They won't be used and useful,
21 and therefore you are not seeking actually any payment
22 amounts associated with them?

23 MR. ROSE: A subset of these expenditures would be
24 included in the approval for in-service additions, two
25 points down. Correct.

26 MR. MILLAR: Which is a fairly small proportion of
27 that?

28 MR. ROSE: Comparatively, yes.

1 MR. MILLAR: Okay. Thank you.

2 And I would just like to explore with you -- this is
3 something that actually comes up in other proceedings too,
4 so I am not trying to be difficult about this but I would
5 like to hear the company's position on this.

6 What does a finding of reasonable mean with respect to
7 those expenditures that aren't closing to rate base?

8 I take it it is not a prudence review, because they're
9 not -- there's no payment amounts associated with them, but
10 if the Board gives you what you asked for, what does that
11 mean?

12 MR. KEIZER: Well, I think, actually -- sorry to
13 interrupt my friend, but I think we're following the course
14 of the filing requirements, and those are the same requests
15 that we sought in the last --

16 MR. MILLAR: Maybe I could make the question simpler.
17 And I recognize it is a difficult question to answer,
18 because Mr. Keizer is quite right. They are required to
19 put this information forward.

20 Let me change the question. You will still be coming
21 forward at a later date for a prudence review when these
22 amounts close to rate base; is that correct?

23 MS. HARE: Well, let's just be clear. You don't
24 really mean prudence review. You mean a review for
25 reasonableness of the costs?

26 MR. MILLAR: Well, OPG takes a very strict view on
27 what the word -- I am trying to not anger Mr. Keizer by
28 using a word he doesn't like.

1 Normally when amounts close to rate base, for example,
2 the items in the fourth bullet there, they seek a prudence
3 review when those close to rate base, and I --

4 MS. HARE: Well, I think Mr. Reed went to great extent
5 to explain what a prudence review is, and there's a legal
6 definition -- well, you and I have had this discussion
7 before.

8 MR. MILLAR: Many times.

9 MS. CHAPLIN: What a prudence review is and it isn't.
10 So they will definitely come for an assessment as to
11 whether they're reasonable. Prudence starts with somebody
12 asserting that an action was taken that was imprudent.

13 MR. MILLAR: The point of my question is not to get
14 into a discussion about --

15 MS. HARE: And I was the last one to be involved in
16 this --

17 MR. MILLAR: -- what if any difference there is
18 between --

19 MR. KEIZER: I think in terms of just --

20 MS. HARE: Just ask your question again.

21 MR. MILLAR: My question is, in the amounts under
22 bullet 2, for those items that are not actually closing to
23 rate base in the test period, which is most of that money,
24 at some later date those amounts will become used and
25 useful and OPG will return to the Board and seek a finding
26 that it is either reasonable or prudent to close those
27 items to rate base. Is that correct?

28 MR. KEIZER: From OPG's position, yes. To be able to

1 seek rate recovery, we would have to have capital additions
2 to rate base, which would imply we would have to meet the
3 appropriate standards to accomplish that.

4 MR. MILLAR: Okay. Madam Chair, maybe now would be a
5 good time for a break, collect ourselves.

6 [Laughter]

7 MS. HARE: Okay. Why don't we break until 3:15.

8 --- Recess taken at 2:53 p.m.

9 --- On resuming at 3:23 p.m.

10 MS. HARE: Please be seated.

11 MR. KEIZER: Madam Chair, if I may, in Mr. Millar's
12 earlier examination, he had made inquiries about other
13 areas of provincial approval or recognition or acceptance
14 of the Darlington refurbishment, however you want to
15 characterize it.

16 MS. HARE: Yes.

17 MR. KEIZER: And we had indicated we would look at the
18 break. The witnesses have made reference to two documents
19 at the previous proceeding. So there are two letters.

20 First is a letter to Tom Mitchell from Brad Duguid,
21 and that was filed in the EB-2010-0008 proceeding, and it
22 was marked as Exhibit D2-2-1, attachment 3.

23 And there was also a letter filed in that proceeding -
24 - and unfortunately I don't have the second page, but in
25 any event it is a letter to Mr. Hankinson. And it was also
26 filed in EB-2010-0008, and -- I guess it was from Dwight
27 Duncan. And it was Exhibit D2-2-1, attachment 5.

28 So those were the additional -- and I advised my

1 friend during the break and we're just putting it on the
2 record.

3 MS. HARE: Mr. Millar, you have those?

4 MR. MILLAR: I don't have them in front of me, but we
5 certainly have access to them.

6 MS. HARE: Do you need them?

7 MR. MILLAR: No.

8 MS. HARE: Thank you. So please proceed.

9 MR. MILLAR: Thank you.

10 MR. KEIZER: I had only one other comment.

11 MS. HARE: Oh, I'm sorry.

12 MR. KEIZER: And that is that apparently Mr. Reiner
13 advised that he has -- he wanted to make a correction of
14 something he may have -- concerned whether he misspoke
15 about something earlier today, so I will turn to Mr.
16 Reiner.

17 MS. HARE: Okay. Thank you.

18 MR. REINER: This was in regards to the questions that
19 were being asked about the Pickering A return-to-service
20 contracting arrangement, so the first unit, Unit 4.

21 The intent was for OPG to do it under a partnering
22 agreement. The partners were going to be OPG, CANEC --
23 which was a consortium of Comstock and Stone & Webster --
24 and Atomic Energy of Canada.

25 Atomic Energy of Canada refused to sign that
26 partnership, so it became a design-bid build, with no
27 sharing of risk through the -- through a partnership
28 approach.

1 The design work was done by Atomic Energy of Canada,
2 and then the OPG became the construction manager, but
3 Comstock -- CANEC provided the construction workforce.

4 There were some complexities with the contractors
5 through that project and the Comstock arrangement unwound
6 midway through that process.

7 Pickering Unit 1 continued on, on a similar path, but
8 OPG became the designer, not AECL. And OPG was also still
9 the construction manager. But the construction, the
10 execution was done under a multi-prime-type model, with
11 Black & McDonald, Babcock & Wilcox, and Crossby Dewar
12 executing construction work packages.

13 MS. HARE: Okay. Thank you.

14 Mr. Millar, please proceed.

15 MR. MILLAR: Thank you, Madam Chair.

16 Panel, I think when we broke we were still looking at
17 page 3, so maybe we could go back there, quickly.

18 I would like to move now to a discussion of the
19 approvals you're seeking for the in-service additions to
20 rate base. You can see that at the fourth bullet.

21 Now, I understand there have been some updates to
22 these numbers, but with respect to 2014 and 2015, what we
23 see here listed are \$18.7 million and 209.4 million; is
24 that correct?

25 MR. ROSE: That is correct.

26 MR. MILLAR: I think your microphone is off, sir.

27 MR. ROSE: Apologies. Yes, that is correct.

28 MR. MILLAR: And we will discuss that there have been

1 some changes to that in a moment, but just so I'm clear,
2 you haven't actually updated the application on account of
3 those updates; is that correct? You're still seeking to
4 close these amounts to rate base through this application?

5 MR. ROSE: That is correct.

6 MR. MILLAR: Thank you. I am going to ask you about
7 the changes to the numbers in a moment, but before I do
8 that, just a more high-level question, and I will see where
9 we get with this.

10 I would like to discuss -- so Mr. Barrett indicated in
11 some previous testimony that you are, in fact, seeking a
12 prudence review of these costs and that they are expected
13 to close to rate base.

14 How -- I guess I see some difficulty possibly when you
15 are closing -- many of these projects are not completed; is
16 that correct? You have started the work on them and some
17 of them are entering service, but the project itself is not
18 completed; is that fair?

19 You can look at any -- maybe turn to page 11 of the
20 compendium. That might assist us a little bit.

21 MR. ROSE: Yes. I have page 11 up. The only project
22 that is complete is the Darlington Energy Complex. It is
23 significantly -- there's a couple of minor in-service
24 amounts for the externals of that facility, but the rest of
25 them are in progress.

26 MR. MILLAR: So let's just take one at random, the
27 very first one, Darlington OSB refurbishment.

28 What does "OSB" stand for?

1 MR. ROSE: Operations support building.

2 MR. MILLAR: So you are seeking to close \$29.7 million
3 of that to rate base in the test period, but that -- so
4 what that indicates to me is that a portion of that project
5 will come into service at that time; is that right?

6 MR. ROSE: That is correct.

7 MR. MILLAR: I know the numbers have actually been
8 updated, but just for the purpose of this discussion I want
9 to explore that with you.

10 So a portion of that will enter into service.

11 Does a finding of prudence in this regard signal that
12 the Board is actually finding the entire Darlington OSB
13 refurbishment to be prudent, or is it just those amounts
14 that are closing to rate base in the test period?

15 [Witness panel confers]

16 MR. ROSE: We believe it is just related to those
17 amounts closing to the -- in the rate period.

18 MR. MILLAR: Do you see any concern -- I don't want to
19 put you on the spot with this question because I don't know
20 the answer to it either, but do you see any concern with
21 the Board making a finding of prudence on say, whatever, a
22 quarter of a project without actually making any finding as
23 to whether the entire project itself is a good idea?

24 Should that give us any cause for concern?

25 MR. REINER: Just a clarification, maybe. I am not
26 sure that we're asking that the project is a good idea.

27 I mean, the project is part and parcel of what is
28 required as part of the refurbishment, so what we're really

1 looking at is -- is the prudence around the approaches
2 used, the strategies, and then related to those projects,
3 the costs incurred as a result of that approach to bring
4 these facilities into service.

5 MR. KEIZER: I think it may be helpful as well for us
6 to be able to set out exactly the relief we're seeking in
7 argument in-chief, and that will provide, I think, an
8 answer to Mr. Millar's inquiry.

9 MR. MILLAR: Let me approach this a slightly different
10 way with a slightly different series of questions.

11 Still on page 11, that table that we have in front of
12 us, this shows the numbers as they were when the
13 application was originally filed, and then it shows the N1
14 update, and then the most recent update that was just filed
15 earlier in July; is that correct?

16 MR. ROSE: That is correct.

17 MR. MILLAR: And the totals that you are actually
18 seeking to close to rate base -- which are in the
19 application as originally filed -- are about \$228 million;
20 is that right? That's the 18.7 plus the 209?

21 MR. ROSE: That is also correct.

22 MR. MILLAR: And as it turns out, the amounts that are
23 actually going to be used and useful are a little bit
24 higher now. They're up to about 290 million; is that
25 right?

26 MR. ROSE: That is also correct.

27 MR. MILLAR: And what I understand from your
28 application, then, is that that delta of about 62 million

1 or so, you're not actually seeking any particular approval
2 for the prudence of those amounts? You're sticking with
3 what was in your original application; is that correct?

4 MR. ROSE: That is correct. The revenue requirement
5 was assessed and was deemed to be not material.

6 MR. MILLAR: Okay. So although the overall amount
7 that is actually going to be used and useful is higher than
8 the amounts that you are seeking approval for, for some of
9 the individual projects the number is lower.

10 And I am thinking, in particular, of the heavy water
11 storage facility; that is the D2O storage facility that is
12 the second item there.

13 And just to go over the numbers, originally -- and in
14 fact, today -- you're seeking to close \$83.5 million of
15 that project to rate base; is that correct?

16 MR. ROSE: That is correct.

17 MR. MILLAR: Can you tell me what that -- that is not
18 the whole project; correct?

19 MR. ROSE: At time of filing, that was the -- in
20 essence, the whole project.

21 MR. MILLAR: Oh, it was?

22 MR. ROSE: Yes.

23 MR. MILLAR: Okay. Thank you.

24 MR. ROSE: Now just to clarify on that, there are
25 parts of this project that are, I guess, not capitalized,
26 not eligible for capitalization.

27 So that would be the difference between the project
28 and this amount.

1 MR. MILLAR: Understood. But if we look to what is
2 actually going to happen now or the best estimate of what's
3 going to happen, only about a total of \$16.5 million of
4 that will actually be used and useful in the test period?

5 MR. ROSE: That is also correct.

6 MR. MILLAR: That's just the 15.5 plus the 1.0.

7 And in addition -- I don't think we need to get into
8 the details here. Some others have already discussed it
9 and Mr. Shepherd may discuss it as well -- but the Modus
10 report identified a number of concerns with respect to that
11 project. Is that fair?

12 MR. ROSE: That is correct.

13 MR. MILLAR: Okay. So it seems to me there may be two
14 issues here. The first is that the amounts that you're
15 actually seeking to close to rate base and to get a
16 prudence review for, those won't actually be used and
17 useful in the test period; is that right?

18 MR. ROSE: Other than the portions noted, you are
19 right.

20 MR. MILLAR: Right. So the vast -- I don't know about
21 the --

22 MR. ROSE: In this case the vast majority --

23 MR. MILLAR: The large portion of it is not actually
24 going to be used and useful, and yet you still want a
25 prudence review for the whole project, essentially.

26 MR. KEIZER: I think that there is a bit of confusion
27 here, and so for the sake of the record, I think we just
28 want to be clear.

1 One, I think that probably unfortunately the finance
2 panel, which was dealing with rate base additions and other
3 things, would have been the better place, I think, for
4 these questions, but unfortunately they have moved on. We
5 certainly can take an undertaking to clarify exactly what
6 we're doing.

7 I think my understanding is that the amounts of 14 and
8 15 -- so 18.7 in the 2009 is what OPG is seeking to add to
9 rate base, recognizing that some of the projects that are
10 listed in the original filed columns now have shifted
11 because of delays and other things. Some of those other
12 projects that are shown in the updated exhibit have changed
13 in terms of amounts.

14 And so the end result being is they still fall within
15 that envelope of 18.7 in 2009. And therefore, that is the
16 amount that is still being sought to be closed into rate
17 base.

18 The D20 storage facility, parts of it is coming into
19 service; you're correct. Other parts have been delayed
20 based upon the evidence to 2016.

21 MR. MILLAR: And I do understand that, Madam Chair.
22 But as I understood it, the ask in this case is still to
23 have the entire \$83.5 million associated with the heavy-
24 water facility closed to rate base. If I am mistaken about
25 that, then --

26 MR. KEIZER: That's not the position of OPG. And if
27 you wish, we can clarify that by way of an undertaking, if
28 you need it on the record.

1 MR. MILLAR: I do. And I will just give you my
2 question, is -- I guess Mr. Barrett said earlier that OPG
3 is seeking a prudence review for the amounts that are
4 closing to rate base. And the amounts you're actually
5 seeking to close to rate base specifically with the D20
6 facility are not actually going to -- going into service in
7 the test period.

8 So I don't -- I'm not clear if a finding of prudence
9 is being sought for matters that are not actually closing
10 to rate base.

11 MR. KEIZER: I think the confusion is, is that when
12 the update was done the projects did change and shift as a
13 result of the update in Exhibit D2-2-2. The implications
14 of that, though, is that the changes in the amounts were
15 not material to the revenue requirement.

16 So as a result OPG said -- is saying, effectively,
17 We're going to continue with our original ask, and
18 recognizing that the projects as shown in the far right
19 column of this table at D2-2-2, schedule 2 is a current
20 status of the projects, and that is the nature of what's
21 going into rate base.

22 So I think that may be the source of the confusion.
23 It is confusing, and I think it may be helpful if we
24 actually put that on the record more clearly, other than
25 through the technical-conference discussion that took place
26 with Mr. Barrett --

27 MR. MILLAR: Okay. But --

28 MS. LONG: So Mr. Keizer, are you able to do that by

1 tomorrow, just in case the panel has some questions before
2 we -- hopefully we finish tomorrow.

3 MR. KEIZER: Yes, that's fine.

4 MS. LONG: In the event that we have some questions
5 for the panel about that? It would be helpful if we could
6 see it tomorrow.

7 MR. KEIZER: That's fair. And I believe the results,
8 though -- and I'm sure that someone will correct me if I am
9 wrong, but I believe there was also an undertaking filed
10 arising from the technical conference that talked about
11 those parts that were going into service that were used and
12 useful and those parts that were not.

13 So we will cross-reference that undertaking in the
14 undertaking response.

15 MR. ROSE: That undertaking is JT3.5.

16 MR. KEIZER: We will put it in when we move to the
17 answer.

18 MR. MILLAR: So this new undertaking is J15.3.

19 **UNDERTAKING NO. J15.3: TO ADVISE WHETHER A FINDING OF**
20 **PRUDENCE IS BEING SOUGHT FOR MATTERS THAT ARE NOT**
21 **ACTUALLY CLOSING TO RATE BASE.**

22 MR. MILLAR: And just to be clear, Mr. Keizer, I
23 actually do understand why OPG didn't update the
24 application, not really saying that was the wrong idea. It
25 was just, it's not clear to me now for which of these line
26 items OPG is seeking a prudence review.

27 MR. KEIZER: I understand, and I think probably what
28 we need is a table that is clear and that everyone can

1 understand and therefore look at and ask any questions that
2 is necessary and any explanation needed to make sure --

3 MS. LONG: Yes.

4 MS. HARE: And I will go back to my, you know, pet
5 peeve. Is it really a prudence review that you are
6 seeking? Look it up legally, what a prudence review is.

7 And the other thing is, my understanding is it is not
8 used and useful, it is used or useful.

9 MR. KEIZER: You are absolutely correct, Madam Chair,
10 it is used or useful. I agree with that. And I apologize
11 for the mistake.

12 And I think the appropriate response, I guess, with
13 respect to it is that we are seeking to add it to rate
14 base, and in terms of the application of whatever
15 appropriate standard the Board should use in reflecting
16 those facts we would address in argument.

17 MS. HARE: Thank you.

18 MR. MILLAR: Thank you, Mr. Keizer, Madam Chair. I
19 will move on.

20 I wanted to discuss in a little bit more detail the
21 release quality estimate and what that will mean. First of
22 all, Mr. Reiner, I think this is already on the record, but
23 I understand that the release quality estimate is scheduled
24 to be ready in about October of 2015. Is that still the
25 case?

26 MR. REINER: That's still the case.

27 MR. MILLAR: And could you turn to page 16 of the
28 compendium, please. So we didn't have to go in camera. I

1 have provided the public version of this document, which
2 takes out all of the numbers. But if you could imagine
3 that there are numbers behind the black-outs there.

4 Is it fair to say that when the release quality
5 estimate is completed, the numbers that we can't see there
6 may well change? They might go up, they might go down.
7 They probably won't be identical to what we don't see in
8 front of us right now.

9 MR. REINER: Yes, the numbers will change.

10 MR. MILLAR: Okay. And is it OPG's -- do you propose
11 to file the release quality estimate with the Board when it
12 is prepared?

13 MR. REINER: We hadn't thought about that, but we
14 expect that to be a public document.

15 MR. MILLAR: Let me take you to page 25 of the
16 compendium. This is an extract from the decision in the
17 last payments case.

18 If you could look at the middle paragraph, it states:
19 "Approval of the expenditures for the test period
20 should not be taken as acceptance of the business
21 case underlying the entire project. Once the
22 Darlington Refurbishment Project reaches the
23 stage of having a release quality cost estimate,
24 the Board expects to examine the reasonableness
25 of proceeding with the project. At that time the
26 Board may consider establishing a framework
27 within which prudence could be examined should
28 the project proceed forward."

1 Is that OPG's expectation of how this will go forward?
2 I know we discussed this a little bit previously. But is
3 it OPG's expectation that the Board will have a role in
4 reviewing the release quality estimate?

5 MR. REINER: Certainly we wouldn't expect the Board to
6 have a role in regards to validating the release quality
7 estimate, but we would certainly -- we would certainly want
8 the Board to be in agreement with the methods by which we
9 achieve the release quality estimate, the work that was
10 done to assess the scope, to get the estimates for the --
11 for the construction work, the contracts, the precise
12 target prices and schedules would be in that release
13 quality estimate.

14 We talked about, through this hearing, the process
15 we're using for that and what our contracts call for. We
16 would certainly expect the Board to find that that was a
17 reasonable approach.

18 MR. MILLAR: Let me approach this a slightly different
19 way. As we discussed earlier, the release quality
20 estimate, at least for OPG, is a -- it is a go/no-go point.
21 Is that right? There will be a decision made to go or not
22 to go?

23 MR. REINER: There would be, yes.

24 MR. MILLAR: It's one of those yellow circles we --

25 MR. REINER: Yes.

26 MR. MILLAR: -- discussed earlier.

27 So beyond that, what's the -- I think you discussed
28 this a little bit earlier, but I would like to tease it out

1 a little bit more.

2 What is the significance of the release quality
3 estimate to OPG's management? Is that the yardstick
4 against which you're going to measure your actual cost
5 performance for the project?

6 MR. REINER: That's exactly right. Both cost and
7 schedule.

8 MR. MILLAR: Cost and schedule?

9 MR. REINER: Yes.

10 MR. MILLAR: So let's imagine the release quality
11 estimate comes back, and let's say it is \$9 billion, and
12 then in 2025 you finish up and it actually costs
13 \$12 billion, or \$7 billion, for that matter, but let's say
14 it is \$12 billion.

15 What will that mean? Does that mean that OPG failed
16 to do the project in a cost-effective manner?

17 MR. REINER: I guess it would depend on the scenario
18 that resulted in that. So if -- if there were -- so your
19 example had a \$3 billion cost overrun.

20 If we had a \$3 billion cost overrun on the first unit
21 refurbishment, I would fully expect that the off-ramp would
22 be executed. And that would be --

23 MR. MILLAR: Okay, but I'm not sure that was exactly
24 my question.

25 If the number comes in, if the end number comes in at
26 higher than whatever the release-quality estimate's is,
27 will OPG regard that as a failure of cost control?

28 MR. REINER: Not -- not necessarily. There may be

1 some unknown things that occurred during that time period
2 that don't have anything to do with the project itself or
3 the execution of the project itself.

4 So again, we would need to look at what caused that
5 kind of a cost overrun.

6 If that cost overrun were the result of the execution
7 of the work, and the environment that we're executing in
8 didn't change and the approach is precisely the approach
9 that we have outlined here, then we would consider that to
10 be a failure.

11 MR. MILLAR: What about from the perspective of this
12 Board? Would it be reasonable for the Ontario Energy Board
13 to use the release-quality estimate as the yardstick
14 against which it ultimately measures the reasonableness of
15 the Darlington refurbishment project costs?

16 MR. REINER: I would think it would be a key input to
17 that, but not -- not the only input.

18 MR. MILLAR: What if the Board were to say something
19 like this: Your release quality estimate is 9 --
20 10 billion, whatever it is. That's what we're giving you.
21 You get \$9 billion and don't ask us for anything more.

22 Would that be a fair thing for the Board to say?

23 MR. REINER: Not -- in my opinion, not under the
24 current regulatory structure that we operate under.

25 MR. MILLAR: Mr. Reed, sorry, I haven't meant to
26 ignore you.

27 There was a discussion you had yesterday relating to
28 how prudence reviews or reasonableness reviews or whatever

1 you want to call them are conducted in some other
2 jurisdictions, and you gave the example of Florida; do you
3 recall that?

4 MR. REED: Yes.

5 MR. MILLAR: I guess from what I understood from your
6 testimony, Florida Power & Light is, I guess, doing a major
7 refurbishment or a series of refurbishments or new build or
8 whatever it is, but there's a \$20 billion project or series
9 of projects that is underway; is that right?

10 MR. REED: That's correct.

11 MR. MILLAR: And I take it -- I don't know exactly how
12 the regulatory regime works in Florida, but I guess they
13 must go to their regulator to seek approval for recovery of
14 these amounts?

15 MR. REED: Yes, they do.

16 MR. MILLAR: And what I understood from you is that
17 they do an annual prudence review, in fact. They appear to
18 go before their regulator every year. Is that what I
19 understood?

20 MR. REED: Yes. Just by way of explanation, the
21 regulatory regime in Florida up until six years ago was
22 almost the same as Ontario. But then it was supplemented
23 by a new law passed by the legislature and signed by the
24 governor, called the Nuclear Cost Recovery Clause Act.

25 And under that act, costs were reviewed each year as
26 to the prudence and reasonableness of those costs, and the
27 budget for the upcoming year was reviewed each year.

28 And cost recovery was provided on a current basis, not

1 everything goes into rate base at the time of commercial
2 operation.

3 So the cost recovery regime was changed.

4 And as I understand it, OPG had proposed a construct
5 at some point in the past that was not that much different
6 from what has been experienced in Florida.

7 But in Florida, each year's costs are reviewed after
8 that year is completed, and the budget for the following
9 year is also reviewed for reasonableness. And importantly,
10 the decision as to whether to continue with the project is
11 also reassessed every year.

12 So there are two filings per year, and that includes a
13 reassessment of the cost-effectiveness -- more than cost-
14 effectiveness. A reconsideration of whether the project is
15 in the public interest.

16 MR. MILLAR: So just two follow-up questions on that.

17 I guess these annual reviews serve as a go/no-go; is
18 that what I understood you to say?

19 MR. REED: It's a go/no-go confirmation by the Florida
20 Public Service Commission, yes.

21 MR. MILLAR: So it is the regulator in that case who
22 makes that determination?

23 MR. REED: It is made first by the board of directors
24 of Florida Power & Light, or of NextEra Corporation, their
25 parent company, but confirmation of that is received each
26 year by the regulator.

27 MR. MILLAR: And you talked about cost recovery on a
28 current basis. Would I be right in assuming that means

1 essentially that CWIP goes into rate base, that
2 construction work-in-progress goes into rate base
3 immediately, so you don't have to wait until the project is
4 finished?

5 MR. REED: It is not quite that simple. There is two
6 categories of cost and different treatment for each in
7 Florida. And this is the same in Georgia and almost the
8 same in South Carolina.

9 Pre-construction costs, which are licensing,
10 development, permitting, all of the NRC processes to
11 establish and to secure a COLA, a combined operating
12 licence, are recovered dollar for dollar, without carrying
13 charges and without going into rate base. They are
14 recovered as expenses, on an annual basis.

15 Construction costs are rate base items, and what is
16 recovered are the carrying charges on that each year.

17 So technically, CWIP is not going into rate base but
18 you are recovering the AFUDC, the allowance for funds used
19 during construction, on an ongoing basis.

20 So separate treatment for pre-construction and
21 construction.

22 MR. MILLAR: Okay. I understand. Thank you.

23 In your experience, do other jurisdictions have a
24 similar set up as Florida?

25 I know they probably aren't all that many
26 jurisdictions that have \$20 billion capital projects
27 underway, but is Florida unique in that regard, or is that
28 something you see in other jurisdictions as well?

1 MR. REED: No. It is not unique. I mentioned Georgia
2 and South Carolina. Both of them have comparable dual-unit
3 new nuclear programs underway. The laws are similar in
4 those two states.

5 And that's really been found to be necessary for
6 investor-owned utilities, to provide the confidence for
7 those companies to get approval from their board and to
8 move forward.

9 In fact, in other states where utilities sought that
10 type of cost recovery mechanism and did not secure it, the
11 utilities have, in fact, withdrawn from sponsoring new
12 nuclear projects.

13 There are lots of other states that are in between.
14 An example that I was thinking of when we had a discussion
15 on the record earlier is Minnesota.

16 Minnesota, you get a certificate of need or a
17 certificate of public convenience and necessity, and then
18 whenever you have a cost deviation from your cost estimate
19 of greater than 10 percent, you have to file a notice of
20 change to circumstances. And that gives the commission
21 there an opportunity to reconsider whether the project is
22 in the public interest, and allows you to have confidence
23 that the commission has reviewed the new circumstances and
24 is in agreement or disagreement with you, with regard to
25 the decision to continue.

26 So that's sort of a hybrid, and it is triggered by the
27 bandwidth of plus or minus 10 percent around the estimate
28 that was used under the certificate of need case.

1 MR. MILLAR: Thank you. That is very helpful.

2 Let me move on to my next area, and that's with
3 respect to your ask regarding the commercial and
4 contracting strategies. Maybe just to refresh our memory,
5 we can turn to page 18 of the compendium.

6 And I have just reproduced there what the actual
7 issues list says in regard to this issue. It is issue
8 4.11, "Are the commercial and contracting strategies used
9 in the Darlington refurbishment project reasonable?"

10 And then if you flip to page 19 -- this is just taken
11 from your prefiled evidence -- I just want to understand
12 exactly what the ask is here.

13 So as we see presented, at least at a very high level
14 here, starting at line 11, it says:

15 "As noted, the Darlington refurbishment project
16 is a multi-phase project made up of individual
17 projects of various sizes. As part of the
18 definition phase, OPG developed an overall
19 commercial strategy and separate contracting
20 strategies for all major project work packages.
21 The commercial strategy sets out an overall
22 commercial framework with guiding principles for
23 establishing and maintaining commercial
24 relationships with third parties to support the
25 Darlington refurbishment project."

26 And then it moves on to contracting strategies:

27 "A contracting strategy is the means for
28 successful implementation of the project delivery

1 approach for the major project work packages
2 making up the Darlington refurbishment project.
3 Each contracting strategy is freestanding and
4 takes into account factors such as the nature and
5 scope of the work, the vendor marketplace, and
6 any potential long-term commercial arrangements.
7 Each contracting strategy results in a
8 recommendation on the most suitable sourcing
9 approach, contract structure and pricing
10 mechanism for that specific work package."

11 I'm sorry to take you through all that, but I had to
12 remind myself a little bit what we were discussing here.

13 So that at a very, very, very high level is what we're
14 talking about here; is that correct?

15 MR. REINER: That's correct.

16 MR. MILLAR: Just to be clear, do these commercial and
17 contracting strategies apply to the campus projects as
18 well?

19 [Witness panel confers.]

20 MR. REINER: There isn't a specific contracting
21 strategy for the facilities in campus-plan projects. These
22 contracting strategies cover the work during the execution
23 phase.

24 Now, it does cover a set of prerequisite projects
25 under the balance of plant contracting strategy, and that
26 would include projects like containment filtered venting,
27 the third emergency power generator, essentially the
28 projects that are part of the environmental assessment

1 commitments that we were required to address.

2 MR. MILLAR: I think -- I want to be careful I don't
3 get into confidential information. I think the best
4 estimate we have of the total cost of the project that is
5 on the public record is the 6- to \$10 billion; is that
6 right?

7 MR. REINER: That's correct.

8 MR. MILLAR: Of that 6- to \$10 billion, what portion
9 of that is covered under the commercial and contracting
10 strategies?

11 MR. REINER: So without getting into the breakdowns,
12 which is where the answer lies, it would be -- it would be
13 in the 50 to 60 percent range.

14 MR. MILLAR: Are you able to discuss at a high level
15 what is excluded from this? I understand that the campus
16 project -- projects are one thing. What else wouldn't be
17 covered under this?

18 MR. REINER: So not covered in the contracting
19 strategies are OPG project management costs, operations and
20 maintenance costs for maintaining the units during the
21 refurbishment time period, the cost of fuel to restart the
22 units, the cost of waste storage for -- related to the
23 components that are taken out of the refurbishment units,
24 insurance costs, Canadian Nuclear Safety Commission costs.
25 Those would be excluded. They're not covered by the
26 contracting strategies.

27 MR. MILLAR: Okay. Thank you.

28 In September 2011 you retained Concentric. And if you

1 could turn to page 20 of the compendium -- again, this is
2 all just taken from the application -- I want to get the
3 words right as you stated at line 14:

4 "Concentric was retained to review whether the
5 commercial and contracting strategies for the
6 Darlington Refurbishment Project were reasonable
7 and prudent."

8 And then Concentric prepared its report, which is
9 before us today, and that was -- I have portions of that at
10 page 21, if you could turn to that. Down at the bottom
11 there, you see the -- Concentric sought to answer three
12 primary questions that are listed there:

13 "Is the commercial strategy selected by OPG for
14 the turbine generators work package reasonable?
15 Is the company executing commercial strategy in a
16 reasonable manner?"

17 And then finally:

18 "Do the selected commercial strategy and
19 execution of that strategy meet the regulatory
20 standard of prudence?"

21 Now, I am very hesitant to get into this area, because
22 I don't want to anger Mr. Keizer or, indeed, Ms. Hare with
23 a discussion of the word "prudence", but I note that the
24 issue as it is framed before the Board says, are the
25 commercial and contracting strategies reasonable, and here
26 in the Concentric report and, indeed, the quote I took you
27 to from the pre-filed evidence, says reasonable and then in
28 some cases prudence.

1 Should I read anything into that? Are these meant to
2 be synonyms in this area, or are we talking about different
3 things? I recognize some of this may ultimately be for
4 argument or may be ignored entirely. But why was the word
5 "reasonable" chosen in some cases and "prudent" in another?

6 MR. REED: I can answer with regard to our statements
7 and the company with regard to theirs.

8 We view them as being slightly different, and the
9 third point really went to, if these costs were challenged
10 in a regulatory proceeding, accepting that, of course, in
11 many jurisdictions there is a presumption of prudence in
12 the absence of a challenge, the question was asked: Do we
13 think they would be defensible, do we think they would be
14 defensible if challenged under a standard prudence
15 challenge framework as it is used across North America.

16 MR. MILLAR: Does the company have anything to add to
17 that?

18 MR. REINER: I think in our particular case, just
19 going back to what we are asking for in this hearing, we
20 are asking for a determination of reasonableness on the
21 contracting strategies.

22 MR. MILLAR: Okay. If we could turn to page 22,
23 please, of the compendium. I guess this is another
24 question for Mr. Reed. You will see the second bullet
25 point there states that:

26 "Concentric did not verify the appropriateness of
27 any of the cost estimates, amongst some other
28 things."

1 Is that correct? Just reading from the second bullet
2 point there:

3 "Concentric did not independently verify the
4 appropriateness, sufficiency, or correctness of
5 the project schedules, cost estimates, scope, et
6 cetera."

7 MR. REED: That's correct.

8 MR. MILLAR: Okay. So is it fair to say -- I just
9 want to make sure I understand what your reporting compass
10 is -- the actual costs flowing from any of these contracts,
11 that is beyond the scope of your review; is that fair?

12 MR. REED: That's correct. Our review is on the
13 commercial strategy and on the contracting strategies. We
14 didn't make any attempt to validate scope and, therefore,
15 we could not validate the cost estimates. That was being
16 undertaken by another firm, Faithful & Gould, but not by
17 us.

18 MR. MILLAR: I want to explore quickly and finally on
19 this particular point, I have a bit of confusion
20 personally, at least -- and maybe it is not shared by
21 others, but I want to make sure I understand exactly what
22 OPG's ask is with respect to its commercial and contracting
23 strategies.

24 So assume with me for a moment that the Board actually
25 makes the finding that you want. They say, yes, these
26 commercial and contracting strategies are reasonable. I
27 would like to get your understanding of what that would
28 mean.

1 Would that amount to a finding by the Board that any
2 of the actual costs incurred under these contracts are
3 reasonable or prudent?

4 MR. REINER: I think the actual determination of
5 whether or not the costs are prudent, that would occur as
6 part of the process of putting those costs into rate base.
7 And at this stage, you know, we are -- with the exception
8 of the campus-plan projects, we're not putting -- we're not
9 putting any of the costs tied to these contracts into rate
10 base.

11 MR. MILLAR: Okay. So what does a -- what would a
12 positive Board finding under this issue actually give you?
13 What does it mean to OPG?

14 MR. REINER: Well, it would mean to us that the
15 approach that we are taking is recognized as being a -- the
16 right approach, given the scopes of work we're executing
17 and the complexities associated with that work.

18 And when the discussion occurs around placing assets
19 in-service, what we would be talking about, do the costs --
20 do the outcomes align with the release quality estimate and
21 schedule that were developed as part of this approach? The
22 variances -- what are the variances related to? What were
23 the issues that may have resulted in variances? And were
24 the decisions made that may have driven variances prudent
25 decisions? And at that point in time we would be looking
26 to get those costs into rate base.

27 MR. MILLAR: You spoke about variances, but you are
28 asking for approval of the contracting and commercial

1 strategy. There is no -- there are certainly all sorts of
2 numbers before the Board, but under this issue, you're not
3 asking for approval of any of the numbers that flow from
4 these contracts, are you? I thought it was about the
5 strategy.

6 MR. REINER: That's correct.

7 MR. MILLAR: There is no variance to look at.

8 MR. REINER: Not at this -- not in this hearing, but
9 there will be in future hearings.

10 So our approach here is, rather than waiting until the
11 Darlington refurbishment is completed, we took an approach
12 of transparency, creating an opportunity for the way we are
13 managing the project, the contracts we're implementing to
14 be assessed and reviewed.

15 But we're not seeking, in relation to the contracts,
16 any cost recovery here.

17 MR. MILLAR: And more -- well, I shouldn't say more
18 than that. Let me put the question to you.

19 Would a positive finding under this issue, if the
20 Board said: Yes, the commercial and contracting strategies
21 are reasonable, would that in OPG's mind amount in any way
22 to a pre-approval of any of the costs that flowed from
23 those contracts?

24 MR. KEIZER: Maybe I can help, Mr. Millar.

25 The understanding is that the application was made
26 with respect to commercial and contracting strategies which
27 is an approach. We're not here today seeking the ultimate
28 prudence or -- sorry, or the approval of the activities

1 with respect to the implementation of those contracts or
2 the activities that would do to bring them to the full
3 consummation.

4 So to some extent, for example, the R&FR contract, or
5 the re-tube and feeder replacement contract, you know, the
6 target price has yet to be negotiated. So that is not in a
7 position to be fully implemented, and at a later date when
8 the -- but there is an approach, of the target pricing and
9 whatever else that is associated with that.

10 So today what the Board has in front of it is the
11 approach. And to some extent it was captured in the
12 undertaking we reviewed this morning in very concrete
13 terms.

14 But the latter part of establishing a release-quality
15 estimate and the activities that you will actually
16 undertake to fulfil the contractual terms and the decisions
17 you make in regard to those contractual terms, a lot of
18 that stuff is still yet to come.

19 So it is not OPG's position here that they're saying:
20 Well, if you approve -- say that the contracting strategy
21 is a reasonable one, that somehow that is a pre-approval of
22 future costs or in-service requests or whatever else.

23 MR. MILLAR: Okay. So I take that to mean that to the
24 extent the Board approves the approach, that doesn't
25 necessarily mean that it is approving all of the costs that
26 flow from that approach; is that fair?

27 MR. KEIZER: That is correct.

28 MS. LONG: I'm sorry to go into this, Mr. Millar, but

1 maybe you're going to have to simplify this for me a bit.

2 When I look at, I guess, the paragraph that Mr. Millar
3 took you to on his compendium, page 19, where contracting
4 strategy is defined in section 6, and I go to the second-
5 last line, line 20, where it says:

6 "Contracting strategy results in a recommendation
7 on the most suitable sourcing approach, contract
8 structure and pricing mechanism for that specific
9 work package."

10 Is it OPG's view that by this Panel saying that it is
11 a reasonable contracting strategy, that in some way the
12 Panel is tying itself to saying that you used the most
13 suitable sourcing approach, contract structure and pricing
14 mechanism?

15 MR. KEIZER: Well, to the extent that you would
16 believe them to be reasonable, in the circumstances, as the
17 Board has before it today, I mean, those circumstances can
18 change, other things can happen. You know, the project
19 itself can be, so I don't think that anything -- that it's
20 a blank cheque.

21 I think it is an approach of this is -- at this stage
22 of the project today, given the fact that there are still
23 things yet to be developed or negotiated, or to be
24 implemented, that -- for example, that -- the fact that you
25 have done a multi-prime target pricing approach as opposed
26 to a fixed -- seeking a fixed-price approach appears to be
27 reasonable based upon the facts as presented, I think then
28 it is factually based as of today.

1 MS. LONG: Then if we go to contract structure, I
2 thought I understood you, Mr. Keizer, to say we're not
3 approving the contract per se.

4 So what does contract structure mean in that context?

5 MR. KEIZER: I think in this context it means the fact
6 that you are -- it's based around a target pricing
7 mechanism. As opposed to -- we're not asking you to review
8 the -- let's say the R&FR, re-tube and feeder replacement
9 contract, and say: We've read the contract; we think it is
10 a good contract.

11 I think it is going at a much higher level --

12 MS. LONG: Maybe I am thinking of this, like, in my --
13 I'm a lawyer, so maybe I'm thinking -- I'm thinking
14 contract structure; I am not opining on whether or not I
15 think your off-ramps are reasonable. I am not drilling in
16 to what your actual contract structure is.

17 What you're saying is --

18 MR. KEIZER: That's correct. That's correct.

19 MS. LONG: -- the type of contract, high-level, what
20 you have chosen?

21 MR. KEIZER: Yes.

22 MR. REINER: And it is really around engineer,
23 procure, construct. Right? That is the structure we have
24 selected here. OPG managing a project, contractors
25 providing essentially integrated engineer, procure,
26 construct services. And there's slight variations in each
27 contract to that structure.

28 For example, the turbine generator where engineering

1 is Alstom, engineering and procurement, and construction is
2 Aecon. And we landed there because of the intellectual
3 property issues.

4 So it is at that level.

5 MR. KEIZER: I think just for further context -- and I
6 don't want to preclude Mr. Millar in his cross-examination
7 more than I already have, but I think the other element is
8 that in the Board's last decision, there has -- it was an
9 indication that we would come back and report where we were
10 in the progress of it.

11 And I think that OPG wanted to come back and give the
12 Board an ability to look at where we were, what we were
13 doing and whether we were doing something that was
14 reasonable, so that -- and as Mr. Reiner said, to be
15 visible so that we didn't come five years from now and say:
16 Well, this is what we've done and you have to bless it, you
17 know, after the fact.

18 So it really is this is where we are today, and it's
19 at a high level. And I think what we can do and will do in
20 the argument in-chief to facilitate that is break this --
21 the part you particularly have pointed out here, and say:
22 This is where we are. This is what our ask is.

23 So to the extent that it is very clear -- but that is
24 effectively -- hopefully I have been able to capture it for
25 you, that it is at a high level, based upon the facts
26 today.

27 MS. LONG: Sorry to disrupt you, Mr. Millar, but we
28 want to be very clear on what the ask is.

1 MR. KEIZER: No, I understand. And it's not a -- and
2 I understand exactly where you're coming from because it is
3 an unusual ask, typically not what the Board would see. So
4 I understand that.

5 MR. MILLAR: Thank you.

6 One final question in this area and then I will move
7 on to my last area. What about if the Board says no?
8 Let's imagine a decision comes back and the Board says:
9 No, your commercial and contracting strategies are not
10 reasonable. Where would that leave you?

11 And this perhaps gets to what Mr. Keizer was saying.
12 I mean, I think if the Board said no to a certain closure
13 to rate base, it is very clear what that means, that that
14 wouldn't close to rate base, there would be a revenue
15 requirement impact, et cetera.

16 On this one it is not clear to me -- I guess I have a
17 slightly better understanding of what a yes answer means,
18 but what does a no answer mean?

19 MR. KEIZER: I'm sorry. I don't mean to keep jumping
20 in. I think we'd have to see -- OPG would have to see what
21 the decision actually said and what the parameters were. I
22 think it is a difficult question to answer.

23 MR. MILLAR: I agree.

24 MS. HARE: It is a difficult question to answer, but
25 it is one that, if Mr. Millar hadn't asked, the Panel was
26 going to ask.

27 So maybe you want to think about that overnight and
28 come back with an answer.

1 MR. KEIZER: We will.

2 MS. HARE: In other words, what are the consequences
3 if the Board says: Premature to approve contracting
4 strategies?

5 MR. KEIZER: I think I know the answer, but I will
6 consult and we'll make sure we have an answer for you
7 tomorrow.

8 MS. HARE: Yes, please do.

9 MR. MILLAR: Thank you, Madam Chair.

10 And just to be clear, my question wasn't so much about
11 the Board declining to answer, declining to give a yes or a
12 no or to delay a decision. It was: What if the Board said
13 no, it is not reasonable?

14 MS. HARE: Our question is a bit different, though.

15 [Laughter]

16 MR. MILLAR: I would go with what she asked.

17 [Laughter]

18 MR. KEIZER: I liked your question better, Madam
19 Chair.

20 [Laughter]

21 MR. MILLAR: My final area, and this should only take
22 a few moments, could you turn to page 23, please?

23 This is a table that Staff actually prepared, but it
24 is all data taken directly from the application.

25 And it is showing the schedule of the refurbishments
26 and -- as well as the expected end-of-life of the
27 facilities currently.

28 So just to take a step back, as I understand it, the

1 four Darlington reactors are currently approved to operate
2 for 187,000 hours; is that right?

3 MR. ROSE: No, the design life of the Darlington
4 reactors are 210,000 effective full-power hours.

5 MR. MILLAR: I see. That may make this shorter than I
6 had expected.

7 I had understood you were going to the Canadian
8 Nuclear Safety Commission to get an extension on how long
9 the reactors could run. Maybe I am mistaken about that.
10 Maybe you have already done it?

11 MR. ROSE: No. There is actually a fuel channel life
12 extension project that is evaluating the option of
13 extending the life to, you know, beyond 210,000 effective
14 full power hours.

15 There is work underway at this moment, but the final
16 decision on that has yet to be made.

17 MR. MILLAR: So has that hearing already taken --
18 there is no decision yet. But what is the status?

19 MR. REINER: So that is a fairly lengthy project that
20 spans many years. It will reach a decision point mid-way
21 through the Unit 2 refurbishment, because there are
22 components that have to be used that come out of Unit 2 to
23 actually finalize this assessment.

24 But each step along the way, as new information is
25 found, we report back to the Canadian Nuclear Safety
26 Commission to identify our findings, but ultimately it
27 would conclude about mid-way through Unit 2.

28 MR. MILLAR: And so looking at our chart here, I guess

1 the number I gave you, 187,000, isn't the correct one. It
2 is 210,000, is what you currently have approval for?

3 MR. ROSE: That is correct.

4 MR. MILLAR: So it looks like it wouldn't be until
5 Darlington -- the Unit 4 refurb that we might get into some
6 issues here. My question is, if you don't get the approval
7 you are requesting from the Nuclear Safety Commission, it
8 looks like Darlington 4 will have to shut down before you
9 had intended to -- a good two years before you'd intended
10 to start the refurbishment; is that correct?

11 MR. REINER: Yes. If we don't get the approvals we're
12 seeking -- I don't know precisely what that translates to
13 in terms of days, but we would have to shut the unit down
14 before we get to refurbishment.

15 MR. MILLAR: Oh, actually, no, Mr. Battista reminds
16 me. Unit 1, you might be okay. But Unit 3, it looks like
17 its end-of-life is prior to the end of the -- is prior to
18 the refurb as well.

19 MR. REINER: Yes, and in -- that's correct. We would
20 -- there are some -- there are some anomalies related to
21 Unit 3 that we are currently looking at, and we have, in
22 fact, made a decision, and I believe it is -- it's...

23 [Witness panel confers.]

24 MR. REINER: So we've made a decision recently based
25 on results of the fuel channel life management project that
26 has had us change the order of the units. So Unit 3 would
27 actually get refurbished before Unit 1, even though -- even
28 though, in terms of hours of operation, you know, that

1 would extend Unit 1 out. There are some anomalies with the
2 Unit 3 fuel channels that are tied back to the initial
3 manufacturing of those fuel channels.

4 So we would -- but I think we would be okay on Unit 3,
5 getting to the start of Unit 3, the second unit, but we
6 would run into the issue that you talked about on the third
7 unit and the fourth unit if we don't get the approvals.

8 MR. MILLAR: Which would be Unit 1 and 4?

9 MR. REINER: Which would be Unit 1 and 4.

10 MR. MILLAR: Okay. So without -- I guess maybe -- you
11 will recall on page 2 there was the schematic or the
12 diagram showing the timing of the proposed refurbishments.

13 If you don't get this end-of-life extension, the
14 extension to the hours you can operate the facilities,
15 would you just leave those reactors idle for the interim?
16 Or would you be looking to move up the schedule? Or have
17 you made that determination?

18 MR. REINER: We haven't yet made a determination, but
19 I think, you know, we would -- our first approach would be,
20 minimize idle time. And we would look for opportunities to
21 pull the schedule forward and avoid the idle time. That
22 would be -- that would be sort of our first course of
23 action.

24 But we haven't yet looked at that. Based on the
25 results that we are seeing from the fuel channel life
26 management project and life extension project, our
27 confidence is growing significantly. It is in fact very
28 high that the fuel channels can get to the number of hours

1 that we're looking for to actually get us to the Unit 4
2 refurbishment without idle time.

3 There is an additional element of work here that is
4 still of concern to the Nuclear Safety Commission, and it
5 deals with, you know, without getting too technical, a
6 component that is inside the fuel channel that also is
7 showing signs of aging, and we have to determine that it's,
8 in fact, fit for service, and so that is part of that fuel
9 channel life extension project. And that's a bit of an
10 unknown still at this point for us.

11 MR. MILLAR: When do you expect a decision from the
12 Canadian Nuclear Safety Commission?

13 MR. REINER: We would -- so in terms of timing, we
14 need to extract some of those components during the Unit 2
15 refurbishment. They will then get analyzed, and that
16 becomes essentially the final data point.

17 There are several data points along the way. We
18 recently extracted a fuel channel from Darlington that
19 formed one of the data points. All information coming from
20 that was positive. It reflected good outcomes that give us
21 high confidence that we can get to where we need to go, but
22 we need another data point, and that will come during the
23 Unit 2 refurbishment.

24 MR. MILLAR: So it will be a couple of years?

25 MR. REINER: It will be a couple of years.

26 MR. MILLAR: And if you aren't successful in getting
27 that approval -- I don't want to get into all the details,
28 but obviously, whether you end up moving the schedule

1 around or there's some idle time or a little bit of both,
2 that will obviously have impacts on the cost of the
3 project.

4 MR. REINER: That may have impacts on the cost. I
5 mean, we are already looking at, in that period of time,
6 overlaps in the schedule. So our cost estimates already
7 reflect simultaneous unit refurbishments.

8 So we would essentially be looking at advancing some
9 of those overlaps and increasing that overlap time period.
10 And we would expect the cost of that to be, you know, not a
11 significant change in cost. It could, in fact, be a lower
12 cost. There is a potential for that kind of an outcome as
13 well.

14 MR. MILLAR: Thank you very much, gentlemen. Those
15 are my questions.

16 MS. HARE: Thank you, Mr. Millar.

17 Mr. Shepherd, we do have a hard stop at 4:30. Would
18 you like to start, though?

19 MR. SHEPHERD: I have two short sets of questions that
20 are probably better asked today --

21 MS. HARE: Okay. That's fine.

22 MR. SHEPHERD: -- and will help everybody tomorrow, I
23 think.

24 MS. HARE: Fine. Do you have a compendium?

25 MR. SHEPHERD: I do not. I may have one by tomorrow
26 morning, but I won't have one now.

27 **CROSS-EXAMINATION BY MR. SHEPHERD:**

28 MR. SHEPHERD: The first is -- and this is probably

1 for you, Mr. Reiner. And thank you very much for filing
2 JT3.3, which summarizes the SNC-Aecon contract.

3 But from a lawyer's point of view, that wasn't really
4 detailed enough for us, and I am going to ask if you can
5 undertake to file the contract.

6 Now, Madam Chair, I've talked with my friends about
7 this, and we don't actually want thousands of pages. So
8 what we have agreed to, I think, is that they will provide
9 me with an electronic copy of the whole contract. I will
10 go through and tick off the various schedules, of which
11 there will be dozens, that we don't need, and hopefully get
12 the thousands down to 100 or 200 pages of contract that
13 actually is necessary to understand how it is really
14 working under the hood.

15 And I think my friend has agreed to that. He can
16 confirm that, I think.

17 MR. KEIZER: Yes. We had a discussion with Mr.
18 Shepherd during the break, and OPG is prepared to do that,
19 and I think Mr. Shepherd has indicated that he is agreeable
20 that the entire thing be covered in confidentiality, given
21 the nature of the contract.

22 MR. SHEPHERD: Oh, for sure.

23 MR. KEIZER: So he consents to that. And so we would
24 be doing it on that basis.

25 I would assume that once Mr. Shepherd has decided what
26 pieces he would want, that would be the piece that would be
27 filed as part of the undertaking?

28 MR. SHEPHERD: That's right. I am asking for an

1 undertaking to provide the base contract and key schedules,
2 and we can work out what those key schedules are, but I am
3 hoping it is not more than 100, 150 pages.

4 MS. HARE: Okay. Fine. So that gets an undertaking
5 number, Mr. Millar.

6 MR. MILLAR: Yes. JX15.4.

7 **UNDERTAKING NO. JX15.4: TO PROVIDE THE BASE SNC-AECON**
8 **CONTRACT AND KEY SCHEDULES.**

9 MR. SHEPHERD: The second area of questions that I --

10 MS. HARE: I just want to understand, then. So that
11 is filed as a confidential document. There is no dispute
12 by anybody that it should not be confidential? Is that
13 correct?

14 MR. KEIZER: As between Mr. Shepherd and myself,
15 that's the case, yes.

16 MR. SHEPHERD: I would be surprised, but I have been
17 surprised before.

18 MR. MILLAR: I doubt very much there will be any
19 dispute about that, Madam Chair. I can't speak for other
20 parties, of course, but it is really only Mr. Shepherd who
21 has asked for it, so I don't think it's necessary to have
22 any process around it.

23 MS. HARE: Well, that is what I was wondering. So --

24 MR. KEIZER: And the summary itself was filed in
25 confidence, and I think parties accepted that that would
26 remain in confidence as a JX undertaking.

27 MS. LONG: And then Mr. Shepherd, you're going to
28 speak to this tomorrow, and we're going to have copies, or

1 it's going to be available for people to take a look at?

2 Is that how it's going to work?

3 MR. SHEPHERD: I would assume we will have copies
4 tomorrow, but they may be only electronic, I don't know,
5 but I don't plan to have a lengthy cross on it, but there
6 may be a couple of issues which I identified in the summary
7 which I may have to ask a couple of questions about.

8 MS. HARE: And will we have to go in camera?

9 MR. SHEPHERD: I do not know.

10 MS. HARE: All right. We will deal with that tomorrow
11 then.

12 MR. SHEPHERD: Thank you.

13 The second area that I have some brief questions is
14 follow-up to the question about the approval for the
15 commercial and contracting strategies.

16 I divided this into two sections: what is the strategy
17 that you are proposing and what is the nature of the
18 approval you are asking about.

19 So the strategy has, as I see it -- and tell me
20 whether this is right -- at least three components: use of
21 the multi-prime contractor model, use of the EPC -- the
22 engineer, procure and construct model -- and use of, in
23 some cases, target pricing, and in some cases, fixed price
24 for particular work packages.

25 It has at least those three components, right?

26 MR. REINER: Yes. It has at least those three
27 components. And it would be what we submitted in evidence
28 under attachment 7, I believe it is, that has the

1 overarching commercial strategy and each of the contracting
2 strategies.

3 MR. SHEPHERD: I am going to come to that in a second,
4 but I just want to make sure we have a clear understanding
5 of the key components that you are saying: We have made
6 this decision. We want the Board to say: Yes, good
7 decision.

8 So then the second -- before we leave the components
9 of the strategy, there are two other parts that appear to
10 me to be part of the strategy that you haven't really been
11 talking about a lot, but...

12 The first is you're using a gating system, a very
13 rigid gating system for moving forward on the project,
14 which is key to your commercial strategy, right?

15 MR. REINER: Well, the gating system is a project
16 controls vehicle. It's not so much key to the commercial
17 strategy.

18 Regardless of what kind of a commercial strategy you
19 would implement, you would still have a gated-type system
20 in place to control the releases of money to the project.
21 And those are essentially -- they are largely internal
22 releases that get provided to the project managers, that
23 would then trigger an approval to proceed with work. And
24 the contractor would execute that work under the terms of
25 the contract.

26 MR. SHEPHERD: So the gating system, then, is not part
27 of the strategy you are asking for approval for?

28 MR. REINER: It is not part of the strategy.

1 MR. SHEPHERD: Then the other part is, depending on
2 the particular component of the overall project, you have
3 chosen an RFP or a sole-source approach to that component.

4 And you are asking for approval of those choices as
5 well, right? Is that part of the strategy?

6 MR. REINER: We -- we're not seeking approval on how
7 the contracts came to be, whether it be through a
8 competitive or a sole-sourcing process.

9 The approval would be the contract itself, and the
10 overarching strategy.

11 I mean, there is a -- you know, underneath the
12 contracting strategies, there are various levels of
13 details. The sourcing approach, which is what you
14 described, is one. There are negotiating strategies, which
15 is also a subset of that. There were a variety of other
16 processes that were utilized to actually implement the
17 contracts.

18 MR. SHEPHERD: All right. The reason I ask this is
19 because you said -- if you look at page 19 of the Staff
20 compendium, K15.2, you say that -- I lost it.

21 "A contracting strategy is the means for
22 successful..."

23 No, no, no. That is the wrong one. Hang on.

24 I just had it a second ago. Oh, yes, here we are.
25 The last sentence of 6.0:

26 "Each contracting strategy results in a
27 recommendation on the most suitable sourcing
28 approach."

1 That is RFP versus sole-source, right?

2 So you are asking this Board to say that you are using
3 the most suitable sourcing approach? Or you are not asking
4 them to agree to that yet?

5 [Witness panel confers]

6 MR. REINER: So the ask was -- the ask is around the
7 strategy.

8 Now, I recognize that that is an element of the
9 strategy, the approach taken. I think that tends to be --
10 that tends to be a simpler discussion, because in cases
11 where -- in large part, competitive bidding processes were
12 used to achieve the contracts.

13 There are only a few cases -- and I had quantified
14 those earlier. There's about \$250 million in total
15 contract value that relates to sole-sourcing, and it
16 relates to restrictions on intellectual property that
17 required us to go down that specific path.

18 I don't know that there is an opinion here that can
19 change that. That is the path.

20 MR. SHEPHERD: I only have sixty seconds more, so --
21 as I understand it, that's the strategy, then. And I am
22 going to ask you one more question about that.

23 And what you are asking the Board is to determine the
24 reasonableness of that strategy as a strategy, and the
25 reasonableness of your execution of it so far; is that
26 right?

27 MR. REINER: And -- well, yes, because the execution
28 of it resulted in contracts.

1 MR. SHEPHERD: Okay.

2 MR. REINER: And thus the commercial strategy and the
3 contracting strategy.

4 MR. SHEPHERD: The reason I wanted to ask this on the
5 record now is because, obviously, this is going to be an
6 area of some argument, and precision matters. And I am
7 going to ask you to take a look at the transcript of these
8 five minutes overnight and be very precise with us on
9 what's in, what's out, what are the key components and what
10 the Board is being asked to say.

11 If you could do that, that would be very helpful for
12 us.

13 MR. REINER: Yes.

14 MR. SHEPHERD: Thank you. And that is all for today.

15 MS. HARE: Thank you, Mr. Shepherd.

16 So we will meet again tomorrow at 9:30.

17 --- Whereupon the hearing adjourned at 4:30 p.m.

18

19

20

21

22

23

24

25

26

27

28