

NO LONGER CONFIDENTIAL:
PURSUANT TO PO NO. 2 IN EB-
2016-0152, September 26,
2016

UNREDACTED
CONFIDENTIAL



ONTARIO ENERGY BOARD

FILE NO.: EB-2013-0321

VOLUME:	16	UNREDACTED - CONFIDENTIAL
DATE:	July 18, 2014	
BEFORE:	Marika Hare	Presiding Member
	Christine Long	Member
	Allison Duff	Member

THE ONTARIO ENERGY BOARD

IN THE MATTER OF the *Ontario Energy Board Act*,
1998, S.O. 1998, c. 15, Sched. B;

AND IN THE MATTER OF an application by Ontario
Power Generation Inc. pursuant to section 78.1
of the Ontario Energy Board Act, 1998 for an
order or orders determining payment amounts for
the output of certain of its generating
facilities.

Hearing held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Friday, July 18th, 2014,
commencing at 9:37 a.m.

VOLUME 16

BEFORE:

MARIKA HARE	Presiding Member
CHRISTINE LONG	Member
ALLISON DUFF	Member

A P P E A R A N C E S

MICHAEL MILLAR Board Counsel

VIOLET BINETTE Board Staff
RICHARD BATTISTA

CHARLES KEIZER Ontario Power Generation (OPG)
COLIN ANDERSON
CARLTON MATHIAS

DAVID CROCKER Association of Major Power
Consumers of Ontario (AMPCO)

JAY SHEPHERD School Energy Coalition

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:37 a.m.	1
Preliminary Matters	1
ONTARIO POWER GENERATION - PANEL 8, resumed	5
G. Rose, D. Reiner, E. Gould, J. Reed, Previously Affirmed	
Continued Cross-Examination by Mr. Shepherd	5
--- Recess taken at 10:58 a.m.	52
--- On resuming at 11:26 a.m.	52
--- On commencing in camera at 11:26 a.m.	52
Questions By the Board	66
Continued Cross-Examination by Mr. Shepherd	78
--- On resuming public session at 12:08 p.m.	79
--- Luncheon recess taken at 12:57 p.m.	110
--- On resuming at 2:13 p.m.	110
Preliminary Matters	110
Cross-Examination by Mr. Crocker	112
Continued Questions by the Board	130
--- Whereupon the hearing concluded at 3:31 p.m.	152

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
--------------------	-----------------

NO EXHIBITS WERE FILED IN THIS PROCEEDING.

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. J16.1: TO FILE THE AUGUST 2011 CONTRACT PRINCIPLES DOCUMENT.	51
UNDERTAKING NO. J16.2: TO ADVISE IN WHAT WAY THE ESTIMATE FOR THE NIAGARA TUNNEL PROJECT WAS DONE IF DIFFERENTLY THAN FOR PICKERING UNIT 1, IF AT ALL.	84
UNDERTAKING NO. JX16.3: TO PROVIDE THE MOST RECENT VERSION OF THE MODUS REPORT.	130

1 Friday, July 18, 2014

2 --- On commencing at 9:37 a.m.

3 MS. HARE: Good morning. Please be seated.

4 Are there any procedural matters before we begin?

5 **PRELIMINARY MATTERS:**

6 MR. SHEPHERD: Madam Chair, my friend and I have
7 talked about the contract. And they sent the contract with
8 a list of the schedules yesterday at about 5:30, but
9 through the wonders of the Internet it arrived in my inbox
10 about 1:00 a.m., so I haven't yet looked at it. They sent
11 it at 5:30, but it arrived in my inbox at 1:00 a.m.

12 And so what we've agreed is, I've taken a quick look
13 at what I -- this morning, and what we've agreed is they
14 are going to send me the schedules themselves, and I'll
15 then work with them later today to take out the schedules
16 that we don't need. And I will have no questions on it in
17 cross-examination, but it will be on the record for
18 argument.

19 MS. HARE: You'll have no questions on it in cross-
20 examination?

21 MR. SHEPHERD: I will not. What I've seen allows me
22 to understand the answers to the questions I would have
23 had. I don't need to ask them on the record. They're
24 straightforward. And I will need to refer to some things
25 in cross, but -- in argument, but I don't need to put them
26 to witnesses. They're straightforward.

27 MS. HARE: Okay. Good. Thank you. And is any of
28 this confidential?

1 MR. SHEPHERD: I think it will all be confidential.

2 MR. KEIZER: All of it is confidential.

3 MR. SHEPHERD: I would be very surprised if any part
4 of this contract should be on the public record right now.

5 MR. KEIZER: Oh, and I think also something I should
6 note is, in that regard, the contract, I think the other
7 reason for its confidential nature, not just because of the
8 commercial aspects, but I think it is currently subject to
9 litigation in respect of Freedom of Information. So it is
10 currently an issue of dispute with respect to that.

11 So I think it would be unfair to disclose it in
12 public, given the fact that it's currently in dispute as to
13 parties seeking it and the counter-party to the contract
14 attempting to keep it undisclosed pursuant to the Freedom
15 of Information Act. I just wanted to put that on the
16 record so it was clear.

17 MS. HARE: No, that's fine. And Mr. Shepherd, you
18 agree with that?

19 MR. SHEPHERD: I was not aware of that, but as far as
20 I'm concerned, if it's -- I think it's confidential anyway,
21 so --

22 MS. HARE: Mr. Millar, do you have anything to say on
23 that?

24 MR. MILLAR: I don't. I haven't seen the contract. I
25 tend to agree with Mr. Shepherd. It probably is
26 confidential, but I haven't seen it.

27 MS. HARE: We have a long list of things that we'll
28 deal with at the end of the day that still require

1 discussion as to confidentiality, but on this one -- let's
2 just knock them off one at a time. This one the Board
3 deems to be confidential, so we won't have to deal with
4 that later.

5 MR. SHEPHERD: Thank you, Madam Chair.

6 MR. KEIZER: But I think also related to that, Madam
7 Chair, is the fact that we did disclose in confidence a
8 summary of the contract by way of undertaking, so to be --
9 to ensure that we're consistent, is it possible to have
10 that undertaking made confidential as well? I think it
11 effectively deals with the same matter.

12 MS. HARE: Okay. Mr. Shepherd? Mr. Millar?

13 MR. SHEPHERD: No.

14 MR. MILLAR: We have no submissions on that, Madam
15 Chair.

16 MS. HARE: No? Thank you. That's fine. So that also
17 is also deemed confidential.

18 MR. KEIZER: Thank you, Madam Chair.

19 We have one preliminary matter, and that is that
20 yesterday I think through the course of discussion it was
21 clearly indicated to OPG that they should make very clear
22 what the nature of their ask is in respect of the
23 commercial and contracting strategy --

24 MS. HARE: Yes.

25 MR. KEIZER: -- and that aspect of the issues list.
26 So that -- that thinking is -- my understanding is that
27 thinking has been done, and that Mr. Reiner can speak to
28 that now, and then that would enable my friend to ask any

1 follow-up questions as part of his cross and then proceed
2 on with the day.

3 MS. HARE: Thank you. Let's proceed on that basis.

4 MR. REINER: Thank you. So we're clarifying our
5 request for a finding that OPG's commercial and contracting
6 strategies for the Darlington Refurbishment Project are
7 reasonable. We're seeking a finding of reasonableness in
8 respect to the guiding principles that form the commercial
9 strategy, and the guiding principles are as follows: A
10 multi-prime contractor model in which OPG retains the
11 overall project management and design authority
12 responsibility; the division of the Darlington
13 Refurbishment Project into five major packages, and those
14 packages are the retube and feeder replacement, the turbine
15 generator, the steam generator, defuelling and fuel
16 handling, and balance of plant; the model where the prime
17 contractor is responsible for engineering, procurement, and
18 construction or some combination of those activities within
19 each of those five major packages; and a means for
20 allocation of risk to the party that's best able to manage
21 that risk through a pricing structure that's tailored to
22 the level of project definition and also to the level of
23 owner oversight that is required. And this means that the
24 use of target pricing where projects are less defined and
25 more oversight is required, or fixed pricing, where there
26 is greater definition with less oversight required. All of
27 the above would be subject to available contract options in
28 the marketplace.

1 Now, in addition to this, if the Board finds that the
2 record is sufficiently developed to render a finding on the
3 reasonableness of the contracting strategies, we'd request
4 a finding that our application of the principles that I
5 just went through to the contracting strategies themselves
6 is reasonable, as it applies specifically to the pricing
7 structures in terms of how we've utilized fixed versus
8 target or other pricing structures within each of the five
9 packages.

10 What we're not requesting approval on is approvals of
11 the contracts themselves, the conduct of the negotiations
12 and the procurement processes that were used to achieve the
13 contracts, any prices that were established through the
14 contracting process, and the selection of the winning
15 proponent for each of the five packages.

16 MR. KEIZER: I have no follow-up, Madam Chair.

17 MS. HARE: Okay. Thank you.

18 Mr. Shepherd?

19 **ONTARIO POWER GENERATION - PANEL 8, RESUMED**

20 **Gary Rose, Previously Affirmed**

21 **Dietmar Reiner, Previously Affirmed**

22 **Eric Gould, Previously Affirmed**

23 **John Reed, Previously Affirmed**

24 **CONTINUED CROSS-EXAMINATION BY MR. SHEPHERD:**

25 MR. SHEPHERD: That was very helpful. So I just -- I
26 have two clarifying -- three clarifying questions. The
27 first is, you've said that you're asking for agreement by
28 the Board that the use of the EPC model, the engineering/

1 procurement/construction model, is appropriate. But then
2 you went on to say "or some combination". And it seems to
3 me that "or some combination" means there is no model,
4 because basically you're doing it on a case-by-case basis,
5 deciding how much you want the contractor take on.

6 MR. REINER: If I can answer that with an example
7 where that would apply, when we talked yesterday about the
8 turbine generator project, our -- so following these
9 principles in our strategy, our efforts were to achieve an
10 EPC contract for that work. And due to the intellectual
11 property restrictions that the original equipment
12 manufacturer has imposed on us, we were actually not able
13 to successfully get to an EPC without a significant risk
14 premium that we deemed uneconomic.

15 That resulted in us entering into an engineering
16 services and parts agreement, so the EP is with one
17 contractor and the C is with a different contractor. So we
18 have two contractors essentially covering the EPC space.
19 So that would be -- that's what we would mean by that
20 principle.

21 MR. SHEPHERD: So what you're asking then is for --
22 your strategy is to issue a contract on an EPC,
23 engineering, procurement, and construction basis, for each
24 of the major work packages, and that that would be your
25 default unless you can't.

26 MR. REINER: Unless we can't.

27 MR. SHEPHERD: So what you're asking the Board to
28 approve is that that's a good strategy to try to achieve

1 that and only back away from it if it's not feasible.

2 MR. REINER: If it's not feasible or it's --

3 MR. SHEPHERD: Okay.

4 MR. REINER: -- unattainable.

5 MR. SHEPHERD: That's the first question. The second
6 question is, I asked you yesterday and I want to confirm
7 with you that the method of minimizing risks through a
8 gating approach, which minimizes extrinsic risk -- which
9 we'll come to with Mr. Reed -- but also somewhat minimizes
10 intrinsic risks, that's not part of the strategy for which
11 you're asking approval?

12 MR. REINER: That's correct. The gated process is not
13 part of the strategy. It is a control that we have that we
14 utilize in project management, but it's not part of the
15 commercial strategy.

16 MR. SHEPHERD: Okay. And then finally you've been
17 very clear you're not asking this Board to render any
18 opinion or approval of any sort on the resulting prices or
19 even terms that you're ending up with.

20 And so when you come to close these items to rate
21 base, those may be an issue, right? They will be open
22 issues, but -- and here's the thing I want to be clear --
23 what you're saying is at that time nobody can challenge
24 your resulting costs on the basis that you didn't take the
25 right approach? They can say you didn't get the right
26 answer, but they can't say you didn't take the right
27 approach because the Board will have already approved the
28 approach; is that fair?

1 MR. REINER: We would expect that a finding that finds
2 the strategy reasonable, that the approach would then have
3 been seen to be reasonable. Where the price would come
4 back into play is we are working towards a release-quality
5 cost estimate at the end of 2015. So through these various
6 contracts, there is work that will progress that will get
7 to us a schedule and a cost estimate.

8 And as we had said previously, that would essentially
9 then establish a yardstick for cost and schedule that we
10 would monitor the overall performance against.

11 MR. SHEPHERD: Okay. Let's -- thank you. That's -- I
12 think I'm very clear on the approvals that you're asking
13 for in this area.

14 Is it -- does the Board want to ask any questions
15 about that now, or is that clear enough that I can move on
16 to another area?

17 MS. HARE: Please move on. Move on, please.

18 MR. SHEPHERD: Thank you. All right. The next area I
19 want to talk about is the total cost of the project.

20 And what you've said is that you have a 90 percent --
21 98 percent confidence that the total cost, the actual end
22 result cost in dollars of the year as it's spent will be
23 \$12.9 billion, right?

24 MR. ROSE: That's correct.

25 MR. SHEPHERD: So that's -- that's not your point
26 estimate; that's the 10 billion plus, so the top of your
27 range, your confidence range?

28 MR. ROSE: That is also correct, yes.

1 MR. SHEPHERD: You had a discussion yesterday about
2 whether the Board should set that as a cap and that sort of
3 thing. And I understand that that's not what you're asking
4 for, or proposing, but in terms of assessing what you're
5 proposing in your overall project, is it reasonable for the
6 Board to assume that the all-in cost at the end of the day
7 will not be more than \$12.9 billion? Is that a reasonable
8 assumption for them to make?

9 MR. REINER: I would not say will not be, because
10 there is also the potential for unknown things to arise,
11 and then we would have to evaluate what the impact of those
12 unknowns are.

13 MR. SHEPHERD: Yes.

14 MR. REINER: And then the decisions that were made to
15 address those. But certainly if we were looking forward at
16 this point in time, the 12.9 is our high-confidence
17 estimate based on the work that's been done to date.

18 MR. SHEPHERD: All right. You have a point estimate,
19 which is lower than that, right?

20 MR. REINER: That is correct.

21 MR. SHEPHERD: And that's a confidential number?

22 MR. REINER: Yes, it is.

23 MR. SHEPHERD: Can you just -- I understand why the
24 components of that are confidential. I don't understand
25 why the total is confidential. Can you just explain that?
26 What's the concern?

27 MR. REINER: Because we have not yet agreed on target
28 pricing with our contractors, we are reluctant to disclose

1 any information that allows them to start figuring out what
2 our views are on what those target prices would be.

3 So the sensitivity is around negotiations that are yet
4 to be had with our contractors. And that's why we want to
5 disclose them in a confidential manner, so that these don't
6 become public information.

7 MR. SHEPHERD: I understand why the components of your
8 point estimate are confidential for that reason. That's
9 absolutely sensible.

10 What I don't understand is why the total would be,
11 given that knowing the total is not going to help you with
12 what each component is going to be, right?

13 MR. REINER: You know, it starts us down potentially
14 slippery slope, you know, what groupings are acceptable to
15 make public, what groupings aren't acceptable to make
16 public. So our position was fairly black and white. Where
17 it's point estimate-related, we ask that it remains
18 confidential.

19 MR. SHEPHERD: Okay.

20 MS. HARE: Yes, I don't understand that at all.
21 You've disclosed that it's 12.9, and then Mr. Shepherd
22 asked is the point estimate lower. And you said yes. So
23 you won't disclose that number, but you had no problem
24 disclosing the 12.9?

25 MR. REINER: That is correct.

26 MS. HARE: I don't understand why you can disclose one
27 and not the other one?

28 MR. REINER: The other --

1 MS. HARE: Again, we're talking total numbers, not the
2 components.

3 MR. REINER: Yes. No, I realize we're talking total
4 numbers. Our position has been where we get to point
5 estimates, those are reflective of our views on what the
6 target prices should be.

7 MS. HARE: Isn't that good for contractors, to see
8 that so that they know that --

9 MR. REINER: No --

10 MS. HARE: -- you know, it's not 12.9; it's really
11 something less?

12 MR. REINER: It can and it can't be good. If -- you
13 know, there's a variety of negotiating strategies to take.
14 I would not start with my point estimate if I was
15 negotiating. I would want them to see a lower number than
16 my point estimate, because in all likelihood there will be
17 a discussion with the contractor that will try to get that
18 point estimate as high as they can get it.

19 Our strategy will be to drive that down. Now, it will
20 all be done within the scopes of work that we're talking
21 about and the estimates, but, you know, it isn't
22 necessarily good to be disclosing our view of what the
23 price should be.

24 MR. SHEPHERD: Your point estimate has an uncertainty
25 around it, and the 12.9 is the top of your uncertainty
26 band, right?

27 MR. REINER: The point estimate doesn't have an
28 uncertainty band. It's a point estimate.

1 The uncertainty band, there is a -- there is an
2 uncertainty, if you're referring to sort of the class of
3 estimate, yes. There is, based on the -- based on the
4 discussion -- we had a technical panel. We're at a class 3
5 estimate, essentially, working our way down to a class 2
6 estimate, a more detailed estimate.

7 So there is a range around the point that does exist.
8 It isn't the -- it isn't the, you know, 10 billion on the
9 upper end or the 6 billion on the lower end. It falls
10 within that.

11 MR. SHEPHERD: The reason I ask this is you've said
12 publicly that your current estimate is a class 3 estimate.
13 That you have a point estimate; that it's a class 3
14 estimate?

15 MR. REINER: Yes.

16 MR. SHEPHERD: It's actually a class 3/4, right? It's
17 not quite 3 yet, but it's close?

18 MR. ROSE: I wouldn't say it's a class 3 at this
19 point. I would say it's more likely more --

20 MR. SHEPHERD: And the classification relates to the
21 level of certainty and the level of work you put into it.
22 And so you have five levels. So you've done 4 and you've
23 done 4, you're now at 3, and the release-quality estimate
24 will be a class 2?

25 MR. REINER: It will be between 2 and 3. In some
26 cases, there may still be some elements of class 3 at
27 release-quality estimate, but certainly for the large job,
28 the re-tube and feeder replacement, it would be a class 2

1 estimate.

2 MR. SHEPHERD: Class 2 estimate means that you've
3 essentially -- I'm going to oversimplify this, and I'm sure
4 Mr. Gould will jump in and say: No, obviously you're not a
5 specialist in this area.

6 But class 2 essentially means that you've done enough
7 preliminary work to identify all the major risks, including
8 the risk that would come out of engineering and design and
9 that sort of stuff, and that you anticipate that you've got
10 almost all of the major risks identified and quantified,
11 right? Is that fair?

12 MR. ROSE: Yes, a class 2, the detailed design is
13 done, the comprehensive work packages on how you're going
14 to do the work are done. So you understand the job, you
15 understand the risks associated with executing that job,
16 and you have a tighter band of uncertainty, so to speak,
17 against where you are before you do engineering.

18 MR. SHEPHERD: At a class 3 level -- let's assume your
19 number is class 3 now, and here is why I was asking the
20 question about confidentiality -- once we know that your
21 top overnight number is 10 billion and your loaded cost is
22 12.9 billion, and you know it's a class 3 estimate, it's
23 actually pretty mathematical to know where your point
24 estimate should be, because you know what the uncertainty
25 band should be around your point estimate and you know that
26 the 10 is at the top of the range, right?

27 MR. ROSE: Not necessarily, because the -- for one,
28 there's about 50 to 60 percent of the job which is direct

1 to contractor work.

2 MR. SHEPHERD: Yes.

3 MR. ROSE: Of that each of those elements have -- some
4 of them are at class 3, some are at class 4. There are
5 some -- some minor ones that are still at class 5. So
6 there is a blend. Generally speaking on average we are at
7 class 4, progressing to a class 3, but I don't know that
8 it's simple math and people could figure that out.

9 So in addition to that we have our contingencies that
10 are in there that are based on the level of uncertainty.
11 We also have our own assessment of where the other discrete
12 risks that are above and beyond that estimating
13 uncertainty, and we have our own management reserve.

14 MR. SHEPHERD: And -- okay. Contingencies are not
15 intended to cover forecast uncertainty, right? They're
16 intended to cover the fact that you will have things happen
17 that will cost money that you don't have specifically
18 budgeted. And so you expect to spend the contingency,
19 right?

20 MR. ROSE: Our contingency is for the residual risk
21 associated with an item, and it's really two major
22 components. Estimating uncertainty. Based on our current
23 planning, the price may be different than what our current
24 plans say, plus it's a -- there's a contingency for
25 discrete risks associated with specific events. As an
26 example, the regulator asks us to do additional scope.
27 There would be a discrete risk for that event. We would
28 carry a probability, and a consequence of that, that

1 residual risk, would be included in our contingency. For a
2 Monte Carlo we get to a P90, which is embedded in our
3 overall high-confidence estimate.

4 MR. SHEPHERD: Describe what a P90 is.

5 MR. ROSE: Ninety percent probability that the cost
6 for that work will fall under that number.

7 MR. SHEPHERD: Okay.

8 MR. ROSE: So at our high-confidence estimate we're
9 saying we've got in essence a 99 percent confidence that
10 our estimate will fall under that number.

11 MR. SHEPHERD: So basically all the risks are
12 quantified and treated like they're going to happen.

13 MR. ROSE: Yes, in essence, yes, from two
14 perspectives, from the estimated uncertainty, the fact that
15 some jobs are not as defined as other jobs so we carry a
16 broader range for those. As you do the detailed
17 engineering that range tightens, plus the discrete risks
18 that we're aware of on this job.

19 MR. SHEPHERD: Here is why I'm going for this. I
20 don't actually remember what the point estimate is. I've
21 seen it, but I don't remember it, so I can't blab it. But
22 let's say it's 8-and-a-half billion dollars. As I say, I
23 don't know what it is. That implies a certain range of
24 uncertainty around that, given that you've said 6 billion
25 to 10 billion, right? Now, I heard you yesterday say
26 6 billion isn't really realistic any more. That's not
27 going to happen. You know for sure.

28 And so it's really a range around 7- or 8 billion to

1 10 billion is really where you are right now, and somewhere
2 in there is the number that you think is going to happen.
3 And that just seems, at this point when you haven't done
4 the engineering, it seems to us, and obviously you heard
5 the questions yesterday, it seems to a lot of people like
6 it's very narrow for where you are in the project.

7 Doesn't that concern you? And then I'm going to ask,
8 Mr. Gould, for you to comment on that as well.

9 MR. REINER: I'll maybe start, and I'll ask Mr. Rose
10 to chime in. If you look at that estimate and you break it
11 down into its components, and in the confidential filing
12 you can see those components, there is a sizeable cost
13 associated with things that are fairly fixed but we can
14 predict fairly accurately, and it would include things like
15 waste-related cost, fuel-related costs.

16 The OPG project management costs are essentially time
17 and material. We know what our burden salary rates are and
18 how much time the project will take to execute. There is
19 some uncertainty around that, because there is schedule
20 uncertainty.

21 But when you peel all of those things away, and then
22 what you are left with is the executable work that the
23 contractors will perform, the refurbishment, scope of work,
24 so to speak, that becomes a smaller number.

25 And then when you look at the amount of contingency
26 that would be inside that point estimate, you then start to
27 see that it actually -- the ranges actually do line up.

28 MR. SHEPHERD: So what you're saying, in essence, is

1 if the stuff that can really go wrong -- sorry, if the
2 stuff that could really go wrong is really only \$3 billion
3 in actual costs, let's say, and then you've added on
4 reserves and contingencies and stuff, and then you've got
5 all these other things that are sort of within your
6 control, like your own internal costs, then that \$3 billion
7 has to go very, very wrong to get you outside of the, let's
8 say 8- to \$10 billion range, right?

9 MR. REINER: I think that would be a fair -- based on
10 the way we are structuring this project and getting to, you
11 know, engineering complete before release quality estimate,
12 the mock-up, the tool testing, all of that, our expectation
13 is that our point estimate, plus whatever we still -- you
14 know, there will still be a question at that time that we
15 have not yet landed on around management reserve that we
16 will clarify as well. We expect that there's going to be a
17 high degree of certainty.

18 MR. SHEPHERD: All right.

19 MR. REINER: Now, there are still -- just maybe to
20 add, there will be some unknowns that we are still going to
21 encounter that could result in scope increases, because we
22 are not able to assess every component in the power plant.
23 So there are still components inside the reactor that we
24 need to look at and potentially refurbish. We're drawing
25 on operating experience from the other refurbishments and
26 are projecting to see what we may encounter inside a
27 Darlington unit, but there are still some of those
28 unknowns, and they will be held in contingency.

1 MR. ROSE: Mr. Shepherd, in your question you said
2 that, based on the fact that we haven't completed
3 engineering, would we -- how can we be so confident in the
4 contingency that we have, and I just wanted to clarify
5 that. You're right, we haven't completed engineering, but
6 there is a significant amount of engineering that has been
7 done. Specifically for our largest job, the retube and
8 feeder replacement, a significant amount of engineering has
9 been done, and that job has progressed the farthest along
10 from our level of certainty.

11 Some of the next bigger jobs, turbine generator, as an
12 example, the engineering also has progressed quite a long
13 -- quite a ways, and we also have, if, you know, getting
14 back to our breakdown, we have some fixed-price contracts
15 for the large components, the supply components of that
16 job, so there is some degree of confidence in having those
17 types of contracts in place as well.

18 MR. SHEPHERD: Well, the biggest and most risky of the
19 components is the retube and feeder replacement, and I take
20 your point, Mr. Reiner, that until you get inside the
21 reactor you haven't really done the hard part of the
22 engineering yet, because you have to look and see what
23 you've got.

24 MR. REINER: Well, the engineering on that job is
25 actually not the complicated part. Aside from -- I don't
26 want to oversimplify it. The tooling is very complex, and
27 that's progressing quite well. It's being done on a
28 target-price model. But -- sorry, on a fixed-price model.

1 The --

2 MR. SHEPHERD: Let me just -- that was -- that's
3 behind schedule but it's catching up; right?

4 MR. REINER: One of the tools is tracking behind --
5 there are 450 tools in total that are being built. One of
6 the tools is behind schedule and catching up, yes.

7 MR. SHEPHERD: And that's risking your critical path
8 right now, but you're hoping to get back.

9 MR. REINER: It is potentially risking the critical
10 path. We have found a way to get that off the critical
11 path --

12 MR. SHEPHERD: Ah.

13 MR. REINER: -- through other changes we've made, so
14 it won't affect critical path, and we will get it back on
15 track. But in terms of the engineering itself, a retubing
16 of a reactor is essentially a like-for-like component
17 replacement, so we're not redesigning the power plant.

18 There are obviously material specifications that have
19 to be developed. They are done. Material orders have been
20 placed. There are some changes in the metallurgy for some
21 materials. That has been completed. The orders are ready
22 to be placed. I think in most cases all long lead orders
23 have been placed.

24 So the job itself, what creates the complexity in this
25 job, is that you have 480 fuel channels, 960 end fittings,
26 960 feeder pipes. If it isn't executed in a very precise
27 sequence or an issue arises that might require you to go
28 back and rework, which was the case at Point Lepreau,

1 you're having to do that 480 times. And if it takes you
2 half a day to do that work, you multiply that by 480, you
3 can see how the schedule overruns arise.

4 So it becomes a complicated job from the perspective
5 of orchestrating the execution. What we've done to
6 mitigate that is we've built the mock-up. We're going to
7 rehearse all of this. We're going to test it all. We're
8 going to test the actual installation of the components, so
9 that before we go into the reactor we have a high degree of
10 certainty what we captured in the schedule is actually
11 achievable in real life.

12 MR. SHEPHERD: That's actually where I was going, so
13 thank you. Because that sounds like what's going to drive
14 this project in terms of its success or failure is not
15 really going to be your commercial and contracting
16 strategies, it's going to be your project management
17 strategies. You're taking a project management approach,
18 which is -- sometimes you manage a project, and you say:
19 Let's use the 80/20 rule. Let's get as much right as
20 possible and we'll fix what isn't -- what wasn't done right
21 the first time.

22 In this case, you're saying: No, let's not do that.
23 Let's absolutely make sure we get it right the first time
24 on everything, right?

25 MR. REINER: That is -- so the operating experience
26 that led to the decision to manage the project as we are,
27 as you said, to build the mock-up, is really about getting
28 productivity levels to a high level before the work starts

1 on the reactor face.

2 Every prior refurbishment had a run-up curve on
3 productivity. Tooling, for example, was used for the first
4 time on a reactor face, and the bugs needed to be ironed
5 out.

6 All of our tooling will be tested, the maintenance
7 activities will be known, the operations will be known.
8 There are going to be some fine-tuning and adjustments that
9 will need to be made. We want that to be done in the time
10 leading up to refurbishment on the mock-up, so that we
11 enter at a high productivity level.

12 Going back to the contracting strategy just for a
13 second, the project management approach is very critical --
14 and that's the owner oversight that we have implemented --
15 but there is an element in the contracting strategy that is
16 critical as well, because we do want to incentivize the
17 contractor to hit the schedule timelines and stick to those
18 schedule timelines.

19 And that does become important, again because it's a
20 very repetitive job. It becomes important for us that
21 that's maintained, and that's why the incentive and
22 disincentive structure is in there, on both schedule and
23 cost.

24 MR. SHEPHERD: Excellent. That was very helpful.

25 Can we turn to you, Mr. Reed? And I would like to
26 look at your report for a minute, if you don't mind. And I
27 want to start with attachment A to your report, which is
28 the scope of services.

1 And this is marked "confidential" but I don't think
2 it's a confidential document in this proceeding, is it?
3 No. Do you have that?

4 Madam Chair, I don't have a compendium. because I'm
5 only going to refer to five documents. And in each case
6 I'm going to refer to a lot of the documents, so it didn't
7 make sense to put it in a compendium.

8 MR. REED: Mr. Shepherd, I heard you say attachment A.
9 Did you mean attachment 7?

10 MR. SHEPHERD: No, sorry, this is the report, which is
11 attachment 7-1, and I'm looking at attachment A to your
12 report, which is the scope of services. I took it right
13 from your September 2013 report. It's also filed
14 separately in the evidence.

15 MR. KEIZER: This is the scope of service? Is that
16 what --

17 MR. SHEPHERD: Yes.

18 MR. REED: I think I have it. Go ahead.

19 MR. SHEPHERD: I have a couple questions about this --

20 MS. HARE: One second, please. We're waiting for it
21 to come up on the screen.

22 MR. SHEPHERD: I found it at the end of 7-1. Also at
23 the end of the contract. If you go to page 977 of the PDF?
24 D2-2-1, PDF, 977. Well, it's attached to attachment 7-0.

25 MR. KEIZER: What page are you going to refer to, Jay?

26 MR. SHEPHERD: It's only a two-page document.

27 MR. KEIZER: Oh, sorry. It's a schedule to the
28 letter. Is that the...

1 MR. SHEPHERD: Yes, the schedule to the letter.

2 That's right.

3 MR. KEIZER: Thank you.

4 MR. SHEPHERD: Excellent. So I just have a couple
5 questions about this, Mr. Reed.

6 When we talked with Mr. Gould about his retainer, he
7 made clear that this is an internal activity that OPG was
8 doing as part of the normal course of managing the project.
9 It wasn't really for regulatory purposes; it was so they
10 would have somebody separate, looking at what they were
11 doing and challenging what they were doing. We heard that
12 discussed yesterday.

13 My understanding, Mr. Reed, about your project is it
14 was not like that. You were retained by -- not by OPG, but
15 by legal counsel to -- for OPG, to assist -- to provide an
16 opinion and an analysis as part of the regulatory process,
17 right?

18 MR. REED: No, that's not entirely correct. Our scope
19 did include potentially providing an opinion for the
20 regulatory process, but our engagement began with assisting
21 counsel to advise with regard to commercial aspects of the
22 strategy and the contracting strategy.

23 So if you take the very first bullets on that page A-1
24 that you've taken us to, we began with work that had
25 nothing to do with the regulatory process or providing an
26 opinion for that process.

27 MR. SHEPHERD: Okay. Well, you weren't -- you weren't
28 telling counsel how to write their contracts, right? You

1 were advising what the structure of the business
2 relationship should be from a best-practices point of view,
3 right?

4 MR. REED: We were advising counsel and the client
5 with regard to the commercial strategy, the contract
6 strategy, and the reasonableness of both.

7 MR. SHEPHERD: Okay. So my question was: Are you
8 telling them what to put in the contract, what words to
9 write, or are you telling them about the business
10 relationship? You're not a lawyer, right?

11 MR. REED: That's correct. We're not drafting the
12 contracts, but we are telling them our views with regard to
13 structure of the contracts.

14 MR. SHEPHERD: And your -- at the time you were
15 retained, it wasn't a blank page. They had a proposal that
16 they wanted to go ahead with, they had a strategy, and they
17 were asking you to give an opinion on their strategy,
18 right?

19 MR. REED: There are five different opinions that
20 we've provided for five different work packages, as well as
21 an opinion on the overall commercial strategy. At the time
22 we came in, they had a very early draft of the commercial
23 strategy, which changed substantially after we were
24 engaged. They did not have early drafts of the other
25 contracting strategies, so those were developed as we went
26 along.

27 MR. SHEPHERD: Should the Board assume that the
28 commercial and contracting strategies are your work, or

1 OPG's work that you're providing an opinion on?

2 MR. REED: They are OPG's work that we're providing an
3 opinion on to this Board, but we were certainly involved in
4 providing our opinion as we went along as to how to improve
5 that.

6 MR. SHEPHERD: All right. The second bullet here
7 talks about reviewing their contract design strategy. I
8 take it that -- and you did an opinion on the balance of
9 plan, right?

10 MR. REED: Correct.

11 MR. SHEPHERD: But I take it you didn't provide an
12 opinion on their specific strategy on the campus plan; is
13 that right?

14 MR. REED: That's correct.

15 MR. SHEPHERD: And so the fact that that sort of got a
16 little screwed up, not really your fault. They didn't ask
17 you the way to do it.

18 MR. REED: We did not provide an opinion. We were not
19 asked to look at the campus plan at all.

20 MR. SHEPHERD: All right. So Mr. Reiner, why was --
21 you had an expert in place in 2011, was it? Was it in
22 2011, Mr. Reed?

23 MR. REED: Yes.

24 MR. SHEPHERD: So you had an expert in place. Why
25 didn't you ask for advice from the expert about the
26 strategy in the campus plan?

27 MR. REINER: The campus-plan strategy is a pretty
28 straightforward strategy. The campus plan is really all

1 about facilities that are needed in order to accommodate
2 station operations for another 35 years and the
3 refurbishment project. So it gets into, in large part,
4 buildings, office buildings. Some of those office
5 buildings have maintenance shops associated with them,
6 lunch rooms, change rooms. There is a complicated job, the
7 D2O storage building, which needs to house heavy water.
8 There were already contracts in place that were being
9 utilized to execute that work, so we didn't see that as
10 really an area that we would have, you know, sought that
11 kind of assessment.

12 Now, we did, though, however -- you know, the contract
13 that is used to do the campus-plan work has similar
14 elements to these contracts. There are fixed-price
15 elements to some of the jobs, there are target-price
16 elements, so there are parallels. But we didn't see that
17 as having the kind of impact, potentially, that a retube
18 and feeder replacement job would have and not getting that
19 right.

20 MR. SHEPHERD: Well, the key decision you made on the
21 campus plan, as I understand it, was to go with existing
22 contractors with whom you had existing agreements, right?

23 MR. REINER: That's correct, yes.

24 MR. SHEPHERD: And treat it as part of your sort of
25 day-to-day projects that you do on a regular basis every
26 year, as opposed to segregating and having it -- writing it
27 up separately.

28 MR. REINER: It would be -- so the strategy was to

1 utilize the projects organization in OPG that executes the
2 capital-project portfolio that is part of the nuclear
3 operations business and to use that organization and those
4 processes and the contracts to execute that work.

5 MR. SHEPHERD: But you ultimately used a largely
6 target price with some fixed-price components, the same as
7 you're using with SNC-Aecon, for example?

8 MR. REINER: Similar to, yes. Yes, similar --

9 MR. SHEPHERD: And you started out with more fixed
10 price and therefore less oversight by OPG and changed it as
11 the problems arose to increase your oversight.

12 MR. REINER: It -- so the campus-plan projects were
13 really the first projects being executed in this EPC model.

14 MR. SHEPHERD: Yes.

15 MR. REINER: And the initial approach for managing
16 that EPC arrangement was a more hands-off approach.

17 MR. SHEPHERD: And that turned out to be wrong.

18 MR. REINER: And that turned out to be wrong, and that
19 has been corrected and has been adjusted, and it is a
20 learning that we've incorporated into the future project
21 work.

22 MR. SHEPHERD: All right. Mr. Reed, back to you.
23 Still on this page dealing with the scope of your services.
24 One of the things, if you look at the bullet under
25 "industry practices and strategy employed", you'll see that
26 one of the things that you're asked to do is apply your
27 knowledge of best practices for procurement for these types
28 of projects, right?

1 MR. REED: Yes.

2 MR. SHEPHERD: And also to identify how contracting
3 practices in Canada differ from the United States, right?

4 MR. REED: Yes.

5 MR. SHEPHERD: So I heard you yesterday say, and make
6 a point, in fact, of saying, Lookit, there is no textbook
7 here. There is no standard way of doing this right. It's
8 on a case-by-case basis. Isn't that true?

9 MR. REED: It is a case-by-case basis. You have to
10 develop a solution that's appropriate for the circumstances
11 of each project.

12 MR. SHEPHERD: So when you talk about best practices,
13 it is not like there is a gold standard somewhere. It is,
14 in this situation this is a good way to react to this
15 problem or this problem, right?

16 MR. REED: There is not a single solution, if that's
17 what you mean by "gold standard". There are still best
18 practices, and it depends, of course, on the nature of the
19 project, the level of development, whether it's a new
20 project or an existing refurbishment or upgrade of an
21 existing facility. The expertise and capability set of the
22 owner of the project is very important in selecting the
23 right strategy and the experience they've had in other
24 mega-projects or large projects. So --

25 MR. SHEPHERD: So for example, the problems that
26 happened with the projects and modifications or projects
27 and maintenance? Projects and modifications? What's it...

28 MR. ROSE: Projects and modifications.

1 MR. SHEPHERD: Projects and modifications group, those
2 problems came about because they were inexperienced, you
3 would say, they were inexperienced in handling projects of
4 this size and complexity, and so it would have been better
5 to have a group that had more experience and expertise in
6 that area, right?

7 MR. REED: Right. We haven't conducted a review of
8 why things went the way they did on the campus plan.
9 That's Mr. Gould's area, and I'm sure he can answer that
10 question better than me.

11 MR. SHEPHERD: Would that be a fair conclusion, Mr.
12 Gould, that the problem with that area was really that the
13 group that was running it simply didn't have the experience
14 in running that kind of work?

15 MR. GOULD: What we say is there is no issue with the
16 contract itself or the contract model itself. It was the
17 management approach that was applied to it, as you stated
18 in your question. You talked about an initial hands-off
19 approach, and that's what we saw occurring on these early
20 pilot projects.

21 MR. SHEPHERD: Wonderful. Back to you, Mr. Reed. One
22 of the things that you've been very clear about, what you
23 -- what your analysis is about, and if I can paraphrase
24 what you said yesterday, you answered the question, are
25 they doing it the right way, not the question, are they
26 getting the right answer. Is that fair?

27 MR. REED: I can't tell you whether it's way or answer
28 (sic) unless I know what the question is. If the question

1 is, is this the appropriate contracting strategy, then the
2 answer is, yes, they're getting the right answer, in my
3 opinion --

4 MR. SHEPHERD: But that's about their approach.
5 That's not about the results. You're not providing any
6 opinion on their results, only the approach.

7 MR. REED: Not entirely correct. If you go to our
8 statements in, for example, attachment 7-1.

9 MR. SHEPHERD: Okay.

10 MR. REED: At page 2 of that document, which is in
11 (iii), tells you specifically the questions we are
12 answering. The first is, are the commercial strategies
13 selected by Ontario Power Generation reasonable, and the
14 second is, are those commercial strategies being executed
15 in a reasonable manner.

16 So we are engaging in a review of conduct, as well as
17 form, and question 2 goes to conduct.

18 MR. SHEPHERD: Okay. So the distinction I was trying
19 to make was between conduct and results. So you're not
20 forming an opinion on whether they have selected the right
21 contractor, whether they have got the right price or even
22 the right pricing model. None of that. What you've said
23 is they have gone about this the right way.

24 MR. REED: I think that, and that the decisions they
25 have made have been within a range of reasonable behaviour.
26 I think our exclusions are quite clear in section 5 of our
27 report, but we have focused, as I said, on decisions that
28 they made and whether those were within a range of

1 reasonable behaviour.

2 MR. SHEPHERD: And that leads to the second question,
3 and you've emphasized this a number of times, that your
4 opinion is not that what they've done or what they're
5 planning to do is optimal. What your opinion is, is it's
6 within a reasonable range. That's quite different, right?

7 MR. REED: Yes, reasonable range and reasonableness is
8 different than achieving optimality --

9 MR. SHEPHERD: And so there could be other ways of
10 doing this? They could have chosen other ways of doing
11 this that would also be within the reasonable range, true?

12 MR. REED: That's correct.

13 MR. SHEPHERD: Okay. I just want to talk briefly
14 about the nature of risk management, because you talk about
15 this in your report, and this is really central to these
16 commercial and contracting strategies.

17 When you're managing risk -- and this may be for you,
18 Mr. Reiner, if not -- or Mr. Reed, either of you -- when
19 you're managing risk, there's really two things you can do.
20 You can either reduce the probability that the risk
21 actually happens, costs anybody anything, or you can shift
22 the responsibility for paying for it to somebody else.

23 Those are basically the two methods you manage risk,
24 right?

25 MR. REED: No. The third is managing the severity of
26 the risk.

27 MR. SHEPHERD: Which is really part of -- when I said
28 probability, I meant probability, severity, the

1 combination; but you're right.

2 But that's about reducing the absolute cost of the
3 risk versus changing who pays for it, right?

4 MR. REED: That's correct.

5 MR. SHEPHERD: All right. And with respect to
6 reducing the absolute cost of the risk -- tell me whether
7 this is right -- there's two main ways you can do that.

8 One is that you can increase your control or your
9 visibility or your oversight, so that you can manage the
10 risk or the severity of more tightly.

11 And the second is if you're not able to do that, you
12 can motivate or incent somebody else to do that in your
13 place, right?

14 Those are the ways you can cause the risk to be
15 reduced?

16 It's not a trick question. It seems straightforward
17 to me.

18 MR. REED: No. It actually is quite a bit more
19 complicated than that. Probably an example is best.

20 You can increase oversight and management activity to
21 help reduce likelihood and magnitude or severity of risk.
22 You can transfer that risk, as you've said, and you can
23 incent others to better manage the risk.

24 But you can also structure things so that from a
25 decision analysis perspective, the risks that you're
26 exposed to at any point in time are reduced. And we talked
27 earlier -- you've raised the issue a number of times --
28 about gated decision-making.

1 Gated decision-making is a way of reducing the level
2 of risk you're exposed to by taking individualized
3 decision-making steps or decision analysis undertakings
4 before the risk becomes too large. So you're not actually
5 reducing the risk or reducing the frequency or likelihood
6 of the risk, but you're reducing your exposure to it, by
7 saying: I'm going to make a decision before I get too far
8 down this path.

9 MR. SHEPHERD: Which --

10 MR. REED: And continuing to make those decisions as
11 new information becomes available.

12 MR. SHEPHERD: Which allows you, then, to respond to
13 the risk and reduce -- before it gets too severe, and
14 therefore reduce how much it costs, right?

15 MR. REED: Yes.

16 MR. SHEPHERD: So that's a method of reducing the
17 absolute cost of the risk, going slow.

18 MR. REED: Reducing exposure to the risk, is how I
19 would state it.

20 MR. SHEPHERD: All right. I'm right, am I not, that
21 these commercial and contracting strategies are based
22 mainly on the notion that control and risk are intimately
23 related to each other, that to the extent that you have
24 more risk, you need more control, and to the extent that
25 you have more control, you're typically taking more risk;
26 is that right?

27 MR. REED: I agree with that.

28 MR. SHEPHERD: And so when we look at the various

1 standards -- fixed-price, for example -- you have much less
2 control and oversight, but in theory, at least -- and we'll
3 come to the reality in a minute, but in theory you have
4 less risk as well?

5 MR. REED: In theory, under a fixed price you have
6 less risk, yes.

7 MR. SHEPHERD: I wonder if you could then go to page 1
8 of your report.

9 And this is actually a question for you, Mr. Reiner,
10 because when you talked about the approvals, you talked
11 about the process you're going through. And this is 7-1,
12 D2-2-1, attachment 7, page 1. And I'm in the bottom
13 paragraph there. It starts: "The project is following a
14 standard megaproject progression."

15 Do you see that, Mr. Reiner?

16 MR. REINER: Yes.

17 MR. SHEPHERD: I looked at this and I thought this
18 sounds like it describes exactly how you're running your
19 project; is that a fair description of your project?

20 MR. REINER: At a high level, if you were to roll up
21 all of the project activities and divide it into distinct
22 phases, this would be the description of those phases, yes.

23 MR. SHEPHERD: And where you are right now is you're
24 in the middle of 3, right?

25 MR. REINER: We're in the middle of 2.

26 MR. SHEPHERD: I thought you were in the process of
27 doing the detailed scope and project schedule right now.
28 Are you not?

1 MR. REINER: We are -- there are some projects in
2 execution phase. So campus plan projects would be in
3 execution phase.

4 But the Darlington refurbishment, the work that is
5 going to take place in the units during the unit outages,
6 we are in the definition phase. The definition phase
7 includes the engineering work, the cost estimating. The
8 execution phase starts -- the line that we've drawn for the
9 execution phase, it starts at release-quality estimate,
10 because after that point we'll start to ramp up the
11 resources, we'll start to do the training to get ready for
12 doing the work in the field.

13 MR. SHEPHERD: Understood. Most of your scope is
14 done, though, right? In fact, you have had some extensive
15 analysis of scope to make sure you nail it down pretty
16 tightly?

17 MR. REINER: Yes. Scope definition gets done in the
18 definition phase. We are a long ways down the path of
19 defining scope. Much of it is very clearly defined. We
20 know exactly what needs to be done, but some work is still
21 needed in some areas in order to understand precisely what
22 the scope of work is going to be.

23 MR. SHEPHERD: But you've already gone through two
24 processes where you had ex -- not external, but external to
25 your team review of scope, and tightening of the controls
26 over scope, right?

27 MR. REINER: Yes. We've gone through review
28 processes. Those are sort of checks along the way. But

1 we're not yet completely finished, but will be as we get to
2 the release-quality estimate. That's the target. We will
3 have scope.

4 To the extent that there are certain areas that we're
5 not going to know precisely, and those will get factored
6 into our contingency, but in large part -- and that relates
7 to areas of the plant that we just can't access.

8 MR. SHEPHERD: Okay. Can you turn to page 5? And
9 this is for you, Mr. Reed.

10 You talk about the types of risk, the extrinsic risks,
11 hurricanes and -- or political interference or any number
12 of other things like that. And intrinsic risks like how
13 you're running the project, right?

14 MR. REED: Yes.

15 MR. SHEPHERD: And extrinsic risks, they're not within
16 your control, so what you have to do is you have to sort of
17 proceed cautiously. The best way to manage extrinsic risks
18 is through a cautious sort of "keep your eyes open to see
19 what's coming" approach, right?

20 MR. REED: Certainly that's one of the aspects of why
21 a gated decision-making process was best here. You try and
22 minimize your exposure to it and you try and maximize your
23 awareness of it.

24 MR. SHEPHERD: Okay. So it's about visibility and
25 about caution. True? You proceed cautiously, making sure
26 that nothing blindsides you?

27 MR. REED: As much as possible, yes.

28 MR. SHEPHERD: All right. And part of that in a

1 project like this, which is sensitive -- it has political
2 and public sensitivity -- part of that is trying to keep
3 everybody onside all the way through the piece, right?
4 Make sure the government is happy, make sure the public is
5 happy, et cetera, right?

6 MR. REED: Stakeholder involvement is an important
7 part. You can never make everybody happy, but stakeholder
8 involvement is important.

9 MR. SHEPHERD: Am I right in understanding, Mr.
10 Reiner, that the purpose of asking this Board to review
11 your commercial and contracting strategies is precisely to
12 manage this extrinsic risk? That is, the risk that they
13 will later say: Wait a second, we don't like how you did
14 this. So you're, in effect, gating the strategy through
15 the Board in this application; isn't that right?

16 MR. REINER: We are trying to be as open and
17 transparent as we can with how the project is being
18 managed, approaches used. We're going to disclose what the
19 release-quality estimate is.

20 And a part of that is to maintain alignment across
21 stakeholders. That is certainly a part of that.

22 MR. SHEPHERD: Okay. That wasn't quite my question,
23 though.

24 I've characterized the request to review your
25 commercial and contracting strategies as a risk -- a
26 management of an extrinsic risk; is that fair?

27 MR. REINER: We -- you could call it a management of a
28 risk, but we recognize that at the end of the day, our --

1 the way our rates get adjusted is, as these assets make
2 their way into rate base, that's where the decisions will
3 get made.

4 With a project of this duration and this length we're
5 talking about the first unit going into service in 2019,
6 and from our perspective it's important that there is a
7 good understanding on how we're executing this project so
8 that when those final decisions get made they can be made
9 in an informed way.

10 MR. SHEPHERD: It's -- and I'm trying not to stray
11 into argument, and I'm actually trying to get sort of the
12 sense from you of where this is. It's sort of a balance
13 from the point of view of the Board, isn't it? On the one
14 hand they don't get to see the whole picture all at once,
15 as they would if they just looked at the whole thing at the
16 end. They're getting bits and pieces along the way.

17 On the other hand, it's fair to you to give the Board
18 an opportunity to red-flag something if they think they
19 don't like it. Isn't that right?

20 MR. REINER: We'd certainly want to understand if
21 there are areas that are of concern, and we would want to
22 understand why they are of concern.

23 MR. SHEPHERD: How do you propose that the Board deal
24 with the fact that they don't see the whole picture all at
25 once?

26 MR. REINER: I think that's where sort of we're going
27 back to, you know, when we talked about our finding that
28 we're seeking from the Board on reasonableness of our

1 approach. I think we're not -- you know, I mean, I can't
2 comment on what -- you know, where the Board sits in terms
3 of not being able to see the whole picture, being able to
4 see a partial picture, but I would have to think it's
5 helpful to understand what the approach is that's being
6 utilized, and then to be able to see that as the project
7 progresses and to see how the project is performing
8 relative to those approaches.

9 MR. SHEPHERD: Fair comment. What I'm really after
10 here is that you've been very specific about -- and thank
11 you -- for what you're asking the Board to determine. So
12 for example, you're not asking for approval of the
13 contracts or the negotiations or the prices or contractor
14 selection.

15 But it's true, isn't it, that in order to assess your
16 commercial and contracting strategies the Board still has
17 to consider all those things. It still has to understand
18 what you're doing in the context of the \$12.9 billion
19 number, for example, true?

20 MR. REINER: It will have to consider that at the
21 point in time where those assets make their way into rate
22 base.

23 MR. SHEPHERD: Well, no, I'm asking now, how does the
24 Board consider the commercial and contracting strategies
25 without looking at all those other things around them as we
26 know now, like the 12.9 billion, like the selection of
27 their successor to AECL as the contractor, those sorts of
28 things.

1 MR. REED: Maybe I can chime in here, because that's
2 specifically a point I was trying to make yesterday.

3 MR. SHEPHERD: Okay.

4 MR. REED: The Board would be looking at the
5 reasonableness of the company's decisions in the same
6 context in which the company has had to make those
7 decisions. The company doesn't know what the final project
8 is going to cost. The company doesn't know what's going to
9 happen during execution phase and even what the RQE is.
10 But it does have to make decisions now, and it has for the
11 last three years, as to what the right commercial strategy
12 is and contracting strategy.

13 So in my view, a test of reasonableness is one that
14 bases that evaluation on the circumstances that prevailed
15 at the time those decisions were made. So by examining it
16 now, the Board is able to put itself in the same shoes the
17 company was in in having to make those decisions without
18 knowing the consequences of those decisions, without
19 knowing the results for sure.

20 But of course, that's the position the company was in,
21 and in my view that's the best way to judge reasonableness,
22 is by looking at the circumstances prevailing at the time.

23 MR. SHEPHERD: So in essence, you're avoiding the
24 problem of hindsight by saying, well, we won't wait 'til
25 later to look at it. We'll look at it now when there can't
26 be hindsight, because you're doing it now. Is that fair?

27 MR. REED: That certainly helps to put away -- put
28 aside the tendency to use hindsight, is by reviewing things

1 on an ongoing basis, yes.

2 MR. SHEPHERD: Okay.

3 MR. REED: And that's then the primary reason why
4 other state commissions have adopted that approach.

5 MR. SHEPHERD: You've talked --

6 MS. HARE: Could I just interject for a second?

7 MR. SHEPHERD: Sure.

8 MS. HARE: Could you just, Mr. Reed, say what RQE
9 stands for?

10 MR. REED: Yes, release quality estimate. Thank you.

11 MR. SHEPHERD: Let me turn -- you've looked at other
12 projects that OPG has done, right?

13 MR. REED: Yes.

14 MR. SHEPHERD: Did you look at how they approached the
15 Niagara tunnel project?

16 MR. REED: No.

17 MR. SHEPHERD: Why not?

18 MR. REED: That was not within our scope.

19 MR. SHEPHERD: That's their most recent big project,
20 though, isn't it?

21 MR. REED: We focused on their operating experience
22 with nuclear projects, not with hydro or other civil
23 projects.

24 MR. SHEPHERD: Mr. Reiner, have you looked at how OPG
25 managed the Niagara tunnel project and how it compares to
26 what you're doing in this project?

27 MR. REINER: We have. We've looked at the Niagara
28 tunnel project. We looked at the Lower Mattagami project.

1 There are similarities in contract structures. A key
2 difference, though, between those projects and the approach
3 we're using here is those projects are executed largely in
4 an owner's engineer type environment, where the management
5 of the project is also essentially contracted out. And
6 that's what we have chosen not to do on this project --

7 MR. SHEPHERD: So Niagara tunnel, for example, is more
8 like a turn-key project, as opposed to a target-price
9 project?

10 MR. REINER: It's -- I don't want to comment on the
11 pricing without knowing all the details, but the management
12 of the project is -- OPG has contracted a firm to do the
13 management of the work and the execution of the work.

14 MR. SHEPHERD: Is it -- did you have learnings from
15 that project, the Niagara tunnel project, that you're
16 applying in this project?

17 MR. REINER: We do, yes.

18 MR. SHEPHERD: Can you tell us -- summarize briefly
19 what they were?

20 MR. REINER: I mean, as we were embarking on our
21 contracting strategies, we actually met with the
22 organization that negotiated the contracts. And we were
23 looking for the arrangements that they implemented, and
24 they were arrangements used in previous hydro projects to
25 see how those apply, and you will see similarities. So
26 there were some very direct learnings in that regard.

27 Now, that project is very, very different from the
28 project we're implementing. Now, we also looked at the

1 owner's engineer concept, which is essentially this, you
2 know, you contract a firm to provide you that project
3 management capability. We chose not to do that directly,
4 but out of some of the learnings what we ended up
5 implementing is what we call owner support services, so we
6 do have an owner's engineer essentially contracted for the
7 project. In fact, we have two of them contracted to the
8 project. But we don't use them in that exact same
9 capacity. They provide us technical support and project
10 management advisory support, with the project management
11 accountability still resting with us.

12 MR. SHEPHERD: So unlike Niagara tunnel, you don't
13 have some external person managing the project. You're
14 managing the project, but you have advisors who are -- like
15 Modus, for example, but also others who are helping you
16 make the management decisions.

17 MR. REINER: Yes.

18 MR. SHEPHERD: Okay. Mr. Reed, if you go to page 7 of
19 your report, you talk about the various other ways to
20 approach the commercial and contracting strategies. You
21 list three. And I only want to talk about them briefly.
22 You have talked about them already.

23 But I take it this is true that partnering, which is
24 what you were originally going for, right, Mr. Reiner, is
25 partnering?

26 MR. REINER: That was the initial attempt on the
27 retube and feeder replacement.

28 MR. SHEPHERD: And partnering -- the big problem with

1 partnering, if I understand it correctly, is that it's like
2 doing a project at school, where you have a group project
3 and everybody gets hurt by the people who slack off. Is
4 that right?

5 MR. REED: Everyone is affected by -- in terms of
6 profitability by the performance of all of the members of
7 the joint venture.

8 MR. SHEPHERD: So nobody wants to be stuck with the
9 slackers, and so either it evolves to, the owner takes all
10 the risk, or people don't want to enter into it in the
11 first place, right? Fair?

12 MR. REED: Those have been problems in the past with
13 the use of a JV structure, joint-venture structure, yes.

14 MR. SHEPHERD: All right. But SNC-Aecon is a joint-
15 venture structure, right?

16 MR. REINER: SNC and Aecon are in joint-venture
17 partnership, yes.

18 MR. SHEPHERD: So don't they have those problems? And
19 aren't those then your problems?

20 MR. REINER: No, there's a very -- there's a pretty
21 clear delineation between SNC and Aecon. Aecon is the
22 constructor. SNC provides the engineering and project
23 management capability. So SNC have augmented their project
24 management capability with a constructor, so to cover that
25 EPC, that engineer, procure, construct model, that's what
26 that partnership does.

27 MR. SHEPHERD: The second possibility is a turn-key
28 approach, and the problem with the turn-key approach, if I

1 understand your evidence the other day, is it's supposed to
2 shift all the risk to the contractor, but it doesn't, in
3 fact, because at a certain point the contractor either
4 can't bear the risk or is unwilling to, and in the meantime
5 you're paying a big premium for it, right?

6 MR. REINER: I'll let Mr. Reed answer that separately,
7 but yes, that is one of the risks. And the other potential
8 problem that we have with the turn-key approach is -- and
9 it does relate back to the risk -- is when a decision gets
10 made in that arrangement, by -- and the Lepreau is a good
11 example. A decision to proceed with the project, even
12 though it encountered, knowingly encountered a technical
13 issue, under an assumption that it can be resolved later.

14 As the owner, you would want to see resolution to that
15 issue immediately.

16 You take those kinds of risks in that arrangement, and
17 also --

18 MR. SHEPHERD: Sorry. Because you don't get
19 visibility --

20 MR. REINER: Because you don't get visibility; you've
21 essentially given it all to someone else to manage on your
22 behalf.

23 The other issue we see with the turn-key approach is
24 the work is being done inside an operating power plant. So
25 there are going to be all kinds of exceptions to what makes
26 it okay for something to be potentially delayed or have an
27 impact on the project, because there are systems that run
28 through the power plant. Somebody may park their vehicle

1 in the wrong place and impact the contractor's ability to
2 get their vehicle in. And if you leave it on a turn-key
3 approach to sort that out, we don't see that as getting us
4 to the result we're looking for.

5 MR. SHEPHERD: Do you have anything to add to that,
6 Mr. Reed?

7 MR. REED: No. I think those two categories, loss of
8 control and a misperception of risk transfer, are the
9 greatest concern that we see with turn-key contracts.

10 MR. SHEPHERD: In fact, in a turn-key contract like
11 for something like this, by the time you have the finger-
12 pointing as to whose fault everything is, you really
13 haven't protected your risk; fair?

14 MR. REINER: I think that's fair.

15 MR. SHEPHERD: So you can only use turn-key as a
16 practical matter. You can only use turn-key where the
17 contractor clearly has control over their processes from
18 start to finish.

19 So for example, building a turbine, you go to somebody
20 who builds turbine for a living and say: Build us a
21 turbine. They can take a fixed price for that, right?

22 MR. REINER: A turbine would essentially be a
23 component, complicated component, but that could be -- a
24 manufacturer could do that on a fixed-price basis, deliver
25 a turbine.

26 MR. SHEPHERD: Because they know how much it costs
27 them to build a turbine, so you went to Alstom and said:
28 Build us a turbine. They said: It's X dollars.

1 MR. REINER: Yeah. Now, it's -- if we were buying a
2 new turbine, yes. We're not buying a new turbine.

3 MR. SHEPHERD: Understood.

4 MR. REINER: We're refurbishing an existing one, which
5 means it needs to be taken apart, it needs to be examined,
6 decisions need to be made about components that need to be
7 replaced and don't need to be replaced, and it needs to be
8 put back together.

9 MR. SHEPHERD: But it's still largely within their
10 control? It's within their area of expertise and area of
11 physical control, right?

12 MR. REINER: It's within their area of expertise, but
13 in terms of control, given the labour arrangements that
14 these projects need to be executed under, what you
15 essentially -- so in our market here, the work gets
16 executed by trade unions.

17 So when you bring a contractor in to manage the work,
18 they need to be adept in managing trade union labour. They
19 need to have foremen. They need to know how the union
20 halls work. They need to be negotiating with the trade
21 unions.

22 That is not something that an original equipment
23 manufacturer like an Alstom typically do. And that is the
24 complexity that resulted in the high-risk premium. It's
25 that management of the trade union labour.

26 MR. SHEPHERD: And then the third alternative you
27 looked at is the project management organization.

28 And if I understand that right, that's not really

1 about the legal relationship. It's rather about -- you're
2 not going to let the contractor manage, but whether you use
3 your own employees to manage or you use a third party to
4 manage, but it's still you managing somebody else doing the
5 work, right?

6 MR. REINER: Yes. It could be an employee or it could
7 be through some of the other arrangements, these advisory
8 arrangements that I've talked about.

9 MR. SHEPHERD: So for example, in a target pricing
10 model where you're closely managing it, you can closely
11 manage it with your own people or somebody else doing the
12 close management on your behalf?

13 MR. REINER: I would say, from my perspective, I look
14 at this on a sort of case-by-case basis. There are certain
15 positions where I'd be looking to have somebody on staff.
16 There are other areas where, depending on, again, what the
17 role, the specific role is, where doing that through a
18 contractual, a separate contractual arrangement gets the
19 desired result. There isn't a need to have somebody on
20 staff.

21 MR. SHEPHERD: All right. I have I think three other
22 quick questions on this report, and then maybe the Board
23 would like a break. The first is this.

24 At the bottom of page 7, Mr. Reed, you talk about the
25 cost of replacement power at Point Lepreau, I think it is.
26 Is this Point Lepreau? Yeah.

27 Mr. Reiner, you don't have a cost of replacement power
28 as part of one of the costs of this project, right? That

1 12.9 doesn't include replacement power?

2 MR. REINER: It does not include replacement power.

3 MR. SHEPHERD: That's a big number, isn't it? The
4 replacement power is \$8 billion, maybe? Something in that
5 range?

6 MR. REINER: I haven't done the mathematics on what it
7 is, but it's essentially -- you can -- based on the
8 schedule that we've laid out, you know, there are 960
9 megawatt units down three years at a time. Got to be
10 replaced with something, yes.

11 MR. SHEPHERD: You have essentially three years of
12 production loss from Darlington over that period?

13 MR. REINER: For each unit, yes.

14 MR. SHEPHERD: All right. So we can just do the math
15 as to how much?

16 MR. REINER: Yeah. Mind you, you're gaining an
17 additional 30 years as a result of that.

18 MR. SHEPHERD: Oh, yeah, but you're also calculating
19 the cost of that 30 years. And it's not just 12.9 billion,
20 right? It's 12.9 billion plus the billions of lost power
21 during the construction phase, right?

22 MR. REINER: Can you repeat what the question was?

23 MR. SHEPHERD: Sure. When you calculate your LUEC,
24 how much it costs you, your lifetime unit energy costs for
25 the power that you're going to produce for those 30 years,
26 you're only including the \$12.9 billion cost as your
27 original cost to deliver that?

28 MR. REINER: That's correct.

1 MR. SHEPHERD: You're not including the 8 billion,
2 let's say, of lost power while you were doing it, are you?

3 MR. REINER: Yeah. And it wouldn't be 8 billion. You
4 can look at our revenues.

5 But no, that is -- that is not included, so --
6 replacement power is not included in our LUEC calculations.
7 That's correct.

8 MR. SHEPHERD: I want to talk about two other quick
9 things. If you look at page 12, Mr. Reed -- and I'm not
10 sure whether this is for you or for Mr. Reiner -- you see
11 the second full paragraph starts out:

12 "Ontario Power Generation began meeting with the
13 proponents in July 2011 and agreed to contract
14 principles with both parties in mid-August."

15 Are those -- you've seen those contract principles,
16 right, Mr. Reed?

17 MR. REED: I have.

18 MR. SHEPHERD: Is that document on the record
19 somewhere?

20 MR. REINER: I don't believe we have filed that in
21 evidence.

22 MR. SHEPHERD: Is it confidential?

23 MR. REINER: Maybe just one second. We'll just have a
24 quick look if it's included, but I don't believe that is a
25 confidential document.

26 MR. SHEPHERD: Would you be willing to file it?

27 MR. REINER: Yes, we would undertake to file that.

28 MR. MILLAR: J16.1.

1 **UNDERTAKING NO. J16.1: TO FILE THE AUGUST 2011**
2 **CONTRACT PRINCIPLES DOCUMENT.**

3 MR. SHEPHERD: Am I right that those contract
4 principles are still -- essentially, with lots of details,
5 are still driving how you're dealing with your contractors?

6 MR. REINER: I think those principles were primarily
7 the principles that were established as part of the
8 negotiation process. They are not the principles that
9 define, post-contract award, what the relationship is and
10 how we're going to manage the work with the proponent,
11 because this was done at the outset of the procurement
12 process. And as part of -- there were a number of
13 contractors that submitted a response to our expression of
14 interest. What we did is laid out a set of principles
15 under which we would get to a conclusion in the contract.
16 So they were -- so each proponent -- these principles went
17 to each of the proponents that we took through the
18 negotiations.

19 MR. SHEPHERD: Well, what this says is that you ended
20 up with two bidders.

21 MR. REINER: Right.

22 MR. SHEPHERD: And you met with them, and it looks to
23 me like you negotiated the principles with the two of them;
24 is that right?

25 MR. REINER: There were slight variations between
26 them, but they're essentially the same principles, because
27 they were the guiding principles used in the negotiations.

28 MR. SHEPHERD: And the contract that you've signed

1 with SNC-Aecon is consistent with those principles.

2 MR. REINER: I would say that it's consistent with
3 those principles, yes.

4 MR. SHEPHERD: Madam Chair, this may be a good time
5 for a break.

6 MS. HARE: Good. Thank you. Let's break until 11:20.

7 --- Recess taken at 10:58 a.m.

8 --- On resuming at 11:26 a.m.

9 MS. HARE: I understand we're going to go in camera
10 now, so I will take the on-air off.

11 --- On commencing in camera at 11:26 a.m.

12 MS. HARE: We'll just give Ms. Binette a moment. I
13 think she's checking to go make sure that it's really off.

14 Okay. Mr. Shepherd, please proceed.

15 MR. SHEPHERD: Thank you, Madam Chair.

16 Witnesses, can you turn up the spreadsheet attachment
17 to JT3.17? I don't think this goes on the screen. I think
18 you have hard copies of it, though.

19 And -- do you have that?

20 MR. REINER: One moment. Yes.

21 MR. SHEPHERD: On Tuesday you had a discussion with
22 Mr. Elson about this, and again on Wednesday, I think, or
23 maybe yesterday you had a discussion with Mr. Poch about
24 this. I want to nail down a couple of aspects of how this
25 works.

26 Am I right that there are a number of different ways
27 you can have cost overruns? Right, in a project? So for
28 example, you can have a cost overrun because of scope

1 change?

2 MR. REINER: That's correct.

3 MR. SHEPHERD: And you pay for that?

4 MR. REINER: Yes.

5 MR. SHEPHERD: And you can have a cost overrun because
6 the contractor fails to live up to their warranty
7 commitment, and they pay for that?

8 MR. REINER: That's correct.

9 MR. SHEPHERD: And you can have cost overruns because
10 of third-party events, like -- like a delay by the
11 government, for example, and you pay for that?

12 MR. REINER: That's correct. We would.

13 MR. SHEPHERD: And basically, except for warranty
14 issues where the contractor has not lived up to their
15 bargain in the sense that they were supposed to do
16 something and they didn't do it correctly, with that
17 exception, you pay for all the cost overruns, right?

18 MR. REINER: There is a cost, but that's not precisely
19 correct, because if there is a cost overrun or a schedule
20 delay, the contractor also bears a cost.

21 MR. SHEPHERD: Okay. That's where I'm going.

22 The actual cost of the delay -- that you pay, right?
23 The difference is that there's also a profit component;
24 30 percent is added on for overheads and profits. And they
25 eat some of that if there is a cost overrun, right?

26 MR. REINER: Right. They start to repay some of that
27 if there is a cost overrun.

28 MR. SHEPHERD: But the actual cost overrun itself,

1 that's your responsibility? It's only the profit component
2 that's at risk, right?

3 MR. REINER: We would continue to pay the actual cost.
4 So hourly labour rates and materials, we would continue to
5 pay that, but there would be no mark-ups or profits or
6 overheads that the contractor would receive.

7 MR. SHEPHERD: Understood. Understood.

8 So if I understand how this works correctly, then,
9 from the contractor's point of view the project is time and
10 materials for the actual costs, and plus a profit -- an
11 overhead component, which has a minimum and a maximum; is
12 that fair?

13 MR. REINER: I don't think that the contractor would
14 view it that way, because the incentive and disincentive
15 structure would incentivize the contractor to actually
16 perform better than the schedule. Because the costs -- so
17 if you look at actual costs for a second, that's money out
18 of the contractor's pocket as well. The contractor keeps
19 none of that. So they will be --

20 MR. SHEPHERD: But none of it is at risk either?

21 MR. REINER: It's not at risk. That's purely paying
22 the hourly salary of the people that are there doing the
23 work.

24 But the contractor has a huge incentive to eat the
25 target cost and schedule. So they wouldn't view it as a
26 time and material; they would look at every opportunity to
27 try to do better than the schedule.

28 MR. SHEPHERD: I'm not disagreeing that it's an

1 incentive. I'm just trying to be clear on what the
2 incentive and the risk is.

3 In this example you've given, where you have
4 \$1.8 billion of target price -- which is the time and
5 materials component, right? In this example?

6 MR. REINER: That would be the cost of the execution
7 of the job.

8 MR. SHEPHERD: Not including any overheads, not
9 including any profits?

10 MR. REINER: That's correct.

11 MR. ROSE: That is correct.

12 MR. SHEPHERD: All right. So from the contractor's
13 point of view, they have a contract in which they expect to
14 pay -- they expect their costs to be 1.8 billion, all of
15 which you'll pay, and in their worst case -- leaving aside
16 the schedule disincentive for a second and just dealing
17 with the cost disincentive -- in their worst case they get
18 \$280 million for overheads and profits? No matter how much
19 they go over budget, they go \$280 million of overheads and
20 profits, right?

21 MR. ROSE: Yes, you are right, excluding schedule.

22 MR. SHEPHERD: And in their best case, they make
23 \$540 million?

24 MR. ROSE: That is correct.

25 MR. SHEPHERD: Okay. And if they have -- not only is
26 -- do though blow their brains out on the cost, but also
27 the schedule slips -- which costs you but doesn't
28 necessarily cost them more, because that's already included

1 in the cost disincentive -- then their worst case is
2 \$108 million for profit and overheads, which basically
3 means they don't make any money, right?

4 MR. ROSE: Worst case if they blow the schedule, they
5 are eligible for the cost element, the 260 million.

6 MR. SHEPHERD: Yes.

7 MR. ROSE: Plus up to -- so 432 million.

8 MR. SHEPHERD: Yes, so that means that there's 108
9 left. Their worst case, they go two years too long and
10 they spend \$4 billion, their worst case is you still have
11 to pay them \$108 million for profit and overheads, right?

12 MR. ROSE: They would receive \$108 million to cover
13 their profit and overheads.

14 MR. SHEPHERD: This starts with a 30 percent profit
15 and overhead number. Is that some sort of external metric
16 that is standard? Or where did that 30 percent come from?

17 MR. REINER: That's a negotiated number.

18 MR. SHEPHERD: Is that typical of the profit and
19 overhead you've had in other contracts?

20 MR. REINER: Yes, it would be reflective of that.

21 MR. SHEPHERD: And Mr. Reed, have you given an opinion
22 on this overhead amount?

23 MR. REED: We were involved in discussions at the time
24 those negotiations were going on. We reviewed all of the
25 terms of the contract, and gave our opinion that they were
26 generally within the range of what we had seen before.

27 We did not offer a specific opinion on the 30 percent
28 number.

1 MR. SHEPHERD: And Mr. Gould, have you given an
2 opinion on the 30 percent number?

3 MR. GOULD: Not specifically relative to the
4 30 percent, no.

5 MR. SHEPHERD: And now you heard Mr. Poch the other
6 day coin the phrase "fantasy profits" to talk about the
7 additional profits that you're saying that the contractor
8 is losing.

9 And if I understand this correctly, what you're saying
10 is in that \$4 billion example, they spend \$4 billion,
11 everything's gone very badly, they're still getting
12 108 million, they would normally expect to get 30 percent
13 of \$4 billion. But they're not getting that; they're only
14 getting 108 million, right? That's essentially what you're
15 saying?

16 MR. ROSE: That is correct.

17 MR. SHEPHERD: So the point of this is not to offload
18 the risk of the overrun, if I understand correctly, because
19 really you're still paying the costs of the overrun. What
20 it -- what you're attempting to do is incent the contractor
21 to reduce the probability or the severity of the overrun
22 itself, right?

23 MR. REINER: Right. The intent is incentivize the
24 contractor to achieve the target schedule and target price.

25 MR. SHEPHERD: And so that's in contrast to, and
26 really, this is central to your whole strategy. Instead of
27 trying to lay off the responsibility for paying for risks,
28 you're saying we're going to take the responsibility for

1 paying for the risks, but we're going to incent you to make
2 sure they don't happen; is that fair?

3 MR. REINER: It's -- it's partly fair. We will incent
4 the contractor to ensure they do everything that is within
5 their power to manage the cost overrun. At the same time,
6 OPG provides direct oversight of the job.

7 So we track a schedule and the cost on daily basis.
8 So there is no surprise of a \$2 billion cost overrun at the
9 end of the project. There will be requirements to develop
10 recovery schedules to get back on track.

11 MR. SHEPHERD: Do I understand correctly -- and I'm
12 looking at this table thinking, where is the dividing line,
13 and it looks to me like around 30 percent cost overrun.
14 There is no more cost disincentive. If a contractor goes
15 30 percent over, they've already given you all their cost
16 disincentive, and there is no more disincentive after that
17 on cost.

18 MR. REINER: You know, this is why we didn't really
19 like using this as an example to describe what the job
20 might look like. This is a mathematical exercise that
21 shows you how the contract works. And I think we were
22 pretty clear in trying to define that.

23 What actually physically happened, if there is
24 anything that would create a probability of a 30 percent
25 cost overrun, we would deal with the issue. We would
26 manage the issue to avoid the cost overrun from actually
27 happening.

28 That's why this model is so important with OPG

1 oversight being embedded in this with the standards we are
2 asking the contractor to adhere to in terms of cost
3 reporting, schedule reporting, supervision on the job,
4 their practices for executing the job, qualification of
5 people.

6 So you can't -- this is a mathematical exercise is all
7 it is, that demonstrates how the mechanisms, if you were to
8 plug them into a formula, would work.

9 MR. SHEPHERD: So that's really where I was going, and
10 that is that this is not about how you structured the
11 contract, primarily. This is really about how you manage
12 the project. You're going to control the cost in this by
13 keeping a very close eye on what's going on and acting
14 quickly if something is going awry; is that --

15 MR. REINER: That is exactly part of the approach
16 here, yes.

17 MR. SHEPHERD: Well, it seems to me that's the essence
18 of the approach, isn't it?

19 MR. REINER: Well, it is -- it's the combination of
20 ensuring the contractor works to the same objectives that
21 we have. And that's what the -- and the objective is, meet
22 the schedule and meet the price. So the contractor is
23 incentivized to achieve that objective. Our objective is
24 very clear, and so it's the combination of the two. It's
25 our oversight and the benefit, the opportunity, and the
26 pain the contractor feels when they also don't align with
27 that objective.

28 MR. SHEPHERD: Now, if something is going awry, you

1 can -- you can't actually tell the contractor do this
2 differently, right? Under the contract, you can't tell
3 them to do something differently, because then you take
4 responsibility for the cost consequences of that, right?

5 MR. REINER: Well, that's correct. I mean, we could
6 tell the contractor to do something differently, but that
7 would then be a direction offered by OPG, and any of the
8 risks associated with that specific direction would come
9 back to OPG.

10 MR. SHEPHERD: So if something is going awry, all you
11 can do is -- your method is, you need to know about it
12 really early. And so that's -- this is structured to do
13 that, right?

14 MR. REINER: We need to know about it early. The way
15 we find out about it early is by being embedded with the
16 contractor. But, you know, just to -- on this, we can give
17 direction. You know, this isn't about not being able to
18 give direction. And there are some examples that are very,
19 very clear.

20 If there is anything that creates a safety issue, we
21 will demand a stand-down on the job so that that issue gets
22 rectified --

23 MR. SHEPHERD: Understood. But where I was going with
24 this, Mr. Reiner, is that what you're more likely to do is
25 say to the contractor, Here -- we see the problem. What's
26 your solution? Because if it's your solution then you have
27 to take the risk. If it's their solution they're still on
28 the hook, right?

1 MR. REINER: Yes, and we would -- so we would ask them
2 to develop a solution. We would ask them to demonstrate to
3 us how that recovers the cost and the schedule, and then we
4 would track the performance, and if we don't see the
5 recovery we would ask them to address that issue, provide
6 another solution.

7 MR. SHEPHERD: And the reason they're going to do that
8 is because if they don't they have \$260 million at risk,
9 right?

10 MR. REINER: That's correct.

11 MR. SHEPHERD: You don't have -- and I'm asking this,
12 and this is why I'm asking this in camera -- you don't have
13 as a practical option saying to the contractor, We're
14 kicking you off the job and getting somebody else, do you?
15 Not really.

16 MR. REINER: No, we -- that is a practical option that
17 is available to us. It most definitely is.

18 MR. SHEPHERD: Who would you use?

19 MR. REINER: Well, so the tooling is all owned by OPG.
20 The people that we have managing this job, they actually
21 ran the job for AECL at Point Lepreau. So self-managing
22 the job is something that is achievable for us. It's not
23 something we would propose to do.

24 MR. SHEPHERD: I thought that's what you were doing.
25 I thought you --

26 MR. REINER: No, I mean, in terms of -- so if we got
27 rid of the contractor, for example. We're managing the
28 project and overseeing the project, but let's say we got to

1 a scenario where it went so bad that we had to kick the
2 contractor off, off-site. We could keep the job going.

3 MR. SHEPHERD: And the option -- your option then
4 isn't to call up some other contractor and say, Come in and
5 finish the job, it's really to use your own people and
6 maybe to use contractors in smaller components but really
7 to do it yourself.

8 MR. REINER: I mean, there's a variety of options. We
9 could call in another contractor.

10 MR. SHEPHERD: But there aren't any. That's my point.

11 MR. REINER: What do you mean, "there aren't any"?

12 MR. SHEPHERD: You only ended up with two bids, and
13 really, one of them couldn't actually do the job, right?

14 MR. REINER: But there's nothing -- so at this stage -
15 - so when we bid the project we were looking for the
16 development of tools and the engineering work and the
17 execution of the work. If we were into this scenario, the
18 tool development is done, all of the engineering work is
19 done. We're now into the construction portion of the job.

20 The construction portion of the job is largely foremen
21 and trades labour and the management of that, which is what
22 Aecon brings to the job. We didn't go out looking
23 specifically for a constructor; we went out looking for an
24 engineer/procurer/construct contractor. If we were in this
25 situation and all we needed was a constructor, we could go
26 to the market and get a constructor.

27 MR. SHEPHERD: But then you would have to do
28 everything else, and you have people would could do that,

1 but you'd probably have to augment your staff to do that.

2 MR. REINER: We may have to augment our staff in order
3 to do that. I mean, that's something we would have to
4 assess, but that --

5 MR. SHEPHERD: So --

6 MR. REINER: -- yeah.

7 MR. SHEPHERD: So SNC-Aecon would know going through
8 this piece that if there is a big problem you can solve it,
9 but it's very painful for you to solve it by getting rid of
10 them, really.

11 MR. REINER: It would be painful, and it certainly
12 wouldn't be the desirable outcome, which is why we were
13 very careful in selecting who we selected to actually do
14 this job.

15 MR. SHEPHERD: Well, that's -- and actually, before we
16 go out of in camera maybe I can ask that too. All of the
17 other projects that you looked at, Mr. Reed, for CANDU
18 reactors included AECL, didn't it?

19 MR. REED: Yes, AECL has been involved in at least an
20 engineering capacity for all of them, sometimes in a larger
21 capacity.

22 MR. SHEPHERD: Yeah, in many of them they actually do
23 the job, right?

24 MR. REED: Yes.

25 MR. SHEPHERD: Is that a common element in the costs
26 overruns we've seen in the nuclear projects?

27 MR. REED: AECL's involvement is a common element,
28 but, for example, AECL was involved in Wolsong in a major

1 role, a leading role. There were not substantial cost
2 overruns there. They're also currently involved in the
3 refurbishment in Argentina. I've forgotten the name of
4 that unit at the moment. I'm sorry? Embalse, yes. And
5 that project is trending pretty well.

6 So I don't see them as being the root cause, if that's
7 your question.

8 MR. SHEPHERD: Okay. Just before we go out of in
9 camera I do want to ask two brief questions about the point
10 estimate. So what is the point estimate right now, the
11 total?

12 MR. REINER: I'll ask Mr. Rose to --

13 MR. SHEPHERD: I would have thought it would be top of
14 mind.

15 MR. ROSE: It's 9.2 is the top of my number, but I
16 just want to give you the precise number.

17 MR. SHEPHERD: Why don't we go with 9.2, which I --
18 sounds right to me.

19 MR. ROSE: Yes. 9.2.

20 MR. SHEPHERD: Thank you. The --

21 MS. HARE: I'm sorry.

22 MR. SHEPHERD: No, go ahead.

23 MS. HARE: So we're talking about logistics and what
24 would happen... okay. Sorry.

25 MR. SHEPHERD: So if the point estimate is 9.2, I take
26 it, then, that -- and that's an overnight number, right?

27 MR. ROSE: That is an overnight number. That is
28 correct.

1 MR. SHEPHERD: That's in 2013 dollars?

2 MR. ROSE: That is in 2013 dollars.

3 MR. SHEPHERD: So that means that your uncertainty
4 band around that is \$800 million more; it could cost you
5 \$800 million more. And it could cost you -- we don't know
6 what the bottom end is right now? You've got a new bottom
7 end, but we don't know what it is, right?

8 MR. ROSE: So our certainty band, we are carrying
9 \$2.1 billion worth of contingency within that 9.2 point
10 estimate. On top of the 9.2, there is another \$800 million
11 in management reserve to get to the \$10 billion.

12 MR. SHEPHERD: Get to the 10. So your actual point
13 estimate if you have no contingency is 7.1?

14 MR. ROSE: Approximately 7.1; that is correct.

15 MR. SHEPHERD: But you expect to spend the
16 contingency?

17 MR. ROSE: The contingency is for the uncertainty that
18 we currently understand in the job. Some of that will be
19 spent. Our goal would be to spend as little of it as
20 possible, but the expectation is that we will spend some of
21 it.

22 MR. SHEPHERD: When you do a point estimate, you
23 include the contingency, which is your analysis of what the
24 probable amount is that you will spend; isn't that right?

25 MR. ROSE: Our contingency is based on two components,
26 as I said while we're out of camera. The uncertainty
27 relating to the current classification of the estimate that
28 we have, as well as discrete risk, so the residual carrying

1 amounts for discrete risks.

2 MR. SHEPHERD: Thank you.

3 Madam Chair, those are all my questions in camera.

4 MS. HARE: Thank you. Our conferring was about
5 whether or not there is anything else to be done in camera.
6 So we may interrupt you, Mr. Shepherd.

7 Mr. Crocker, will you have any cross-examination in
8 camera?

9 MR. CROCKER: No.

10 MS. HARE: No. Board Member Duff does, and we were
11 thinking that it might be more efficient to just continue
12 in camera, then. So we'll interrupt you for a little bit.

13 Ms. Duff?

14 **QUESTIONS BY THE BOARD:**

15 MS. DUFF: Thank you. I'm going to be referring to
16 the confidential version of the business case summary,
17 Exhibit D2-2-1, attachment 5. And I'm specifically looking
18 at pages 36 and 37.

19 Trying to understand the numbers behind the 50, 70 and
20 90 percent confidence intervals, just so I understand your
21 process, how did you arrive -- on page 37, how did you
22 arrive at the actual dollar amounts in each one of the
23 boxes under those columns?

24 MR. ROSE: So we would have taken our point estimate
25 prior to contingency. We would have assessed the level of
26 -- the classification of the estimate. So if it's a
27 class 4 or a class 3 estimate, there would be a range of
28 uncertainty, so basically a lower and upper bound against a

1 point estimate. We would have assessed the -- there is
2 some contingent work.

3 So the first is cost estimate uncertainty, the
4 estimate uncertainty related to -- around that point
5 estimate, as well as the third item; it relates to the same
6 similar item.

7 So you can have price variation and just the general
8 uncertainty of the scope, the productivity rates of
9 actually executing that work.

10 MS. DUFF: As a result of your commercial and
11 contracting strategies, how did those affect the actual
12 dollar amounts? Like, what risks were you able to mitigate
13 through those contracting strategies, in each one of these
14 categories?

15 Is that an appropriate question or -- that concept?

16 MR. ROSE: I'm not certain how to answer that from a
17 commercial strategy perspective. I will answer from a
18 setting the target price perspective.

19 MS. DUFF: Okay.

20 MR. ROSE: Which I think is related. So our target
21 price for the re-tube and feeder replacement job will
22 include an amount for risk contingencies that we believe
23 are best controllable by the R&FR vendor. So today at a
24 class 4 estimate, we will take the R&FR estimate and we
25 will add a level -- sorry, re-tube and feeder replacement.
26 We will add a level of uncertainty to that, contingency to
27 that, based on the fact that it's class 4. The price isn't
28 as definitive as it would be at class 3 or class 2.

1 We would also assess the risks we believe to be added
2 on top of that work.

3 Our job then is to, with the contractor, challenge the
4 contractor to understand the nature of those risks that
5 they are carrying contingency for, and look for the best
6 way to mitigate that contingency. So mitigate that risk in
7 order to lower the target price.

8 So as an example, the re-tube and feeder replacement
9 vendor may say: Having appropriate radiation protection --
10 what we call green men -- available on the job, if you
11 don't have appropriate green men on the job it will slow us
12 down, so therefore we're going to carry an appropriate
13 contingency.

14 MS. DUFF: In particular I was looking at the discrete
15 risk items. And in terms of the dollar amounts associated
16 with the contingencies that you've assigned here, they are
17 the highest; would you agree?

18 MR. ROSE: They are the highest, yes.

19 MS. DUFF: By that category of risk. And also that
20 the band was quite narrow. Between the 50 percent and the
21 90 percent confidence interval, we only have a range of
22 about \$60 million. I thought that was -- I considered that
23 narrow.

24 What do you say about that?

25 MR. ROSE: I wouldn't disagree with that. I think
26 some of that is on the maturity of the risk development. I
27 think we will get more mature as we go on. For example,
28 again, my radiation protection, that may be a discrete risk

1 where the three points that we're carrying in that range
2 are tight.

3 MS. DUFF: Do the discrete risk items relate back to
4 your risk register?

5 MR. ROSE: Yes.

6 MS. DUFF: And those are the items that are not
7 contained in any of the other four categories, as I
8 understood it.

9 MR. ROSE: That's right. So the uncertainty band --
10 we always look for overlap, because it's easy for a
11 contractor in developing their risk register to suggest I'm
12 at class 4 and -- but I want to carry risk for me getting
13 the price wrong.

14 That is already carried in the uncertainty band
15 related to the class 4 estimate, and we would make sure
16 that isn't included in the discrete risk.

17 But the example I gave you where there is a specific
18 event that could occur, that there is ways to mitigate that
19 risk, our goal is it to go after those, understand how do
20 we -- one, can we eliminate that risk?

21 In the example of having sufficient green men on the
22 job, maybe the answer is for OPG to have a green man crew
23 committed to that job, assigned to that job to eliminate
24 that risk. And therefore the contractor wouldn't carry any
25 contingency and we would lower the target price
26 accordingly.

27 There may be other things where the contractor is best
28 to carry that risk, and we would want them to include it in

1 the target price.

2 MS. DUFF: So within the discrete risk items, there is
3 some mitigation through your contracting strategies?

4 MR. ROSE: Absolutely, and --

5 MS. DUFF: Do you have a percentage in that particular
6 category that you -- because it --

7 MR. ROSE: Not now, but I -- I can't give you
8 a percentage, but I will tell you that over the last number
9 of months -- and I think some of this is referenced in the
10 Modus reports -- the R&FR vendor had 600 discrete risks.

11 We've actually focused with them to understand the
12 nature of those discrete risks, and quite a lot of them we
13 said: Those are business-as-usual risks that you are
14 carrying in your estimate and actually just doing the work.
15 And get down to the true discrete risks that we can figure
16 out what is the best manner to manage.

17 MS. DUFF: I would have thought the discrete risk
18 items would be in the hundreds.

19 MR. ROSE: That's one vendor. There were 600, and
20 we've got him down to in the 60s, so less than 100 of
21 specific discrete risks.

22 We are going through that with all the contractors,
23 and we will have that done and complete prior to our QE.

24 MS. DUFF: As it stands now, when you sum up all those
25 discrete risks and the contingencies you've totalled, it's
26 management's input that it's \$665 million is what you need
27 to be 90 percent confident?

28 MR. ROSE: That's correct. And that is based on our

1 assessment. And much of these contracts as we get the
2 contracts awarded and they go through their own development
3 of their risk register, this will be re-informed as we go
4 forward.

5 But our goal is to manage that and minimize that.

6 MS. DUFF: Thank you. To turn the page to the graph
7 on page 38, I was looking at these lines here. Now, I
8 don't know if it's the colours, but it looks like three of
9 the risk categories are to the left of the \$10 billion cost
10 estimate that you've come up with.

11 So in particular, the cost estimate uncertainty is
12 under the 10 billion as a total? Is that how I read this?
13 The contingency work is to the left of the \$10 billion
14 amount? Is that how I interpret this?

15 MR. ROSE: Yes, this is -- this says if I take any one
16 of these lines, the cost-estimate uncertainty, it is -- it
17 is -- I think it's a progressive --

18 MS. DUFF: Well, in particular -- I'll get to the
19 point --

20 MS. HARE: Ms. Duff, I hate to cut you off, but, you
21 know, you said page 38 of the document. Could you just for
22 the record say which document you're looking at?

23 MS. DUFF: I'm still looking at the business case,
24 Exhibit D2-2-1, attachment 5 in the unredacted version.

25 MS. HARE: Thank you.

26 MS. DUFF: I was trying to relate this to your
27 comment, and it was actually an interrogatory response, ED
28 005. We don't have to turn it up, but it was the point

1 that this concept of a 98.6 percent confidence, that the
2 90 percent confidence is appropriate.

3 Can I identify that 98.6 from this graph by looking at
4 the line to the far right?

5 MR. ROSE: Unfortunately, you cannot on this one,
6 because what we really need to show you is the one that has
7 the -- all of them together.

8 MS. DUFF: Okay. So perhaps in words could you
9 describe what the 98.6 percent is?

10 MR. ROSE: Absolutely. So the -- let's just take the
11 black S curve that you have here and assume that was the
12 all-in. So at 90 percent, probability of 90 percent, that
13 would be our point estimate, 9.2 billion. Where it crosses
14 the \$10 billion line would be at 98 percent, 99 percent.

15 MS. DUFF: That -- yes.

16 MR. ROSE: Yes. So that is what that is meaning.

17 MS. DUFF: So it's not that the individual -- so it's
18 the...

19 MR. ROSE: We run the Monte Carlo --

20 MS. DUFF: Yes.

21 MR. ROSE: -- so we take -- we run a Monte Carlo of
22 everything and run the S curve, so the P90 says we have a
23 90 percent probability with all the risks that are inherent
24 to this job, plus the fixed prices in this job, and it
25 would be less than 9.2 billion. That same Monte Carlo,
26 that S curve crosses over the 10 billion mark at about 98,
27 99 percent.

28 MS. DUFF: And risks that are outside of the five

1 categories, such as the scope change or, you know, an
2 environmental disaster, for those two risks, that's not
3 foreseen or quantified in terms of the analysis that you've
4 done in these two pages?

5 MR. ROSE: Actually, if you go back to page 37
6 again --

7 MS. DUFF: Yes.

8 MR. ROSE: -- there is a line item called "contingent
9 work", and we have identified some work where there is
10 pending inspections --

11 MS. DUFF: Yes.

12 MR. ROSE: -- or regulatory uncertainty for scope that
13 is not defined.

14 MS. DUFF: Actually, that was one of my questions. I
15 wanted to know where you had the contingencies for
16 environmental assessments where the inspection did not pass
17 and the cost to contain that and also some regulatory risk.
18 So it's within category number 2.

19 MR. ROSE: Category 2 is the stuff -- the scope that
20 we know that there is -- that we, depending on inspections
21 or specific results of regulatory -- we talked, I believe
22 it was yesterday, but it may have been on the technical
23 conference, about additional fire protection work that the
24 CNSC was asking us to evaluate. We would carry a
25 contingency for contingent work if we were asked to do more
26 work than we had in our base planned.

27 MS. DUFF: So the spill that you already had, have you
28 already spent money for that contingency? Have you already

1 had to disburse funds in that category?

2 MR. REINER: The environmental assessment required us
3 to take some mitigating measures, and we have started to
4 spend money to address those.

5 MS. DUFF: What is the process for disbursing funds
6 related to contingencies and then also for the management
7 reserve? What approvals do you need and who makes those
8 decisions?

9 MR. ROSE: So each project comes through what we call
10 a gated review board. And I know Mr. Shepherd alluded to
11 the gated process. We actually have two layers of our
12 gated process. We have the program level, where we,
13 through different points of view, add up the entire cost
14 estimate of the project and take it to our board of
15 directors. That's a program-level gated process.

16 Within our project management model we actually have
17 an internal gated process where each of our projects come
18 through a series of gates. So as an example, our water and
19 sewer project is currently in the execution phase within
20 the overall definition phase of the program.

21 So sorry, did -- I was going to get to the point of --
22 so when that water and sewer project as an example would
23 come through our gated process, we have money that's set
24 aside at the program. They will be asking for money to go
25 on to the next phase of the project. They would also be
26 identifying what their risks are for that next phase of the
27 project. We would assess those risks and agree on amount
28 of contingency to allow them to manage those risks, and we

1 would release that from the program to the project.

2 MS. DUFF: That was right along the lines of what I
3 was getting at. So the five categories, the -- you have
4 some boundaries, some -- the 2.1 billion contingency is
5 broken up into packages, and is that based on each program
6 or is -- a package, or is it these risk categories? Like,
7 what's the -- how are you slicing this up?

8 MR. ROSE: Some of it is -- it's a mix. It's -- some
9 of it is by the project. So the cost-estimate uncertainty
10 and the labour/material price uncertainty are based on
11 specific scopes of work that are in one of our five major
12 bundles or in with our campus-plan projects. So each of
13 those projects would carry an uncertainty amount.

14 The discrete risks may be specific to a project or
15 manage that at a program level. We may say the program
16 level that there is a general contingency for discovery
17 work. When we get into the unit there may be discoveries
18 that we would carry a general contingency for, not
19 allocated to a project, but when that discovery happened on
20 a project they would come back to the gate review board and
21 we would release that funds to them.

22 MS. DUFF: So a scenario where your discrete risk
23 items are at 800 million, you've now exceeded the
24 90 percent of the 665. Can you go into the contingencies
25 that have been allocated on this chart, some cart of
26 allocation, and utilize that without any kind of approval
27 or going back to your board of directors in which the
28 business case was based?

1 MR. ROSE: So if we were to do that we would first
2 assess what is the -- so when someone comes and asks for a
3 contingency of a specific purpose, I want to understand
4 what are the remaining risks on that job so that we don't
5 get ourselves into that deficit situation.

6 So if all else stayed the same, but -- let's simplify
7 this. This is one single project. All these risks are
8 laid out. This project came in and said my discrete risks
9 are going to cost me a billion dollars, but all the other
10 risks are remaining the same, we're going to now forecast
11 that we're over, and if we cannot mitigate that -- well,
12 certainly we inform our board that we're over, but if we
13 cannot mitigate that, we would have to ask for additional
14 funds to continue.

15 MR. REINER: Maybe I can jump in here for a second.
16 So we do have -- inside the company there is what's called
17 an operational authority register that grants financial
18 authorities to levels in the organization. So that's the
19 mechanism we currently use to determine what level of
20 authorization do people have to actually spend money. So
21 that's one element that weighs into this, and that sort of
22 dictates at what level is Board approval required, at what
23 level is CEO-level approval, my level approval, project
24 manager-level approval for the project.

25 We're going to take that model and we're going to look
26 specifically at how we would allocate contingencies and
27 then what authorities would be required to actually spend
28 money related to contingencies.

1 So we'll give project managers an ability to spend
2 some contingency for -- to manage discrete risks, for
3 example. We'll hold a large part of it at the program
4 level, which would be my accountability. And then there
5 will be CEO level as well, where I would need to go to the
6 CEO to tap into use of those funds.

7 MS. DUFF: So just wondering, what are the triggers in
8 which you would go back to the Board? Because the
9 contingency risk has exceeded the 2.1 billion or based on
10 what you've spent to date and you've reforecast for what's
11 remaining? I'm just trying to understand, is that because
12 you're reporting to them annually, your nuclear oversight
13 committee, that they would be aware of that? Is it only
14 until you have to get permission, or is it that you're
15 reporting on a regular basis with respect to the forecast
16 of this?

17 MR. REINER: Yeah, we are reporting on a regular
18 basis, so there is monthly reporting that's done
19 internally, and that would go up to the CEO level. At the
20 board level it's quarterly reporting. So they would have
21 an awareness through that reporting on where the financials
22 are at.

23 MS. DUFF: I have some questions regarding the
24 marginal and full-cost analysis, but I think we can go off
25 camera. So I'll delay that til later. Thank you very
26 much.

27 MR. SHEPHERD: Madam Chair, before we go out of in
28 camera, can I ask a follow-up question?

1 MS. HARE: Yes, you may.

2 **CONTINUED CROSS-EXAMINATION BY MR. SHEPHERD:**

3 MR. SHEPHERD: There are a category of risks, I think,
4 Mr. Reiner or Mr. Rose, normally referred to as low-
5 probability, high-impact events, like a tornado or things
6 like that. And that whole category of risk is not
7 quantified in your analysis, is it?

8 MR. ROSE: We -- we do have -- we have some of those.
9 We've actually done some workshops where we've actually
10 looked at event in the industry, such as the -- I think it
11 was Arkansas where there was a turbine generator dropped,
12 and resulted in a fatality.

13 So we asked those -- that is -- you know, arguably
14 that's -- there's a low probability of that, but we do ask
15 those questions: What is the probability? What are we
16 doing about it?

17 But when you get to things like earthquakes, it's very
18 difficult to -- for us to model that.

19 MR. SHEPHERD: I understand. And so those things,
20 like something like a computer virus, for example, is in
21 that category, right? You could have a big problem in your
22 station because of a computer virus, but -- you protected
23 against it, but it could still happen? Those aren't valued
24 in your -- you don't have a number for those?

25 MR. ROSE: Other than carrying our management reserve
26 for unknown unknowns, that would be the only amount for --

27 MR. SHEPHERD: So everything in that category is -- of
28 low-probability, high-impact events that is not listed in

1 these discrete risks is in that 800 million?

2 MR. ROSE: So everything that we know about and can
3 quantify and can put a probability on to it is in the
4 contingency. The things we don't know about and can't
5 quantify would be in the management reserve. That's
6 correct.

7 MR. SHEPHERD: Thank you. That's what I wanted to
8 ask.

9 MS. HARE: I know this is unusual, Mr. Keizer, but
10 we're kind of thinking that we might as well get the in-
11 camera portion dealt with. Do you have any redirect at
12 this point that would be in camera?

13 MR. KEIZER: I don't at this point, no.

14 MS. HARE: Okay. Fine. Thank you.

15 Then we'll go back on the public record.

16 --- On resuming public session at 12:08 p.m.

17 MS. HARE: Mr. Shepherd, please continue.

18 MR. SHEPHERD: Madam Chair, one of the things that
19 happens when you're right near the end is that you have to
20 do clean-up, and so I have a series of sort of discrete
21 questions, areas based on the transcripts from the last
22 three days that I want to follow up on.

23 The first being from Tuesday, transcript 13, page 172.

24 MS. HARE: Mr. Shepherd, I just noticed people are
25 walking in. Why don't we give them a minute to settle
26 down?

27 MR. SHEPHERD: I didn't anticipate being that
28 fascinating that they would --

1 [Laughter]

2 MS. HARE: I think we're ready.

3 MR. SHEPHERD: Thank you.

4 So we're at page 172 on Tuesday. And this is a
5 discussion you were having, Mr. Reiner, with Mr. Elson
6 about the Long Term Energy Plan principle that -- basically
7 holding your contractors accountable.

8 Do you recall that?

9 MR. REINER: Yes.

10 MR. SHEPHERD: And what -- I was listening to that and
11 my -- Mr. Elson is basically trying to say the government
12 is telling you: Get a firm cap; don't take any risk above
13 the cap.

14 And I understood you to be saying -- and tell me
15 whether I'm characterizing this correctly --- that's simply
16 not what the real world is like. That's never going to
17 happen. If that were what they intended, that's not
18 possible.

19 MR. REINER: If that's what you read, what I meant is
20 that's not what the government has asked us to do and
21 that's not how we interpret that principle, that the only
22 way to achieve that outcome is to seek a cap.

23 MR. SHEPHERD: In fact, if you tried to seek a cap
24 with the few exceptions you've talked about, it's basically
25 not realistic; is that fair?

26 MR. REINER: Even if it were realistic, it wouldn't be
27 good value for money. You'd pay an enormous amount of
28 money, I think, to try to cap everything.

1 MR. SHEPHERD: Okay. Am I right in understanding that
2 the principles that are set out in the Long Term Energy
3 Plan for how you manage this project, how you approach it,
4 they didn't just come to you out of the blue from the
5 government, right? That was part of a discussion you had
6 with the government about what is appropriate; is that
7 true?

8 MR. REINER: Are you referring to sort of what we've
9 kind of captured in the -- in our contract management
10 approach and --

11 MR. SHEPHERD: No, I'm asking -- you have the seven
12 principles that the government set out in the Long Term
13 Energy Plan. They didn't just spring that on you. That
14 was a discussion, you knew about it, you, in essence,
15 agreed to it before they put it in the plan; isn't that
16 right?

17 MR. REINER: So these principles were developed
18 through the consultation process that the government ran in
19 getting to the Long Term Energy Plan. OPG was part of that
20 consultation process, but it was an outcome of that that
21 led to these principles.

22 MR. SHEPHERD: I guess my point is that you didn't
23 disagree with them when you saw them.

24 MR. REINER: We didn't disagree with them. They're
25 sensible principles.

26 MR. SHEPHERD: Okay. My next question is with respect
27 to the transcript on Wednesday, transcript 14 on page 4.

28 In this, Mr. Rose, you talk about how you reached your

1 cost estimates; do you see that, sort of the bottom half of
2 the page?

3 MR. ROSE: Correct.

4 MR. SHEPHERD: And you talk about the reasons why this
5 cost estimate, why this cost estimating process is
6 rigorous, and you go through several points as to what
7 makes it rigorous.

8 Is this different from how OPG has estimated the cost
9 in past projects? Which of these things are what you
10 didn't do before? If any?

11 MR. ROSE: This is difficult for me to answer because
12 I wasn't involved in some of the past projects.

13 We talked quite a bit about the Pickering A return-to-
14 service project and the 200-ish million dollars. I believe
15 that the -- ultimately the OPG took to our board of
16 directors a \$900 million project after they had done
17 detailed engineering.

18 So that would be consistent with the practice that we
19 are applying on this project. The practices that we are
20 applying are industry best practices.

21 MR. SHEPHERD: So these -- I counted five points that
22 you made here. These points as to how you do a good cost
23 estimate, they would be how you did, how OPG did the
24 900 million for Pickering?

25 MR. ROSE: I can't -- I was not involved in developing
26 that estimate. I can't unilaterally say that they've
27 applied all of these, but I do know that the detailed
28 engineering was done, as an example, prior to setting that

1 price. That is clearly an example of what we are doing on
2 the refurbishment program.

3 MR. SHEPHERD: Here's why I'm asking the question. I
4 looked at this summary that you gave, which is very useful,
5 and it looks exactly like how you've always done cost
6 estimating, how most well-run organizations do cost
7 estimating; they go through these specific steps.

8 And so I didn't see anything different here than the
9 past. I'm asking you whether there is something new that
10 you did that is different than normal OPG management
11 practice?

12 MR. REINER: Maybe I can interject. This is
13 essentially a best-practice list, and I think that's what
14 you're referring to, and why wouldn't we apply best
15 practices all the time.

16 And what we are much more rigorous in on this project
17 -- than some of the past experiences, and so the Pickering
18 return-to-service would have been one of those. We had a
19 discussion in this hearing about the early estimates of the
20 Pickering return-to-service. Those estimates were done
21 without an understanding of what the scope of work is.

22 So I would say in that particular case, there is one
23 of these principles that wasn't utilized. It was utilized
24 for Pickering Unit 1, because the project was stopped until
25 engineering was completed and scope was understood and a
26 new estimate was brought forward.

27 So this method here was applied for that project.

28 MR. SHEPHERD: Okay. Do you know offhand whether this

1 method was used for the Niagara tunnel project?

2 MR. REINER: I couldn't comment on that.

3 MR. SHEPHERD: I'm going to ask you to undertake --
4 and when I say "you" I mean OPG you -- to advise in what
5 way the estimate for the Niagara tunnel project was done if
6 differently than this description, if at all.

7 MR. REINER: Okay.

8 MR. KEIZER: That's fine.

9 MR. MILLAR: J16.2.

10 **UNDERTAKING NO. J16.2: TO ADVISE IN WHAT WAY THE**
11 **ESTIMATE FOR THE NIAGARA TUNNEL PROJECT WAS DONE IF**
12 **DIFFERENTLY THAN FOR PICKERING UNIT 1, IF AT ALL.**

13 MR. SHEPHERD: Thank you. The next area I want to ask
14 you about is page 10 of that same transcript. And Mr.
15 Reiner, you talk about looking at the various models that
16 are out there. Here's what I didn't see anywhere that I --
17 and this may be for you, Mr. Reiner, or may be for you, Mr.
18 Reed. What I didn't see anywhere in the evidence is
19 somebody go through past projects, either your projects or
20 projects by other people, and say here's what the strategy
21 is that they used, here's what went wrong, and here's why,
22 in hindsight, here's why the strategy wasn't as good as it
23 could have been and what caused the way it went wrong.

24 And I -- I mean, there's some bits and pieces of this
25 in your report, Mr. Reed, but I didn't see an analysis
26 where you say, okay, here's the various projects, here's
27 what happened. Is that just something I missed?

28 MR. REED: Well, I'll start. The first opinion that

1 we provided, which is attachment 7-1 to D2-2-1 --

2 MR. SHEPHERD: Yes.

3 MR. REED: -- pages 4, 5, 6, 7, and 8, provide that at
4 a high level. That's based upon actually a review of lots
5 and lots of documents, many of which are footnoted in here,
6 and a review of the company's operating experience or op ex
7 database on other projects.

8 So, no, we didn't replicate everything from the
9 operating experience database, nor did we provide the
10 sources and articles that provided the basis for our
11 opinion. But we do have five pages that discuss that
12 point.

13 MR. SHEPHERD: Well, so here's an example. If you
14 look at page 5 of your report -- and I don't think you need
15 to bring this up -- the -- you talk about Wolsong, but I
16 don't see anywhere in your report that it says why Wolsong
17 was successful and others were not, except one comment:

18 "We believe certain differences in the labour and
19 nuclear services market account for at least a
20 portion of the success at Wolsong."

21 But I don't see anything where it says, OPG, you can
22 learn from Wolsong that this works, so do this. That's not
23 in there anywhere, right?

24 MR. REED: It's not in our report. It is something we
25 discussed with OPG, and it is something that we conducted
26 as part of our analysis, and I'm happy to explain those
27 comments if you would like to go through them. I mean,
28 that's the kind of thing we would expect to come out in

1 discovery and cross-examination. But it is an analysis
2 that we did based upon the information available from
3 Wolsong, and, for example, that specific point, it goes to
4 labour contracting practices and the role of the trade
5 unions in South Korea versus North America.

6 MR. SHEPHERD: Sorry, thought you meant --

7 MR. REINER: Wolsong is a member of the CANDU owners'
8 group, and as a member they have provided thousands of
9 pages of operating experience to the CANDU owners' group,
10 and OPG as a member has access to that, and we actually do
11 have direct access to operating experience that's been
12 provided by Wolsong.

13 MR. SHEPHERD: See, the reason why I ask the question
14 is you're asking the Board to decide this is a good way to
15 go, these commercial and contracting strategies are a good
16 way to go, and I would have thought, and I would have
17 expected to see in the evidence, a list: Here's a project
18 that happened, here's the strategy they used, here's why it
19 went bad or good, and -- and so that the Board could see at
20 the end of the day, Ah, now we understand why you're doing
21 what you're doing.

22 MR. REINER: So maybe I can point you a couple of
23 directions. If you go to our -- and I'll just pull one up
24 as an example -- the contracting strategy for retube and
25 feeder replacement, D2-2-1, attachment 2, there is an
26 appendix. The appendix identifies a number of reference
27 documents. Those reference documents list a number of
28 projects that were analyzed as part of getting to this

1 strategy. The analysis is not all in here because, as Mr.
2 Reed identified, we have a database, an operating
3 experience database. It's a lengthy database, and that is
4 where that information is captured.

5 So everything that you talk about here, what worked,
6 what didn't work, has all been documented and has been
7 captured for the identified projects.

8 MR. SHEPHERD: Okay. Thank you.

9 MS. LONG: Sorry, Mr. Shepherd, I'm going to jump in
10 here, just 'cause we are doing a little bit of clean-up.

11 One of my concerns, Mr. Reiner, is when I -- and this
12 is a bit unfair to you, but you're the last panel, so you
13 are going to have to probably answer questions with respect
14 to what other people have said.

15 But one of the things we discussed in the Niagara
16 tunnel issue was whether or not there had been lessons
17 learned and a completion report done on that, and you
18 answered a bit that you had looked at that, but when I look
19 at the transcript -- and if you want to go there, it's day
20 2, and it's page 39. And Mr. Crocker asked some questions.

21 Do we want to pull that up, just -- I want to be fair
22 to the witness. So that's day 2, June 13th, page 39,
23 starting at line 11. Do you have that, Mr. Reiner?

24 MR. REINER: Yes.

25 MS. LONG: Can you just let me know when you've got
26 it? Okay.

27 MR. REINER: Yes, yeah, I see --

28 MS. LONG: So Mr. Crocker asked the question, has

1 there been a project completion report, and Mr. Young
2 replied -- and I'm paraphrasing -- that the work is
3 technically not complete, so, no, there had not been, and
4 Mr. Crocker then on line 20 said:

5 "Have you begun to work on the lessons-learned
6 part of that report yet?"

7 He said:

8 "There is some work done on lessons learned. Can
9 you tell me in light of that whether you know or
10 have decided what contributed most to the success
11 or failure of the project?"

12 Mr. Young said:

13 "That work has not been complete in terms of
14 lessons-learned work, and I can't tell you."

15 Then on the next page there is a bit of discussion
16 where Mr. Young says that the amended design build
17 agreement target price contract structure ultimately
18 worked, so that's obviously a lesson learned. But then on
19 the next page, at 9 and 10, they get into a discussion
20 about whether or not OPG has identified:

21 "Where did we see the problem? Should these have
22 been foreseen? Have you drawn conclusions about
23 this?"

24 And Mr. Young said:

25 "There is no final conclusion at this point. The
26 project is not complete, so conclusions have not
27 been drawn."

28 And I guess I'm just wondering from a perspective as

1 you ask this Board to consider contracting strategy with
2 respect to another mega-project, I want to make sure that
3 the two ends are talking to each other and that nuclear is
4 talking to hydroelectric about lessons learned. I
5 appreciate there may not be a final report, but we want to
6 have some confidence that in a project that went over
7 budget and had some issues that those are top of mind as
8 you go forward on a contracting strategy for this project.

9 MR. REINER: They are top of mind. And we do talk
10 internally even without having a formal closure report
11 written. And, now, the tunnel project is a little unique,
12 in that -- in regards to the event that caused the delays
13 in the project, but we have had a lot of dialogue as we
14 entered into the contracting strategies with Mr. Young,
15 with that organization, around contracting models, because
16 they had far more experience with other hydro projects on
17 that and other lessons learned as part of that process.

18 We in fact -- both Mr. Rose and I actually went up to
19 the Lower Mattagami project. That project had just
20 encountered an issue. They had a failure of a critical
21 structure that had the potential to set the schedule back
22 significantly, and there were recovery efforts underway,
23 and we went up there personally to have a look at how the
24 project responded to that, what sorts of learnings came out
25 of that. So this does happen.

26 We've also -- another example I would give you -- now,
27 this kind of goes outside of OPG, but through sort of the
28 CANDU partnership. We provide expertise, and we draw on

1 expertise from other nuclear operators to share those
2 lessons learned, and it comes from both Bruce Power and
3 Point Lepreau, so there is a lot of dialogue that does
4 actively share lessons learned. We don't just rely on a
5 report being written.

6 When we go external, I mean, we have -- unless we have
7 a specific connection, we do have to rely on reports. Now,
8 in some cases we don't. We've been down to the Union
9 Station rehabilitation, because that actually has some
10 unique parallels. You're doing new construction inside an
11 existing facility. So we've been down there, and we've had
12 a look at the challenges that they're encountering, and
13 we've captured lessons learned and incorporated those. So
14 that is an active part of our process.

15 MS. LONG: Okay. Well, that's good to hear. I mean,
16 I know Mr. Shepherd is going to ask you more about other
17 nuclear projects, but it seems to me that this is a project
18 that you should be able to leverage experience from. And
19 while over-break is not the unforeseen that you're going to
20 see here, it could be a lesson learned.

21 MR. REINER: Most definitely. I agree with that.

22 MR. SHEPHERD: Can I ask a follow-up on that?

23 You've talked to the people who are involved in the
24 Niagara tunnel project, right?

25 MR. REINER: Yes. I mean, I know Mr. Young
26 personally.

27 MR. SHEPHERD: So based on those discussions, what
28 were the flaws in the commercial and contracting strategy

1 for that project, if any flaws, that resulted in the
2 overrun?

3 MR. REINER: I think --

4 MS. HARE: Just let me stop you, Mr. Reiner. Are you
5 comfortable answering this? Or is this now getting into an
6 area that's...

7 MR. REINER: That's actually a good question. I
8 shouldn't be the one that's answering that.

9 MS. HARE: I guess I'm waiting for Mr. Keizer to --

10 MR. SHEPHERD: Madam Chair, it's not intended to be a
11 trap. I'm actually trying to find the --

12 MS. HARE: I know, but I wanted to hear also -- I
13 mean, Mr. Reiner works on the nuclear side, so he has
14 indicated he has talked to Mr. Young. But does that mean
15 he is familiar enough to answer? That's my only
16 interjection.

17 MR. KEIZER: And I would suggest that we have concerns
18 with being able to answer it, given the fact that his focus
19 is on the Darlington project, not the Niagara project.

20 MS. LONG: But did they talk about contracting
21 strategies? Like, I thought, Mr. Reiner, that you had said
22 you had spoken to him with respect to contracting
23 strategies.

24 MR. REINER: Yes.

25 MS. LONG: So you might not be able to opine,
26 obviously. But I would have thought there would be some
27 conversation about contracting strategies.

28 MR. REINER: It actually went much deeper than just

1 conversation. I hired onto my team a person that was an
2 integral player in the negotiation of the Beck Tunnel
3 contract. That person actually was responsible for
4 overseeing and being part of the negotiating team of the
5 re-tube and feeder replacement project.

6 So we actually utilized a resource that was directly
7 involved, and transplanted them into my organization and
8 made direct use of that experience.

9 MR. SHEPHERD: What I'm trying to go for here is: Is
10 there some big lesson learned that had you took from
11 Niagara tunnel about contracting and commercial strategies?
12 Is there some big lesson learned that you can share with
13 the Board as to something that, now that you've seen what
14 happened there and realize what the result is, you're going
15 to make sure you don't do that? Or do do that?

16 MR. REINER: Okay. So maybe -- again, recognizing
17 that I'm not the hydro expert, but what I extract from
18 that.

19 So that project encountered a significant risk -- or
20 it encountered an unforeseen problem, largely unforeseen
21 because the -- let me put it a little bit differently.

22 In order to avoid these large kinds of unforeseen
23 issues, the learnings for us and the steps that we are
24 taking is to try to understand as much as we possibly can
25 about the scope of work we are executing. So through
26 inspections, through whatever mechanism we have, and I
27 explained the example of, you know, we haven't looked
28 inside a calandria in a -- we haven't ever opened a

1 calandria in a Darlington unit.

2 So there is an uncertainty. That might be a parallel
3 to the tunnel. You encounter something, you hadn't seen it
4 before, and something pops up. How do you assure yourself
5 that it's manageable, and how do you give yourself
6 knowledge about what you might encounter?

7 So what we've done through our risk process is try to
8 capture as much as we can about unknowns that may come
9 along, and capture them, assess them, take mitigating
10 actions to see what can we do in order to anticipate the
11 problem, in order to ensure we have got costs included to
12 deal with the mitigating action, in order to ensure we have
13 schedule allowances to correct that kind of a problem.

14 So those would be direct learnings coming out of that.

15 MR. SHEPHERD: Okay. I think I understand.

16 Would your mock-up be one example of something, sort
17 of a response that you are protecting against, against that
18 type of problem?

19 MR. REINER: That is exactly a response to a problem
20 that came out of lessons learned. And it's probably
21 visibly -- and possibly also in terms of dollars would
22 probably be the most discrete large item where you could
23 directly point to learnings from other projects that have
24 resulted in a different approach with the mock-up.

25 MR. SHEPHERD: In essence, this is, if I can boil it
26 down -- and it sounds trite, but it's not intended to be --
27 is spend a little more money early to make sure you really
28 understand what you're getting yourself into, and then you

1 won't spend as much money later when things hit you by
2 surprise; fair?

3 MR. REINER: I think you've captured it fairly, yes.

4 MR. SHEPHERD: Can I turn to page 31 of the transcript
5 of day 14 from Wednesday?

6 And this is a discussion you had, Mr. Reiner, with Mr.
7 Elson about calculating new numbers for LUEC. Do you
8 recall that?

9 MR. REINER: That was on page 31?

10 MR. SHEPHERD: Yes.

11 MR. REINER: Yes.

12 MR. SHEPHERD: LUEC is actually calculated on a
13 spreadsheet, right?

14 MR. REINER: There is a -- I don't know the detailed
15 model and how it's -- you could probably calculate a LUEC
16 on a spreadsheet, but there is a model that is utilized to
17 do the LUEC calculations.

18 MR. SHEPHERD: All right. So rather than ask you to
19 do a bunch of calculations, can we just have the
20 spreadsheet? You filed it already, the calculation, right?
21 Can we have the spreadsheet behind that calculation?

22 MR. REINER: I don't believe there is a spreadsheet.
23 I think it's a model, meaning there's a computer tool to
24 actually do that.

25 MR. SHEPHERD: But the tool is Excel, right?

26 MR. REINER: I don't know if it is. I don't know what
27 the tool is. If it is Excel, it's not just basic Excel.
28 It's likely got some Visual Basic coding in it.

1 MR. SHEPHERD: So I'm asking you: Can you take a look
2 and see if it is an Excel spreadsheet? If it is, can you
3 please provide it?

4 MR. KEIZER: I guess I struggle to finally understand
5 why we need to run scenarios or -- financial scenarios or
6 why you need the spreadsheet.

7 MR. SHEPHERD: Because the cost of this power is going
8 to be largely dependent on the risks that are being taken
9 in the project, and in order to model those risks, we need
10 to have the model.

11 MR. KEIZER: Just a moment. I think later on in the
12 transcript, the Panel ruled that re-running financial
13 scenarios for the project is outside the scope of this
14 proceeding.

15 In this proceeding, OPG is seeking to close
16 approximately 230 million in rate base, and it's basically
17 giving the rate base analysis. I'm not sure why you would
18 need to run financial scenarios in the context of
19 contracting strategies.

20 MR. SHEPHERD: Madam Chair, this is why I asked the
21 questions earlier about how you should be looking at the
22 commercial and contracting strategies. And we got the
23 witnesses clearly saying you have to look at them in the
24 context of the entire piece of information about how much
25 it's costing and how complicated it is, et cetera.

26 The whole point of asking for your approval now is to
27 put you in the position of OPG and ask you to see whether
28 their decisions are reasonable. And if you don't have

1 access to the same information they have, you can't do
2 that.

3 That's why I ask those questions.

4 MS. HARE: Can I ask you, how does what you're asking
5 now relate to what Mr. Keizer just read in terms of a
6 previous decision? The two things are not connected, are
7 they?

8 MR. SHEPHERD: I don't think so, but I'm responding
9 to --

10 MR. KEIZER: I'm trying to struggle to understand the
11 purpose of what you're going to put -- the Excel
12 spreadsheet or the model at this stage. I don't understand
13 what the use of it is in terms of this proceeding.

14 We're not here to he evaluate the numbers. We're here
15 to evaluate the approach with respect to the contracts.

16 MR. SHEPHERD: Can I give an example, Madam Chair?

17 MS. HARE: Yes, please.

18 MR. SHEPHERD: The project has been approved by the
19 government on the basis that the LUEC, the lifetime unit
20 energy cost, is a particular range. Or presumably they've
21 taken that into account.

22 If it turns out that some of the risks talked about in
23 this proceeding take it well outside of that range, then
24 one possible solution is stop work; don't do it.

25 You have to look at whether the contracting strategies
26 and the commercial approach allows you to do that at a
27 reasonable cost. Otherwise they're not good strategies.

28 On the other hand, if that can't possibly happen, if

1 the LUEC's never going to get outside of that range, then
2 you don't have to look at that.

3 MR. KEIZER: But it seems to me if you're looking at
4 the LUEC and whether or not you're going to proceed with
5 the project, and what the government said it should or
6 shouldn't do with respect to this project, that is along
7 the lines of looking at supply mix and the nature of the
8 LTEP. And if you're looking at the decision with respect
9 to what's the cost implications if you decide not to
10 proceed with this project, because, somehow, based on you
11 running a scenario, you could establish it as being a
12 different cost. That relates to unwinding the contracts,
13 and those costs are, you know, what you've agreed with your
14 contractors and how you actually deal with those, not with
15 respect to what the LUEC is. LUEC's not going to show you
16 that. So I have a hard time understanding why it's needed
17 for the purpose of this proceeding.

18 MS. HARE: Give us a minute, please.

19 We've made a big decision. Our big decision is that
20 we'll just defer the answer until afternoon lunch. So if
21 you've got another area to move to, Mr. Shepherd, that
22 would be helpful.

23 MR. SHEPHERD: Thank you. Madam Chair, just to be
24 clear, my client is not going to challenge the decision to
25 go ahead with Darlington. We're only concerned with
26 whether the off-ramps are sufficient, given the nature of
27 the risks. This is about the risk associated with the
28 project becoming uneconomic. That's all.

1 MS. HARE: I'll tell you, our concern is we're not
2 sure what we're going to do with the information after you
3 run your scenarios. Maybe --

4 MR. KEIZER: If I could, in terms of off-ramps, I
5 think by way of undertaking we have produced contractual
6 clauses with respect to termination for convenience and
7 other things, and we've talked about off-ramps in the
8 context of the LTEP. So I'm not -- along those lines, I
9 don't think the LUEC will show you those things or reflect
10 those costs, and even if a number was generated, I don't
11 know how anyone could comment on it unless we decided to
12 cross-examine Mr. Shepherd in respect to that number.

13 MS. HARE: Well, let's pick this up over lunch. And
14 the other thing I wasn't clear about was the response to
15 whether it's an Excel spreadsheet or some other model. If
16 it's a model that Mr. Shepherd might not be able to use,
17 then this might all be a moot point.

18 So maybe over the break -- oh, Mr. Rose, you do know
19 what kind of model it is?

20 MR. ROSE: We don't run the model. The model is not
21 ours. It's run by our corporate investment group, and it
22 is not a simple Excel spreadsheet. There is a number of
23 inputs and Monte Carlo and public analysis that a team of
24 folks do in preparing a response to that type of question
25 about the LUEC.

26 MS. HARE: Knowing that, Mr. Shepherd, do you still
27 want to --

28 MR. SHEPHERD: That still sounds like an Excel

1 spreadsheet. Everything he described, I have Excel
2 spreadsheets in my office.

3 MS. HARE: Okay.

4 MR. SHEPHERD: It would be useful to find out. I
5 mean, maybe we can talk at the lunch break about what the
6 nature of it is, and if it's something that is not useful
7 to me then I'll tell you.

8 MS. HARE: Okay. Thank you. Let's leave it at that
9 then, that you'll talk over lunch.

10 MR. SHEPHERD: Thank you, Madam Chair.

11 I have just a couple of areas in the transcript. The
12 first is the fourteenth day, transcript 14, page 65. And
13 there is another reference in page 78, but I think 65 is
14 the one that I'm looking at, which is, you're being asked
15 some questions, Mr. Rose, about environment assessment
16 costs.

17 And I was -- I was unclear about this, and so I want
18 to make sure I understand. Are there environmental
19 assessment or environmental remediation or other such costs
20 that are related to the Darlington Refurbishment Project
21 that are not included in your estimate, not included in
22 your budget, they're somewhere else in the organization?

23 MR. REINER: There are going to be future costs
24 associated with implementing programs that we have been
25 asked to implement under the environmental assessment.
26 Those costs would be contained inside the nuclear
27 operation's budgets and business plans.

28 MR. SHEPHERD: So they're not in your 10 billion?

1 MR. REINER: Those are not in our 10 billion.

2 MR. SHEPHERD: Do you know how much that is?

3 MR. REINER: I don't know offhand, but we don't
4 anticipate those as being large costs, because what was in
5 our costs is the analysis that led to approval of the
6 environmental assessment. These ongoing programs are all
7 about reassessing and determining whether anything has
8 changed in regards to the analysis that was done now and
9 the measurements, and they were related to things like
10 effluent and impact on fish larvae, so they would be future
11 studies to just determine, has anything changed from the
12 time that the environmental assessment was approved to the
13 time the plant is fully back into operation. So it would
14 be individuals, it would be labour, cost for individuals.
15 They're not major capital investments.

16 MR. SHEPHERD: There's no hundreds of millions of
17 dollars here --

18 MR. REINER: There's no hundreds of millions of
19 dollars, no.

20 MR. SHEPHERD: Now, similarly to the environmental
21 assessment and environmental study costs, are there other
22 costs that is are caused by you doing the Darlington
23 refurbishment that are not in the refurbishment bucket,
24 they're in some other bucket, some other budget?

25 MR. REINER: Well, this is a somewhat obvious one, but
26 if we're going to refurbish the plant, it's going to be
27 around for another 30 years, and there's obviously costs
28 associated with operating that plant, fuelling that plant,

1 so it would just be a continuation of the nuclear business
2 plan.

3 MR. SHEPHERD: I'm talking about costs in the capital
4 development phase -- the capital phase that are caused by
5 the fact that you're refurbishing but are not included in
6 the refurbishment budget?

7 MR. REINER: There are -- there would be some items
8 that would be tied to the CNSC regulatory relicensing
9 requirement, so as part of refurbishing the plant what we
10 do is we ensure that critical components get replaced, the
11 plant is fit to return to service, as part of maintaining
12 an operating licence. There are things that the station
13 will need to do. And when the Canadian Nuclear Safety
14 Commission looks at this, you know, they don't
15 differentiate necessarily between what do you do in a
16 refurbishment project, what do you do as part of normal
17 operations. You need to apply for an operating licence,
18 and in order to achieve that there are a set of
19 requirements, so there would be some costs associated with
20 that that lie in the nuclear operations budget, but again,
21 we're not talking about hundreds of millions of dollars
22 kinds of things. They would be things that would already
23 be captured in the operations budgets.

24 MR. SHEPHERD: During the project, when you have to --
25 because you have three units operating and one unit under
26 refurbishment at the beginning, at least, if you have to
27 say to the operating side, Change this, turn this system
28 off for six hours while we work on this, that's an extra

1 cost for them. Is that part of the refurbishment or part
2 of their operating costs?

3 MR. REINER: If we needed them to take some specific
4 action -- now, if it is a direct project-related activity
5 where we say, Send us some operations staff. We need them
6 to execute the following for the project, their costs will
7 get allocated to the project. Those costs will get charged
8 to the project.

9 Where there are already staff in place that are doing
10 operations activities already being paid for and we need
11 something done specific for refurbishment, that -- they
12 would do that. An example might be, there are common
13 systems that run through the refurbishment unit. There may
14 need to be an isolation of some system that the station is
15 currently relying on for operations. We would expect the
16 stations to address that.

17 MR. SHEPHERD: And that would be in their budgets
18 because it's not incremental.

19 MR. REINER: It's not incremental. It would be in
20 their budget.

21 MR. SHEPHERD: And so Mr. Rose, you gave the example
22 of the green man, which I love. Great example. And you
23 would get those from your operations group, right, and
24 bring them in, but then they would, if they're already on
25 staff, they wouldn't count as extra cost.

26 MR. ROSE: Those folks that we would -- the green man
27 that we would bring in, we would actually have dedicated
28 green man assigned to each of the contractors paid for

1 within the refurbishment budget.

2 MR. SHEPHERD: Okay. Good. I understand.

3 The last question in the transcripts is from
4 yesterday, transcript 15, pages 7 to 9, there was a
5 discussion about -- that you had with Mr. Stephenson, Mr.
6 Reiner, and I guess Mr. Gould, about the role of Modus in
7 this project.

8 Do you recall that?

9 MR. REINER: Yes.

10 MR. SHEPHERD: And my understanding is that you were
11 brought in specifically to be critical. You weren't
12 brought in to say everything was fine; you were brought in
13 to be critical, right?

14 MR. GOULD: We were brought in to evaluate the project
15 as it is. And we see as a big component of our job
16 attempting to characterize risks as they develop, but we
17 also see an important part of our job -- especially for the
18 board of directors and for the nuclear oversight committee
19 -- that they understand -- if things are going well they
20 also need to see that. That is a component of the overall
21 project.

22 And so, like I said yesterday, we see ourselves here
23 for the project, we see ourselves understanding the
24 project, looking at the risks of the project, and defining
25 the project and characterizing the project for those
26 stakeholders to review, through the prism of our
27 experience.

28 MR. SHEPHERD: Can you look at the top of page 9 of

1 the transcript?

2 Mr. Reiner, you talked about the role of Modus, and
3 you indicated that when you get recommendations from Modus
4 you log them in a system, right? A project management
5 system?

6 MR. REINER: That's correct.

7 MR. SHEPHERD: And then you talk about them with
8 Modus, to determine what's the reason for it, do you agree
9 with it, et cetera, right?

10 MR. REINER: There is discussion with Modus, and it's
11 to ensure that there is a common understanding of what the
12 issue is that's been identified.

13 MR. SHEPHERD: And if you disagree, then you say: We
14 disagree. We don't think that your criticism is correct.
15 Here is why we're right.

16 MR. REINER: Yeah, and it doesn't just become a:
17 Here's why we're right, and then we document OPG is right
18 and on we go.

19 [Laughter]

20 MR. SHEPHERD: That would be nice, right?

21 [Laughter]

22 MR. REINER: It would be nice.

23 Modus has an accountability to the nuclear oversight
24 committee, and they need to be convinced that if we have a
25 different approach that deals with an issue differently
26 than what they've identified, they need to be satisfied
27 that it would actually address the issue that's been
28 identified.

1 MR. GOULD: Let me add to that, because this is an
2 interactive process in looking at our recommendations. And
3 we made it very clear from the very outset that the project
4 team is under no obligation to accept our recommendations.
5 It would probably be beneficial for them to consider them,
6 but they have no obligation to actually accept them.

7 What we have set up with the project team is an
8 interactive process where we are looking at evaluating and
9 assessing the depth of the recommendations, the veracity of
10 the recommendations. And in the convincing part, they do
11 not close off an action in their responses to our
12 recommendations until we're satisfied it should be closed
13 off.

14 MR. SHEPHERD: The reason I ask the question is
15 because it sounds like the process is you make a
16 recommendation, you talk to management, and understand --
17 you understand each other, and then you write your report;
18 is that right?

19 MR. REINER: No, it -- I'll let Mr. Gould answer as
20 well. But no, it's actually quite the opposite.

21 The report is written; it's presented. After the
22 report has been presented, the management team on the
23 refurbishment project sits with the Modus team. They go
24 through all of the issues in the report and they discuss
25 the issues.

26 So coming out of that may be a different conclusion
27 coming from Modus. That would then get reported up to the
28 nuclear oversight committee as part of their normal

1 tracking process of where actions are at, or specific
2 remediation measures we have taken.

3 So it happens the other way around.

4 MR. SHEPHERD: What I'm trying to get at is when I
5 read the formal reports -- are you talking about the formal
6 reports?

7 MR. REINER: Yes.

8 MR. SHEPHERD: So when I read the formal reports, it
9 looked like they had already built in a whole lot of
10 feedback from your team, already in the report.

11 MR. REINER: The way the Modus arrangement works, it's
12 a little different than an audit, where, you know, an audit
13 team will come in, they'll ask for a bunch of information,
14 they're locked in a room, they do an assessment, they write
15 a report.

16 The Modus team is actually very integrated into the
17 work. So they will attend meetings. They have the
18 opportunity to challenge things that they hear in the
19 meeting. So they actually see the direct results of
20 actions that we take in managing the project.

21 So when you see, for example, things like management
22 has taken the action to embed engineering, so -- we don't
23 just wait for Modus to identify issues. We have many
24 mechanisms and tools available to identify issues, and we
25 will respond on our own course and the Modus team will
26 actually see that. And they'll say: Here is what we're
27 seeing management do, and it -- you know, it either
28 addresses the gap or doesn't address the gap.

1 MR. SHEPHERD: From your perspective, then, when we
2 see a criticism or a challenge from Modus in their report,
3 that's not the first time you've seen that, because they
4 were probably in the meeting where you were discussing what
5 to do and they probably talked about it then at the time
6 and said: Whoa, hang on a second. We might have a problem
7 with that. Let's talk about it. Right?

8 MR. REINER: As part of the ongoing dialogue, I mean,
9 certainly, from a project management perspective, we'd have
10 the opportunity to see what the concerns might be and what
11 the issues might be.

12 But I think the way -- and Mr. Gould can speak to
13 this. The report that goes to the nuclear oversight
14 committee and what gets presented at the EVP level -- or
15 now at my level because I've got a couple of organizations
16 under me, so this wouldn't be for the project directly.
17 There is a dialogue that occurs before the report goes to
18 the nuclear oversight committee.

19 That dialogue occurs not to make adjustments; it
20 occurs as a courtesy, that you may want to be prepared.
21 These are the items that are going to be discussed.

22 MR. SHEPHERD: Is it true -- and maybe this is for
23 you, Mr. Gould -- is it true that when your reports are
24 delivered to the nuclear oversight committee, you are
25 trying as much as possible to deliver not just the
26 problems, but also the solutions that either have been
27 implemented or are going to be implemented by the team?
28 Right?

1 MR. GOULD: Yes. We're trying to characterize the
2 project as it is. And I think I described, both in
3 testimony yesterday and at the technical conference, we see
4 what we prepare on paper here as a progression of the
5 project. You know, one leads to the next.

6 So we look back to the prior reports to make sure that
7 we're closing off issues so that people understand, both
8 management and the nuclear oversight committee members
9 understand that management has looked at issues and closed
10 them off or addressed them in whatever manner they've
11 addressed them.

12 MR. SHEPHERD: So, Mr. Reiner, when the nuclear
13 oversight committee gets one of these reports, they're not
14 going to say to you that you better go fix this, because
15 you're already fixing it by the time they see it, right?
16 Generally?

17 MR. REINER: If it's a significant gap, we would have
18 seen it and we would be fixing it, but there have been
19 cases where Modus will identify something and we haven't
20 fixed it. And it could be a topic of discussion, where I
21 would need to talk to the nuclear oversight committee and
22 tell them why I don't believe it's an issue.

23 And that does happen.

24 MR. SHEPHERD: Thank you.

25 Madam Chair, I have just one more set of questions,
26 which may actually end up being an undertaking. And so I
27 may want to start it now, but if it's going to be on the
28 record then it would be better to do after lunch. But if

1 that's okay with you, I'll ask the question and see whether
2 I can do it on the record or not.

3 MS. HARE: You can start, but keep in mind it's five
4 to one.

5 MR. SHEPHERD: Indeed. What I'm looking at is Exhibit
6 D2, tab 2, schedule 2. I think this is from the update.
7 Yes, this is from the update on page 6. And this is at
8 page 11 of the Board Staff compendium, for ease of
9 reference.

10 And the question is a simple one, really. Each of
11 these items are being closed to rate base. The amounts
12 that you have listed on these two right-hand columns,
13 you're proposing to close to rate base even though they're
14 part of projects, right?

15 MR. ROSE: We're seeking to add to rate base the two
16 amounts in the originally filed Exhibit D2-2-1.

17 MR. SHEPHERD: Oh, no, I understand that. I heard
18 that discussion yesterday, but that's simply a matter of
19 it's not material enough to get the numbers exactly right.

20 But really what you're saying is that these things in
21 the last two columns, they will actually become used or
22 useful in 2014 and 2015?

23 MR. ROSE: These are the in-service amounts that
24 become used or useful in 2014 and 2015.

25 MR. ROSE: These are the in-service amounts that will
26 become used or useful in 2014 and 2015.

27 MR. SHEPHERD: Okay. And do we have in the evidence
28 somewhere a list of exactly what components of those

1 projects in that column actually are going to be in-service
2 and why they don't -- they relate to operations as opposed
3 to the refurbishment project?

4 MR. ROSE: We took an undertaking in the technical
5 conference under, I believe it's JT3.5 --

6 MR. SHEPHERD: Yes.

7 MR. ROSE: -- where we documented that basis for used
8 or useful, as well as, we described the amounts that were
9 going into service in each of those years by project.

10 MR. SHEPHERD: So you say JT3.5 has those answers?

11 MR. ROSE: That is correct.

12 MR. SHEPHERD: Okay. Then that's all I need to know.
13 Thank you, and that's my questions, Madam --

14 MS. HARE: Is your cross completed?

15 MR. SHEPHERD: My cross is completed.

16 MS. HARE: We will take a break until, let's say five
17 after two, because I think the agreement was that there
18 would be some discussion about that model, and so we'll
19 come back at five after two.

20 --- Luncheon recess taken at 12:57 p.m.

21 --- On resuming at 2:13 p.m.

22 **PRELIMINARY MATTERS:**

23 MS. HARE: Mr. Keizer, before you start, there's the
24 matter of confidentiality that I wanted to address.

25 There are, we believe, six redacted transcripts that
26 still require a Board decision as to confidentiality. And
27 we think there are about 16 undertakings for which OPG
28 seeks confidential treatment.

1 We would like to suggest a schedule of OPG putting in
2 their submission by July 22nd as to why the various
3 materials are confidential. Submissions can then be filed
4 by July 24th on the confidentiality treatment, with OPG's
5 reply on July 28th.

6 Next, if that's acceptable --

7 MR. KEIZER: That's acceptable to OPG.

8 MS. HARE: And then we had the issue of the model.

9 MR. KEIZER: Yes, and we did do some investigatory
10 work over the break, and did confirm that it has a high
11 degree of complexity. I have discussed that with Mr.
12 Shepherd, and Mr. Shepherd understands that it probably
13 will not suit his purposes. And so he is withdrawing his
14 undertaking, I think.

15 MS. HARE: Is that correct, Mr. Shepherd?

16 MR. SHEPHERD: I am, Madam Chair. I have been
17 convinced that the complexity of the model is beyond what's
18 going to be useful during the arguments.

19 MS. HARE: Thank you.

20 Are there other procedural matters, then?

21 MR. KEIZER: We have none, Madam Chair.

22 MR. MILLAR: Madam Chair, there does seem to be a
23 humming or something with the sound system.

24 MS. HARE: Yes, I do hear that as well.

25 MR. MILLAR: I wonder -- perhaps you might turn the
26 system off and then back on, and see if that helps.

27 Maybe it's already fixed.

28 MS. HARE: It appears it's gone. Is it to do with

1 your microphone, Mr. Crocker? What happens when you turn
2 it back on?

3 It's no good. I wonder if maybe you should change
4 seats.

5 MR. KEIZER: Maybe we should take it as a sign.

6 [Laughter]

7 MR. CROCKER: No hum?

8 MS. HARE: No hum, and your mic is on. So that's
9 good. So please proceed, Mr. Crocker. We understand you
10 have about 45 minutes.

11 **CROSS-EXAMINATION BY MR. CROCKER:**

12 MR. CROCKER: Timing always depends more on the panel
13 than it does on me. We have three narrow areas and
14 shouldn't take very much.

15 MS. HARE: All right. So 45-ish?

16 MR. CROCKER: Ish. I think it's too late in this
17 hearing to joke about time. I think everybody, as you have
18 indicated, is hearing-fatigued.

19 I want to start with an area that Mr. Millar canvassed
20 at the end of his cross-examination yesterday, and it
21 begins at the bottom of page 166 of the transcript. I
22 don't know that it's that important to turn it up, but
23 that's the reference, where he talked about the schedule of
24 refurbishments and the expected end-of-life of the
25 facilities.

26 What I do think should be turned up is the business
27 plan of November 14, 2013. We have given it. I can't read
28 the reference because the date's stamped over the

1 reference. It's D2, tab 2, schedule 1, I think, attachment
2 5, and we're at page 39.

3 MS. HARE: I think this is confidential.

4 MR. CROCKER: I should add two caveats before I start.

5 Although we have tried to monitor things by reading
6 transcripts, the three of us who are involved with this,
7 and listening periodically, if we are repeating something,
8 I invite the Panel to tell me that. I'm sure you would
9 anyway.

10 And secondly, if we are doing something with --
11 getting into something which is confidential, we would also
12 like to be advised. I don't think this is confidential.

13 MS. HARE: What we see on the screen is marked
14 "confidential and commercially sensitive."

15 MR. CROCKER: But I don't think it was confidential
16 for the purposes of this hearing.

17 MR. KEIZER: It's the public business case, yes.

18 MS. HARE: It's okay? Thank you.

19 MR. CROCKER: The table in the middle of the page
20 talks about the scheduling of the refurbishments; correct?
21 Okay.

22 And as I understand it, what you have said is, in this
23 comparison that you provide, that at 235,000 effective --
24 what's the expression that you use?

25 MR. ROSE: Effective full-power hours.

26 MR. CROCKER: Yes, EFPH, effective full-power hours.

27 The first alternative is the preferred alternative?

28 That's correct? That's 30 whatever the units of measure is

1 better than the others?

2 MR. ROSE: That is correct. What that says is that
3 the alternative of -- assuming we can get 235,000 effective
4 full-power hours out of the units, the alternative of
5 lapping the first unit as compared to all overlapping all
6 four units is \$30 million better net present value.

7 MR. CROCKER: Okay. And presently you are approved
8 for 210,000 hours; correct?

9 MR. REINER: 210,000.

10 MR. CROCKER: What did I say? 210,000, yes.

11 And if you are not approved beyond that, then the
12 first alternative is no longer the preferable one? It
13 clearly is -- will cost you more than the others; correct?

14 MR. ROSE: If we are not approved to go to 235, albeit
15 we have increasing confidence that we will be able to, but
16 yeah, not approved. If we're not approved to go to
17 235,000, we would have to re-evaluate how -- what is the
18 duration that we're approved to go to, and what will be the
19 best optimal schedule for us to put in place at that point
20 in time.

21 MR. CROCKER: Right. And you indicated that -- at
22 line 20 on page 168 of the transcript, Mr. Reiner,
23 yesterday, in answer to one of the Mr. Millar's questions,
24 that there are some anomalies related to Unit 3, which is
25 going to make it more difficult to get to 235; correct?

26 MR. REINER: That is correct. So in the schedule as
27 it currently stands -- this was a very recent decision on
28 our part -- we switched the second unit in the sequence of

1 outages. So it would be Unit 2, Unit 3, Unit 1, Unit 4.

2 MR. CROCKER: Right, and you've said that before.

3 MR. REINER: Yeah.

4 MR. CROCKER: Let's go to the top of the page. You
5 indicate, and it's clear, that you're approved for 210,000.

6 Can you tell me when you expect each of the units to
7 reach that number of EFPH?

8 MR. ROSE: That information is actually provided in
9 the Staff's compendium, page 23.

10 MR. CROCKER: Thank you. Could you repeat it?

11 MR. ROSE: It's Exhibit KT15.2, page 23.

12 MR. CROCKER: Okay Thank you. And --

13 MR. ROSE: Unit 2 at 210,000 effective full-power
14 hours in quarter 2 2019; Unit 1, in quarter 2 2019; Unit 3,
15 quarter 4 2019; and Unit 4 in quarter 2 2020.

16 MR. CROCKER: Thank you.

17 MR. ROSE: You're welcome.

18 MR. CROCKER: Going back to what Mr. Reiner said, as
19 discussed at the bottom of page 168 of the transcript, you
20 say:

21 "We've made a decision recently based on results
22 of the fuel channel life management project that
23 has had us change the order of the units."

24 And at page 172, at line 8 you say you would be
25 essentially looking at advancing some of those overlaps and
26 increasing the overlap time period. That has to do with
27 the scheduling you describe in that table.

28 I wonder when those decisions were made? These are

1 fairly significant decisions. This is a significant piece
2 of the project. And I wondered when those decisions were
3 made?

4 MR. REINER: Just in regards to the second reference,
5 I think that was a discussion about options we would
6 consider in --

7 MR. CROCKER: I may have said --

8 MR. REINER: -- order to avoid idle time, so there
9 were -- there were no --

10 MR. CROCKER: Can I interrupt you? I may have said
11 page 1 -- I think I said page 172, and I meant page 171, at
12 line 8, which may change your answer.

13 MR. REINER: Okay.

14 MS. HARE: Can you maybe repeat the question, though,
15 Mr. Crocker?

16 MR. CROCKER: Yeah. Yeah. At the bottom of page 168,
17 Mr. Reiner, in answer to a question from Mr. Millar, talks
18 about changes that they've made to the scheduling and the
19 order in which the units were to be refurbished. And my
20 question was, when was that decision made? And there was a
21 further discussion of that at line 8, on page 171, further
22 discussion of changes of approach to the refurbishing, when
23 he talks about advancing some of those overlaps that --
24 overlaps in terms of when the units are going to be
25 refurbished and increasing that overlap time period. And
26 he says in a couple of lines below that it could in fact be
27 lower cost.

28 I wondered -- my question was, when were those

1 decisions made?

2 MR. REINER: Okay. So there is really only one
3 decision that has been made, and it's in regards to
4 switching the unit order, so having Unit 3 be the second
5 refurbishment unit. That decision was made, I believe it
6 was around about May of this year. It was not that long
7 ago. So that's a very recent decision, and that's why it
8 isn't reflected yet in our business case. It will be in
9 the next update of the business case.

10 Aside from that there has been no other decision. So
11 the schedule -- the schedule would still stand with the
12 overlaps as currently shown. Any decision to change that
13 would be an outcome of the fuel channel life extension
14 project, and we would have the final data point that we
15 need for that during the Unit 2 refurbishment, and that
16 would then tell us whether there is a risk of idle time and
17 whether we would have to increase overlap.

18 So there is no decision that has been made there.

19 MR. CROCKER: I wonder why -- the changing of the
20 units is a fairly fundamental decision, and I wonder why
21 it's being made at this relatively late stage in the game.

22 MR. REINER: So that decision is a direct outcome of
23 the condition of the fuel channels. So it's not a decision
24 that you make without having the technical basis to go with
25 that. That's a decision that the chief nuclear engineer of
26 the company made. It's a direct result of inspection data
27 and analysis, and an indication that Unit 3 will -- unit-3
28 fuel channels will reach the end of their life before the

1 unit-1 fuel channels will.

2 So it's just, it's really not a decision as much as it
3 is a -- it's an anomaly that exists in the fuel channels
4 that has only come to our attention very recently.

5 MR. CROCKER: Is the discussion that you had at line
6 8, although I understand it's to some extent speculative,
7 is it another alternative?

8 MR. REINER: What page are on you? Is that 172?

9 MR. CROCKER: Yeah, 171. Did I say 172 again? I
10 meant 171, at line 8.

11 MR. REINER: I'm just sort of reading the lead-up to
12 that, and I believe the lead-up to that was a discussion
13 around what would happen if the units don't get to the
14 desired fuel channel life. If they don't get to our
15 desired fuel channel life, then we end up in a situation
16 where we've got to balance the potential impacts of
17 advancing the start of a refurbishment with the cost impact
18 to the company of having units sit idle.

19 And we would look for opportunities to change the
20 overlaps. And we would assess that if that needed -- if
21 that is a situation we find ourselves in.

22 MR. CROCKER: Okay. That's not -- that potential
23 isn't a surprise to you. That's a potential which has
24 existed for, I would imagine, a long time. And I wondered
25 why that approach isn't one of the alternatives that is --
26 was discussed as widely as the other three that you compare
27 on page 39 of the business plan.

28 MR. REINER: So right now the way -- so the way the

1 schedule stood in that -- in that business case, that is
2 the optimum schedule. If you do an analysis of idle time
3 and lost revenues, that is actually an optimum schedule.
4 And so it becomes -- it has become the base case. Doing a
5 switch of the two units wouldn't change that. So it would
6 still be an optimum schedule.

7 Now, if as the fuel channel life management project
8 progresses it gives us different information than we have
9 today, then we would make adjustments. But based on what
10 we know today, outside of that switching of the two units,
11 this is still an optimum schedule for us.

12 MR. CROCKER: Why then are you -- to follow through, I
13 understand what you're telling me, but why only now are you
14 looking at increasing the overlaps? That's the comment
15 that you make at line 8 and 9 of page 71, and which, as you
16 indicate at line 11 and 12, may lower some costs. Why
17 wouldn't you start with that proposition if the cost -- if
18 the cost of doing it is lower?

19 MR. REINER: There would need to be a real good
20 assessment of potential risk versus cost. And so in
21 theory, running all four units simultaneously means you can
22 get this done in three years' time. And if all you looked
23 at was, you know, the cost to the project, that might be an
24 optimum, but whether or not you could actually execute four
25 refurbishments simultaneously would be a different
26 question.

27 So there are a number of factors that weigh into that.
28 So by increasing the overlaps, you know, there is a

1 potential for reducing cost, because we would essentially
2 be returning the units back to service at the end of
3 refurbishment earlier and avoiding some of that downtime
4 that might result if we didn't -- if we needed to make that
5 kind of an adjustment.

6 So it's -- you know, this is -- as part of our
7 business case updates, what we typically do is, based on
8 what we currently know at this stage about fuel channel
9 life, we revisit the schedule to see what is the optimum
10 schedule. And those other options, you know, of increasing
11 overlaps, they become options we would assess if we needed
12 to make an adjustment. At this stage the only adjustment
13 is the switching of the two units.

14 MR. CROCKER: But you haven't answered my question.
15 The question was, you are putting alternatives to the
16 Board, and you are ask -- and the Board is going to be
17 approving your going-forward plan, and you didn't analyze
18 what appears to be a lower-cost option, and you didn't put
19 that before the Board, other than in your answers to cross-
20 examination by Mr. Millar, as you did for the other three.
21 And I just wondered why.

22 MR. REINER: I may be repetitive here, and I
23 apologize. Let me just try to understand what you're
24 looking for.

25 You would have expected to see in this business case
26 options that adjusted overlaps, and did a bunch of analysis
27 like that.

28 MR. CROCKER: Yes.

1 MR. REINER: There was analysis done that looked at
2 the schedule optimization. It looked at a number of
3 different scenarios.

4 The overwhelming cost factor that drives the schedule
5 is the idle time on the units. So the lost production from
6 the units is the overriding factor. There are variation in
7 project costs associated with adjusting that schedule, but
8 it's overwhelmed by lost production.

9 So that analysis resulted in the schedule that was put
10 into this business case. The original schedule -- and it
11 was adjusted from our 2009 filing to our 2013 filing
12 because the original schedule, what we knew about fuel
13 channel life at the time had us overlap all four units.
14 When we learned that the fuel channels can actually run for
15 longer, we had a couple of options available to us. We
16 could have deferred everything by about a year, a year and
17 a half, roughly. Or we could have made the decision we
18 made, which was unlap the first two units.

19 The reason we selected that option -- and this was
20 discussed with the Board -- it became an optimum from the
21 perspective of we've avoided -- we've optimized production
22 from three units. That didn't necessarily optimize
23 production for that first unit, but it mitigated risk for -
24 - to ensure that we can actually succeed on the first unit
25 by allowing us to focus on one unit and get through one
26 unit, and have an opportunity to apply all of the lessons
27 learned on that unit to the subsequent units.

28 And so given we've now got an optimum schedule, that

1 schedule will carry forward in future business cases, and
2 it will only get adjusted as we learn more about the life
3 of the units.

4 MR. CROCKER: Is the -- this is the last question I'll
5 have on the point and I'll move on. Is the discussion that
6 you just described, the analysis that you just described
7 which led you to where we are at this point, is that an
8 analysis that or a discussion that's available to us, that
9 we could see?

10 MR. REINER: There is -- there is a discussion about
11 this on page 16 of that business case. I'm not sure if
12 that might satisfy what you're looking for here. Page 16
13 and page 17.

14 MR. CROCKER: No, I'm aware of that. It doesn't
15 discuss the kind of -- it doesn't include the kind of
16 discussion which you've just described that you had with
17 the Board, I suggest. The -- what's on page 16 and 17
18 doesn't discuss that.

19 MR. REINER: So our -- again, I want to understand
20 what you're looking for. Are you looking for the analysis
21 that led to the start date of the refurbishment and then
22 that overlap schedule?

23 MR. CROCKER: No. I'm interested in knowing the
24 discussion that you had with -- which you suggested to me
25 included the option of the lower cost, greater overlapping,
26 which you didn't pursue, and you pursued the other three.

27 MR. REINER: I -- can I just maybe state something?
28 In the transcript here it says, you know, it could, in

1 fact, be a lower cost. What I mean by that is there is a
2 potential it may be a lower cost. There isn't a lower-cost
3 option out there that we didn't pursue.

4 So I think the point I was trying to make, by
5 adjusting the overlaps it doesn't necessarily increase the
6 cost of the project. It may decrease the cost of the
7 project.

8 But there is no -- we looked at an optimum cost versus
9 lost production scenario, and lost production overrides the
10 cost in large part, but we looked at sort of an optimum
11 scenario and also a scenario that we saw as being the most
12 feasible in terms of executing the project.

13 And that was an outcome of analysis. But I think in
14 regards to this discussion, I didn't mean to imply that
15 there is a lower-cost option out there that hasn't been
16 looked at.

17 MR. CROCKER: Can I take it from that that there
18 isn't, then, an alternative four which includes that
19 overlapping with a cost applied to it that we could
20 compare?

21 MR. REINER: There isn't one, no.

22 MR. CROCKER: I wonder whether we could turn, then, to
23 page 38 of the same business plan.

24 And you say in the -- in this, the second-to-last
25 large paragraph on the page, about halfway down:

26 "On the other hand, operational life is forsaken
27 when units are shut down for refurbishment before
28 they reach the limited component end-of-life.

1 Because end-of-life dates of the four Darlington
2 units would occur within approximately a one- to
3 two-year span, it is necessary to stagger the
4 start dates..."

5 Et cetera. Which of the units have operational life
6 that is forsaken?

7 MR. ROSE: Unit 2. So if we assume that Unit 2 --
8 looking again at the Staff compendium, KT15.2, page 23 --
9 if we start Unit 2's refurbishment in October 2016 under
10 the 210,000 effective full-power hours, it's in fact being
11 taken out of service two-and-a-half years earlier than it
12 needed to from an end-of-life perspective.

13 If you look at 235, it's being taken out almost six
14 years earlier from an end-of-life perspective under those
15 two scenarios.

16 And if you carry on page 23 and you look at either
17 case, 210 or 235, you'll see the end-of-lives are within
18 one year.

19 So we couldn't get wait until they get to the end-of-
20 life and have four refurbishments on top of one another.
21 What would end up happening is that you would have units
22 sitting idle until we could start the refurbishment of
23 those units.

24 So when we developed the original schedule, starting
25 in 2016, we did an economic consideration of the optimal
26 economic value, considering forsaken life, refurbishing
27 before they actually reach their end-of-life, and idle
28 time, lost revenue.

1 That's the basis for the 2016 start date.

2 MR. CROCKER: And have you determined what that lost
3 revenue might -- will be?

4 MR. ROSE: In the analysis we did, the -- we did a
5 comparison, an economic analysis of what's the point of
6 maximum economic value, considering forsaken life and idle
7 time. So it does -- the analysis would consider both parts
8 of that.

9 MR. CROCKER: Is a write-off of assets part of that
10 analysis?

11 MR. ROSE: I don't believe so.

12 MR. CROCKER: Okay. If we could go to the Modus
13 report of August 13, 2013, page 17. The fourth bullet on
14 that page you say:

15 "OPG decided to shift the OPS and maintenance
16 costs for each unit's operators to the Darlington
17 refurbishment project while under refurbishment,
18 which further added to the overhead costs."

19 And my question is -- questions are, is the full
20 amount of the operations and maintenance costs carried
21 through the refurbishment as per normal operations?

22 MR. ROSE: The operations and staff required that
23 would be used to operate the plant while it's in the
24 refurbishment's control, so for each unit as per our
25 schedule are included in the Darlington refurbishment's
26 project estimate.

27 MR. CROCKER: And is it the same number of people that
28 would be required to operate it were it not being

1 refurbished?

2 MR. ROSE: Not necessarily. We've done evaluation of
3 what it is that we require, which -- what are the numbers
4 of operators that we require to do the maintenance, to
5 sustain the asset, to deal with permitry issues for the
6 work that's being done under the refurbishment, and that is
7 included in our estimate.

8 MR. CROCKER: And is it -- are these costs constant
9 throughout? Do they...

10 MR. ROSE: They are not constant throughout. They are
11 different at different points. There are certain points in
12 our overall schedule that will have two units under
13 refurbishment. And the staff levels move with those
14 levels, with the number of units being in a refurbishment
15 state, and as well, they fluctuate based on the type of
16 work you do and the phase of the project that you're in.
17 When you shut the unit down, they're shut down, there's
18 more operators doing that and doing the defuelling, and
19 then there's more operators involved when you commission
20 the plant at the end of that refurbishment. And the way
21 that the units overlap considers that.

22 So there is an attempt to resource level to the extent
23 we possibly can, so while one unit is being commissioned
24 you complete that phase before you start to take the other
25 unit out of service.

26 MR. CROCKER: And are these the same people who
27 operate the units when they are operational rather than
28 when they're being refurbished?

1 MR. ROSE: In some cases, yes, we will move people
2 from operations. So when we look at the operations
3 business plan over the refurbishment period, their numbers
4 will be reduced, their need is reduced, because they're
5 operating three or two units. In turn, our needs are
6 increased while we're operating one or two units, so both
7 -- there's some -- when you add those two together they
8 resemble the size of the organization. If in some cases,
9 depending on the type of operator required, it may actually
10 exceed the needs of a normal four-unit organization.

11 MR. CROCKER: And the description that you gave to me
12 about how these people are used, that's what you have done
13 in order to maximize the efficiency of these people through
14 this period, is it? Or have you done more?

15 MR. ROSE: Well, certainly we've -- again, back to my
16 point of the overlap, there is a resource optimization
17 there. If you again were to commission one unit and shut
18 down the next unit at the same time, you would -- that's an
19 operator-heavy time frame. So we've ensured that our
20 schedule doesn't do that.

21 MR. CROCKER: Okay. Thank you.

22 I just have one further brief area. If page 18 of
23 that same Modus report could be turned up, please. The
24 report which you have footnoted at footnote 17, at the
25 technical conference I asked whether that could be
26 provided, and I think Mr. Reiner indicated -- one of you
27 indicated that the variance and explanation of overall
28 program scope growth, which is the first line after the

1 bullets on that page which is discussed in that report, we
2 could find that in a business plan. I can't remember which
3 business plan you said, Mr. Reiner.

4 We looked, and what we found was sort of a general
5 discussion, and we were looking for something in more
6 detail than that. And so I would like to reiterate my
7 request, please, to have that report, for an undertaking to
8 provide that report, please.

9 MR. GOULD: Mr. Crocker, maybe I can help. There was
10 an attachment to our very next report, was that
11 spreadsheet. I believe Mr. Shepherd had some cross-
12 examination about it. And that is a comparison of those
13 two business plans, to my knowledge. So it's this coloured
14 sheet. So I think that's already in evidence.

15 MR. CROCKER: But that's not the full report.

16 MR. GOULD: I thought you were just asking for a
17 comparison of the numbers. This is a comparison of the
18 numbers.

19 MR. CROCKER: No -- well, that may be fine, and I'm
20 not the one who's going to be analyzing the report, and the
21 person who is going to be analyzing the report is asking me
22 to ask you whether the full report is available, that the
23 summary in the business plan didn't provide him with the
24 information he wanted for the purposes of argument. So
25 that's --

26 MR. GOULD: That's not my -- I was just trying to
27 help.

28 MR. CROCKER: I know, I know.

1 MR. GOULD: So...

2 MR. KEIZER: Well, maybe we should ask what the nature
3 of the report is. I mean, obviously the sheet that's --
4 spreadsheet that's been provided is quite detailed. I
5 don't know what form the report takes or how it actually
6 boils up to the spreadsheet.

7 MR. ROSE: So I can try and respond to that as well.
8 The nature of the report is summarized in the Modus report,
9 page 18 of 76. It's -- I believe that the report that is
10 being referenced in the Modus, from memory, was likely
11 something that I was involved in preparing, because we do
12 the variance plan or plan analysis, was not much different
13 than this. It was a table.

14 What we also referenced in, I think in the technical
15 conference was on page 34 of the business case, the
16 confidential version of the business case. We actually
17 have the breakout of the different elements and the
18 business case, the estimates at different points in time,
19 including the November 2009, which is referenced here, as
20 well as the November 2013.

21 MR. CROCKER: With all of that then there should be no
22 problem with providing the report.

23 MR. REINER: Can I -- just for clarification, can you
24 just repeat which report it is that you're looking for?

25 MR. CROCKER: The -- well, it's the report that you
26 have footnoted on page 18 at footnote 17, unless there is a
27 more recent version. And if there is a more recent
28 version, I would like that one.

1 MR. REINER: We can undertake to provide that.

2 MR. MILLAR: J16.3.

3 **UNDERTAKING NO. JX16.3: TO PROVIDE THE MOST RECENT**
4 **VERSION OF THE MODUS REPORT.**

5 MR. REINER: The information was all here, though that
6 might suffice, but, no, we can undertake to provide that.

7 MS. HARE: And is that report confidential?

8 MR. ROSE: It will be confidential, because it will
9 have point estimates of the contract values in it.

10 MR. CROCKER: We'll treat it that way.

11 MS. HARE: Okay. So just add that to the list of what
12 you're going to address --

13 MR. KEIZER: We'll add that to the list of undertaking
14 responses.

15 MS. HARE: Thank you.

16 MR. CROCKER: Thank you, Madam Chair, thank you,
17 panel. I have nothing further.

18 MS. HARE: Thank you.

19 MR. KEIZER: Could that be marked as a JTX until we
20 otherwise, or --

21 MS. HARE: Sure.

22 MR. KEIZER: -- JX or whatever the number is?

23 MS. HARE: Yes. The Panel does have some questions,
24 starting with Ms. Long.

25 **CONTINUED QUESTIONS BY THE BOARD:**

26 MS. LONG: Mr. Reiner, I'm looking at the May 13th,
27 2013 Modus report, which was somewhat critical of how
28 things were progressing. And I'm wondering if you can

1 explain to me in a general sense how it is that Modus, who
2 had been retained before and was monitoring your
3 performance, how it is that we came to get a report like we
4 did -- like you did on May 13th, 2014?

5 MR. REINER: There is an overall work plan that Modus
6 laid out as part of the work that they are doing for the
7 nuclear oversight committee, and that work plan looks
8 across time and what specific areas of the project that
9 they will dive into, that they will do a deep dive into and
10 report on. And they align that with the phase and status
11 of work on the project.

12 So this report and the critical elements in this
13 report are really around some of the campus plan projects.
14 One of their focus areas for that report was specifically
15 to take a look at the campus plan projects.

16 MS. LONG: I guess you're drawing the distinction that
17 this was a deep dive, as opposed to other reports.

18 I guess I'm looking for an assurance that the next
19 time they do a deep dive they're not going to find similar
20 type problems. I know that you've put things in place in
21 order to address some of the issues that they raised, but
22 it seems to me if OPG is taking on a larger project
23 management responsibility, I guess, with respect to this
24 project, I wouldn't want to see another report doing a deep
25 dive that identified more problems.

26 So I guess what I'm asking you is: Do you feel
27 confident you have procedures in place that, should Modus
28 dive into something deep again, they wouldn't produce a

1 similar type report?

2 MR. REINER: I will start by saying my expectations
3 are exactly the same as yours, that I wouldn't expect to
4 see this kind of report.

5 That being said, it would also not necessarily
6 surprise me that they would identify gaps. This particular
7 report had some gaps that were of significant concern and
8 we took some significant corrective actions, and that was
9 really largely around having two different organizations
10 manage projects in two different ways. And we're
11 establishing some standards across those two organizations.

12 And so certainly that's my accountability, to do that
13 and make sure that happens, that we don't find another
14 result like this.

15 But Modus will continue to do deep dives. That's what
16 they're here for. They will continue to try to find
17 potential problems before they become real problems.

18 But certainly with the lessons learned out of this
19 that we've applied -- and I will say, just to draw a
20 distinct of distinction between the two organizations that
21 are executing work, the refurbishment organization, which
22 was really focused on the definition work leading up to
23 breaker open and what happens post-breaker open, had
24 already incorporated a lot of the practices that Modus
25 identified need to be applied to the campus plan projects
26 that are being done by this other organization.

27 So we had, in fact, already done many of the things.
28 And I believe that was highlighted in Mr. Gould's report.

1 So for us now, it becomes ensuring we've got that
2 consistency and we've made the changes across both of the
3 organizations.

4 MS. LONG: You had a discussion today with Mr.
5 Shepherd, and he put to you that, really, the success of
6 this project will depend on project management. And I
7 think that you agreed with him. And I think earlier in the
8 week you said that you had the right team in place and that
9 you were confident in that.

10 This Panel has heard a lot of evidence about some
11 challenges, I think, that OPG faces with respect to
12 business transformation, prescriptive, I guess, union
13 contracts. We've heard about your pension plan, which
14 allows people to retire at, let's say, a somewhat early
15 age.

16 So as I'm looking at the next 10 years for this
17 project, do you feel confident that there aren't any
18 impediments to you having the right team in place in order
19 to see this project through, you know, consistent with the
20 contract strategy that you've put before us?

21 MR. REINER: That is clearly a challenge for us, given
22 the duration of the project, the points that you
23 highlighted.

24 We -- inside the company, the demographics currently,
25 the way they sit, we have a lot of very senior people
26 exiting, potentially exiting the organization over a very
27 short period of time.

28 So to address these issues, we do have a fairly robust

1 succession and development planning process in place. The
2 types of steps that we are starting to take to adjust for
3 these risks is we're now looking far deeper in the
4 organization for potential succession candidates for senior
5 roles. We're implementing things, for example, like -- and
6 you may have seen this in the nuclear operations panel,
7 things like deputy director, deputy vice-president-type
8 positions, so we can bring a more junior person into a role
9 and have an opportunity to mentor and transfer knowledge.

10 So that's being built into our process.

11 We're also enhancing some of our -- we're looking at
12 different strategies that allow us to tap into external
13 expertise and have access to external expertise.

14 So the example that is in place already, these owner
15 support services agreements that I have talked about that
16 are essentially like an owners-engineer-type arrangement,
17 where we have access to engineering capability and project
18 management capability. We are also looking at extending
19 that into construction management.

20 So those are all pieces that we are putting into
21 place.

22 When it comes to union agreements, I think that one,
23 we are nearly through. We have got an agreement in place
24 with the Society of Professional Employees. That takes us
25 to the end of the refurbishment time period. And it's an
26 arrangement that, to the union's satisfaction, deals with
27 how positions would get posted, how people would get moved
28 in and out of positions. So that's in place.

1 And we're in process of working on a similar agreement
2 with the Power Workers' Union. We expect to have that done
3 shortly.

4 So those are pieces that are actually coming together
5 quite well. So there are -- and this is -- these are
6 issues that are in our risk register as well. We have
7 corporate groups that are supporting us in this effort.

8 But definitely something that is clearly being managed
9 active.

10 MS. LONG: My final question -- and again, it's to
11 you, Mr. Reiner -- is with respect to when I take a look at
12 your contracting strategy, you used words like when you
13 approached contractors to take on this work. And we heard
14 when we heard about Niagara tunnel, the comment was made
15 that OPG was lucky to have Strabag continue with the
16 project.

17 Do those sentiments indicate that there is a problem
18 with the balance of power in contracting with respect to
19 OPG and contractors?

20 I think I'm a little unclear on that, because those
21 comments concerned me, but then I heard, I think, that you
22 felt that there was ample compensation with respect to
23 contracts, that you were able to negotiate a good deal.

24 So can you help me out with that?

25 MR. REINER: Yeah. With -- and in regards to the
26 tunnel comment, I believe that might have been around the
27 early phase -- the first phase of that project was a fixed-
28 price phase. The project ran into a lot of difficulty and

1 got to the point where the contractor, essentially, was
2 prepared to walk away, because of the risk that was
3 potentially going to be imposed by the contractor.

4 So that's a learning that has factored into our
5 strategies, which is why we sort of showed the relationship
6 of cross-pricing structures and oversight and project
7 definition.

8 When it comes to the contracts themselves -- so the
9 re-tube and feeder replacement contract, which is the
10 largest, when we started that process there were seven
11 interested parties. And we started through an expression
12 of interest rather than going into a formal proposal. And
13 seven parties replied. We took them through a process of -
14 - an evaluation process to narrow the field, because we did
15 not want to take all seven of them through a request for
16 proposal.

17 We narrowed that field down to three that we were
18 prepared to take through a competitive bid process. It did
19 collapse to two, because one of the entities was Atomic
20 Energy of Canada. We took two forward through that
21 competitive bid process, and we did get good bids from
22 each, and to keep that competitive tension alive what we
23 did is we actually negotiated with both parties
24 simultaneously. We conducted two negotiations, to a point
25 where we requested a final offer from both parties, and we
26 made a decision based on sort of a combination of final
27 offer, their technical capability, what they were putting
28 forth in terms of methodology, their project-management

1 strengths, and it was a robust commercial process.

2 We had the same in most cases. The exception I would
3 say is where we needed to sole-source with Alstom, so it
4 wasn't the competitive process, there was a sole-source
5 process, but we did establish pricing benchmarks to be able
6 to evaluate the price that we were getting, and essentially
7 we had -- we have a lot of knowledge about the price of
8 components and what they cost us today. We were able to
9 lock those prices into the contract.

10 So even though there wasn't a competitive process, we
11 were able to still get, from my perspective, good prices in
12 those -- in that contract that was sole-sourced. But there
13 has been a healthy competitive process across the projects.

14 MS. LONG: Thank you. Those are my questions.

15 MS. HARE: Thank you. Ms. Duff?

16 MS. DUFF: Thank you. I have a number of questions
17 regarding the business-case summary, so it's Exhibit D2-2-
18 1, attachment 5. And my questions are focused on pages 41
19 and 42. This section is entitled "annual support and
20 overhead cost", and at the last sentence of the first
21 paragraph, they're talking about centrally held costs, such
22 as insurance premiums, pension adjustments, and interest on
23 other post-employment benefit obligations which are
24 allocated to the Darlington station.

25 And just to summarize, I think that first paragraph is
26 talking about business-as-usual conditions and costs that
27 are allocated to the nuclear station today. Is that
28 agreed?

1 MR. REINER: Yes, I believe that's correct. Yes.

2 MS. DUFF: And in the second paragraph it's now
3 talking about, should the nuclear fleet -- should I
4 continue?

5 "Should the nuclear field shrink, losses of
6 economies of scale will result and in effect have
7 increased in the cost of providing nuclear and
8 corporate support services to the remaining
9 stations."

10 So I'm just -- as -- so with the nuclear refurbishment
11 project, by the time this project is complete -- and I
12 think you said it was in the year 2025? It's approximately
13 ten years from now?

14 MR. REINER: Yes, that's correct.

15 MS. DUFF: So at that time Pickering will no longer be
16 operating and Darlington will be the only nuclear
17 generating station operating?

18 MR. REINER: That's correct.

19 MS. DUFF: Am I to understand that the remaining
20 Darlington station will then have more costs allocated to
21 it? I'm trying to understand what the relevance of this is
22 to the refurbishment project.

23 MR. ROSE: So I'll start off with answering the last
24 part of that. The relevance to the Darlington
25 refurbishment is that we calculate the LUEC, we calculate
26 the ongoing operation costs for the Darlington post-
27 refurbishment, so for the 30 years. So this includes in
28 the LUEC is the annual cost of Darlington, which would

1 include both the nuclear support costs and the corporate
2 support costs.

3 MS. DUFF: So in this assessment -- and now I guess
4 we're going on to the third paragraph -- well, it does
5 state that "because it is assumed", and I quote:

6 "Because it is assumed that the Pickering units
7 will have already been shut down at the time the
8 Darlington station will be in a post-
9 refurbishment period, Darlington's share of the
10 nuclear support costs and corporate support costs
11 will come under upward pressure due to losses of
12 economies of scale."

13 So what have you -- and the next sentence starts
14 "therefore, in this assessment". So that's where I was
15 looking for some explanation of what has been added to the
16 financial analysis of this project and what was the purpose
17 of allocating more corporate costs to this project
18 analysis, if I -- please explain.

19 MR. ROSE: So the only -- the purpose for being
20 conservative is to ensure that we don't -- we don't
21 artificially lower the LUEC. So this actually -- the
22 conservative -- we actually put a cost higher than what
23 today's current run rate is. So it's a conservative
24 position.

25 The goal would be, as the business plans get set for
26 these years post-refurbishment, that these costs are
27 reduced, lower than this, and there's an upside on the LUEC
28 there.

1 MS. DUFF: The corporate support -- and I guess we
2 turn the page to page 42. So to quantify that, is it the
3 financial analysis for this project has been allocated an
4 additional 235 million per year? Is that correct? So I'm
5 looking at table C6, "corporate support and adjustments",
6 so there's an incremental cost being allocated of
7 235 million per year as a result of this conservative
8 assessment?

9 MR. ROSE: I don't believe that's incremental. I
10 think that is the amount that is assigned to Darlington,
11 but I should take an undertaking to verify that portion.

12 MS. DUFF: I'm concerned -- or -- that my point that I
13 was trying to understand was what is being assigned to
14 Darlington and the nuclear fleet that operates versus this
15 particular project, because this project doesn't have
16 any --

17 MR. ROSE: Just let me be clear about this, because it
18 is the LUEC -- again, this business case looks at the 30-
19 year life of Darlington after refurbishment. So it's
20 assigning dollars on an annual basis for the operations of
21 Darlington.

22 So the LUEC is made up of two components: The cost of
23 refurbishment itself, which is about a third of the costs,
24 and then the costs of operation maintenance for the next 30
25 years.

26 So this is the part of that analysis of the costs of
27 operating the -- of maintaining the operations of the plant
28 for the additional 30 years. It includes direct costs of

1 operations of the plant, as well as the amounts from the
2 corporation that are allocated to the plant.

3 MR. REINER: Let me try to add to that as well. So
4 this doesn't increase the project cost at all. I think
5 what this tries to identify is that with only a Darlington
6 station operating and a reduced amount of megawatts being
7 produced by OPG, costs associated with pension and post-
8 employment benefits, for example, for the people that have
9 already retired are now going to be borne by a smaller
10 number of megawatts, and Darlington's share of that will
11 increase in its operating life post-refurbishment. And
12 that's where that increased cost that Mr. Rose has talked
13 about is shown. It's captured in the LUEC in that post-
14 refurbishment time period.

15 MS. DUFF: And just to be clear, I was surprised the
16 235 -- 235 million was that low.

17 MR. ROSE: I'm just reading this, getting --
18 refreshing myself. I believe this is the incremental
19 amount. It does say in the previous paragraph "the
20 incremental view of Darlington's cost", in consideration of
21 the fact that we have a smaller nuclear fleet.

22 So this has been added to ensure that we don't
23 undermine that point, that there is some conservatism in
24 this. You know, I think the challenges in putting together
25 this business case without business transformation
26 completely being done, we didn't want to be overly
27 optimistic, so there is some conservatism in those
28 operation costs.

1 MS. DUFF: Yes, I think conservatism is a good thing.

2 MR. ROSE: Yes.

3 MS. DUFF: On page 44 you have a pie chart, figure C4,
4 in which the corporate overhead costs that are the
5 component is 4 percent. That seems quite low to me. Is
6 that because it's directly related to the 235 million per
7 year? In which case, over a \$12.9 billion project, it is
8 4 percent.

9 MR. REINER: This pie chart, there are actually two
10 components to -- that you would consider as support and
11 overhead to get allocated; it's that's station support, as
12 well as corporate overhead.

13 So station support would include those corporate
14 nuclear costs, engineering, all of the nuclear-related
15 functions that now would only be aimed at Darlington
16 because there is no longer a Pickering.

17 The corporate component would be corporate human
18 resources, corporate public relations. It would be
19 Darlington's share of that.

20 The corporate centre in itself, through business
21 transformation, is declining. I think that decline has
22 been captured here, and this would be Darlington's share
23 and there will be a piece of that that gets spread across
24 the OPG fleet.

25 So it's really those two slices that you'd be looking
26 at to see what is the support cost that gets allocated.

27 MS. DUFF: To be fair, the quantification of that
28 235 million, that's not a number that you're deriving, or

1 your team in coming up with the financial analysis of this
2 project?

3 MR. ROSE: That is fair. My -- when we prepared this
4 business case, my focus, my team's focus is on the cost of
5 the refurbishment project itself. We rely on the corporate
6 investment group, the inputs from our business plan, and
7 additional analysis to provide inputs into the other parts
8 of the LUEC.

9 And as this chart on figure C4 represents, a third,
10 37 percent of the total LUEC, is representative of the
11 refurbishment cost. That's what we are managing.

12 The other two-thirds of this pie are the ongoing
13 operations costs that are used for the purposes of setting
14 this LUEC.

15 Obviously, as business transformation and other
16 initiatives, and ongoing business planning and as the
17 organization reinvents itself -- if that is the right term
18 to use -- the actual costs of this will continue to get
19 moved, to move around, and we will see the impact of that
20 on our LUEC.

21 MS. DUFF: Thank you. That's very clear. I don't
22 think I need an undertaking for additional information.

23 I have a few questions regarding the commercial and
24 contracting strategies. We've had a lot of discussion over
25 the last few days, but with the board of directors
26 approving the business case, in D2-2, tab 2, 1, attachment
27 5, have they implicitly approved your commercial and
28 contracting strategies, in your opinion, from a

1 management's perspective?

2 MR. REINER: Not necessarily. Let me just make sure
3 I'm clear here. The approval of the business case wouldn't
4 necessarily have resulted in approval of the commercial and
5 contracting strategy, because we do -- we do, as part of
6 the process of executing the contracting strategy,
7 separately report to the board, and have done as we
8 progress through the re-tube and feeder replacement
9 project, for example, when we initiated that procurement.

10 The strategy as it's documented in the evidence was
11 actually presented to the board. Approval was granted. We
12 proceeded the negotiations on that basis, and the result
13 was a contract. That contract was brought forward to the
14 board of directors and approval to execute the contract was
15 granted.

16 So there are separate approvals that align with the
17 procurement process.

18 MS. DUFF: Thank you for that explanation. So it has
19 been approved, but not as a byproduct of the business case
20 summary?

21 MR. REINER: Right.

22 MS. DUFF: And the Minister of Energy, who in the Long
23 Term Energy Plan asked you, as one of the principals, to
24 look at contracting strategies, do you feel that you have
25 received their approval regarding the course that you're
26 taking?

27 MR. REINER: Yeah. We provide regular updates to the
28 Ministry. And we present each time, as we progress through

1 the contracting process, for example -- prior to making any
2 commitments, updates were provided to the Ministry so they
3 had an opportunity to do their own assessment and determine
4 whether or not they're comfortable with OPG proceeding.

5 And we do regular business plan updates, and
6 separately, just updates on the refurbishment project.

7 And they do also have their independent oversight
8 embedded in the project, that provides reports back.

9 MS. DUFF: And in October 2015 when you do have your
10 release-quality estimate, will you be seeking reaffirmation
11 of your contracting strategies because you'll just be that
12 further along in the process? And you'll have a number of
13 contracts established that you don't have today?

14 MR. REINER: Yes. And at that point, actually, that
15 does become a fairly critical point for us, because we
16 would then be transitioning into the execution phase. And
17 so we would definitely be seeking concurrence from our
18 shareholder to proceed.

19 And that would be, you know, an off-ramp opportunity,
20 if that release-quality estimate said something that
21 significantly alters the economics of this project.

22 MS. DUFF: I'm just going to propose to you: Wouldn't
23 that be a better time to ask for this Board, the Ontario
24 Energy Board's approval, or deeming that your commercial
25 and contracting strategies are reasonable, when that
26 release-quality estimate is available?

27 What's the advantage to doing it now, in this
28 proceeding?

1 MR. REINER: You know, I think the advantage of doing
2 it now -- if there was a concern we would want to know what
3 that concern is, and we would look to see how we would
4 respond to that concern before we got to the release-
5 quality estimate.

6 If there was a concern and we're already at the
7 release-quality estimate, and we've already secured all of
8 the contracts and we've executed the commercial strategy,
9 we're already at a point where, you know, things are
10 essentially cast in stone -- well, they're not cast in
11 stone. I mean, there's flexibility in the contracts; there
12 are off-ramps. But we would not -- we would not make a
13 significant alteration to our approach.

14 MS. DUFF: There are a few options here. The issue is
15 on the issues List. This Panel could find that the
16 contracting strategies are reasonable, in which case I
17 don't think you'd alter the course of actions that you're
18 handling today.

19 MR. REINER: That's correct.

20 MS. DUFF: If this Panel were to find they are not
21 reasonable, perhaps you would then defer into the situation
22 you've just described?

23 MR. REINER: We would want to understand why that
24 decision of not reasonable was being made, and we would
25 assess that and then assess what the impacts are on the
26 work that we've done.

27 And if there was no decision, we would proceed at
28 risk, so to speak.

1 MS. DUFF: Thank you. I have -- changing the topic
2 slightly, the Modus reports that have -- was filed as part
3 of the July 2nd update, were you a part of the decision to
4 not file those reports that were available when the
5 prefiled evidence was filed in September 2013?

6 I was just wondering, why were they filed in July of
7 this year?

8 MR. REINER: So the primary driver for filing them in
9 July in the update was that the Modus 4 report identified
10 some potential issues associated with the contracting
11 approach that was being utilized on the campus plan
12 projects.

13 And the model, the contracting model is similar, as we
14 had discussed, as is being used on the refurbishment
15 project. So it's information that we felt, given what we
16 were asking for here in regards to a finding of
17 reasonableness on the commercial strategy, that that was
18 information that needed to be presented.

19 Back in September, the reports that we had, those were
20 reflected in our evidence, the information that was in
21 those reports. There are thousands and thousands of pages
22 of documents that we have for this project, and when we
23 write the evidence and look at the supporting
24 documentation, that's where the decisions get made on what
25 gets filed, what doesn't get filed.

26 But to us, there wasn't anything in those Modus
27 reports that wasn't already reflected in the case that we
28 were presenting.

1 MS. DUFF: The cost -- I mean, the services that you
2 are receiving from Modus and the reports that are tangible
3 evidence, the costs for those, are they in any way being
4 reflected in the cost of service application for recovery
5 in this proceeding?

6 I mean, is there a portion of them that's been
7 capitalized and therefore reflected in the rate base
8 additions for 2014-15?

9 MR. ROSE: Well, we have not -- we have not,
10 obviously, asked for any change to our revenue requirement,
11 but the in-service amounts related to the assets have
12 changed, you know, as document in the Modus report.

13 So for example, the auxiliary heating system is one of
14 the projects that Modus reports on.

15 MS. DUFF: I should clarify. I was talking about the
16 cost for the consultant itself and the services that are
17 providing --

18 MR. ROSE: Well, my --

19 MS. DUFF: -- what is the accounting treatment that
20 you're affording that?

21 MR. ROSE: My apologies.

22 [Laughter]

23 The costs of Modus are project costs that are not
24 going in-service. They're not attributable to these assets
25 that are going in-service. They're a cost related to the
26 overall project as a whole and would carry with our project
27 costs and in essence go in-service with the project at
28 Unit 2 in 2019.

1 MS. DUFF: Thank you. And my final question is
2 actually to Mr. Gould. In one of your reports you were
3 referring to the culture change that was required, OPG and
4 its management. So they've never executed contracting
5 strategies like this before. This is the first time that
6 we've used this format, this -- with these guiding
7 principles.

8 In your opinion, in your experience, how has OPG
9 responded to your comments, and are they equipped to really
10 address your concerns that you originally stated?

11 MR. GOULD: So first let me start with the concern and
12 then move on to the two things you asked. So we raised the
13 concern in our initial report in August. We identified
14 that from our knowledge of OPG's past projects in
15 comparison that many of those were much more centre-led by
16 OPG than this, that the EPC approach was a bit of a -- was
17 a departure, particularly in the areas of engineering and
18 procurement.

19 And so we highlighted that, and we have subsequent --
20 and we also identified in that August report and subsequent
21 reports to that that to carry out the management plan --
22 the contracting management plan that they have, they will
23 need a strong team. They will need a strong execution
24 team.

25 So what we have seen over the past year since
26 providing those comments is an increased focus on both the
27 team itself and the qualities within the team, as well as
28 the processes, procedures, and readiness for that team to

1 perform on the refurbishment side, and we have seen that
2 the -- as the contracting strategy is maturing, we're also
3 seeing that the team is maturing with it, with a better
4 understanding of the work that has to be done.

5 The areas where we see that they need to strengthen
6 their approach are in -- we have seen this in the retube
7 and feeder replacement project, quite notably in that
8 project, where you have a very strong team, and that team
9 is doing excellent vetting of the contractor's planning.

10 What we have recommended is that the other projects
11 that are a little bit farther behind, that are coming
12 behind that project in maturity, that they replicate many
13 of the efforts that are being used on that project, so that
14 we see the same the quality of vetting, the same quality of
15 development, that we're seeing in that project.

16 MS. DUFF: So as each project is maturing there are
17 lessons learned within the overall scope of all the
18 activities, and that culture change -- I'm just trying to
19 paraphrase what you were saying -- that culture change is
20 evolving, and you can see tangible evidence of that.

21 MR. GOULD: Yes, I think that's a very fair way of
22 saying that.

23 MS. DUFF: Now, regarding my Panel Member Ms. Long
24 question regarding succession planning with a project that
25 extends to 2024, assuming nobody is working on the project
26 that's over 50, in your experience -- and this is -- I did
27 want to talk to you about your experience that you have
28 with other projects with such a long time frame -- what are

1 some of the recommendations that you have for OPG regarding
2 that? And...

3 MR. GOULD: We have made some, and we have looked at
4 pieces of their succession planning and the way that the
5 team is coming together. Obviously, most of our focus has
6 been on Unit 2. But we have made some recommendations
7 around increasing the flexibility of some of their hiring
8 policies, ensuring that there are -- there is some
9 flexibility for bringing in external contractors.

10 Typically in projects of this type there are very few
11 people, very few people in -- really in the world community
12 that have extreme knowledge of and capability in this. I
13 think that OPG is fortunate to have a number of those that
14 have very specific knowledge of this particular project
15 already in -- on their team. Mr. Reiner referred to some
16 of those team members earlier.

17 There needs to be some flexibility, in our view, to
18 adapt to what is normally used on a project. Projects are
19 different, essentially different, from core business
20 functions, and the way that utilities typically deal with
21 major capital projects, large capital projects, from a
22 hiring perspective is also different.

23 You may not want to take on the long-term pension
24 liabilities and other things that go with long-term
25 employees for -- in a project setting, as an example.

26 So we have, and we will continue to highlight, the
27 need for both the team to grow, gel, and expand and have
28 that succession over time.

1 MS. DUFF: Thank you. Those are my questions.

2 MS. HARE: Thank you.

3 Mr. Keizer, do you have redirect?

4 MR. KEIZER: No, Madam Chair, I have no redirect.

5 MS. HARE: Thank you. Thank you very much, witnesses,
6 for your testimony. Thank you, OPG. This now concludes
7 our oral phase of the hearing. We would like in particular
8 to thank the OPG staff that put up the exhibits for us on
9 the screen. That is particularly helpful. And so we
10 appreciate that very much. And thank you to the court
11 reporters, who as always have done an excellent job.

12 So that concludes our hearing. Thank you.

13 --- Whereupon the hearing concluded at 3:31 p.m.

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28