



ONTARIO ENERGY BOARD

FILE NO.: EB-2017-0049

Hydro One Networks Inc.

VOLUME: Volume 7

DATE: June 21, 2018

BEFORE:	Ken Quesnelle	Presiding Member and Vice-Chair
	Lynne Anderson	Member
	Emad Elsayed	Member

EB-2017-0049

THE ONTARIO ENERGY BOARD

Hydro One Networks Inc.

**Application for electricity distribution rates
beginning January 1, 2018 until December 31, 2022**

Hearing held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Thursday, June 21, 2018,
commencing at 9:32 a.m.

VOLUME 7

BEFORE:

KEN QUESNELLE	Presiding Member and Vice-Chair
LYNNE ANDERSON	Member
EMAD ELSAYED	Member

A P P E A R A N C E S

JAMES SIDLOFSKY	Board Counsel
MARTIN DAVIES KEITH RITCHIE	Board Staff
GORDON NETTLETON GEORGE VEGH SAM ROGERS	Hydro One Networks Inc. (HONI)
LISA (ELISABETH) DeMARCO JONATHAN MCGILLIVRAY	Anwaatin Inc., Energy Storage Canada (ESC)
SHELLEY GRICE	Association of Major Power Consumers in Ontario (AMPCO)
MICHAEL BUONAGURO	Balsam Lake Coalition (BLC) Arbourbrook Estates
TOM BRETT	Building Owners and Managers Association, Toronto (BOMA)
EMMA BLANCHARD ERIN DURANT SCOTT POLLOCK	Canadian Manufacturers & Exporters (CME)
JULIE GIRVAN	Consumers' Council of Canada (CCC)
BRADY YAUCH TOM LADANYI	Energy Probe Research Foundation
ROBERT WOON	Ontario Sustainable Energy Association (OSEA)
RICHARD STEPHENSON BODHAN DUMKA	Society of United Professionals
MICHAEL McLEOD	Quinte Manufacturers' Association (QMA)
JAY SHEPHERD MARK RUBENSTEIN	School Energy Coalition (SEC)
RICHARD STEPHENSON	Power Workers' Union (PWU)

A P P E A R A N C E S

BOHDAN DUMKA	Society of United Professionals (SUP)
--------------	--

MARK GARNER BEN SEGEL-BROWN	Vulnerable Energy Consumers' Coalition (VECC)
--------------------------------	--

ALSO PRESENT:

JODY McEACHERN STEVEN VETSIIS	Hydro One Networks Inc.
----------------------------------	-------------------------

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:32 a.m.	1
Procedural Matters	1
HYDRO ONE NETWORKS INC. - PANEL 5: ASSET MANAGEMENT PLANNING & WORK EXECUTION, resumed D. Bradley, B. Jesus, L. Garzouzi, B. Bowness; Previously Affirmed	2
Cross-Examination by Mr. Rubenstei (Cont'd)	2
--- Recess taken at 11:19 a.m.	72
--- On resuming at 11:38 a.m.	72
Cross-Examination by Ms. DeMarco	72
--- Lunch recess taken at 12:20 p.m.	94
--- On resuming at 1:24 p.m.	94
Cross-Examination by Mr. Rubenstein (Cont'd)	94
Cross-Examination by Mr. Stephenson	140
--- Recess taken at 3:04 p.m.	152
--- On resuming at 3:24 p.m.	152
Questions by the Board	182
Cross-Examination by Mr. Pollock	186
--- Whereupon the hearing adjourned at 4:41 p.m.	197

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT NO. K7.1: ANWAATIN CROSS-EXAMINATION COMPENDIUM FOR HONI PANEL 52	76
EXHIBIT NO. K7.2: PWU CROSS-EXAMINATION BOOKLET FOR HONI PANEL 5 COMPRISED OF EXCERPTS OF PRIOR CASES AND SPREADSHEET.	168
EXHIBIT NO. J7.3: CME CROSS-EXAMINATION COMPENDIUM FOR HONI PANEL 5	186

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. J7.1: TO PROVIDE THE DOCUMENT PREPARED FOR THE BOARD OF DIRECTORS.	17
UNDERTAKING NO. J7.2: TO UPDATE THE RESPONSE TO INCLUDE THE TRANSFORMER AT THE DISTRIBUTION STATION.	90
UNDERTAKING NO. J7.3: TO PROVIDE THE AGE PROFILE OF THE POLES THAT HAVE FAILED TESTS.	156
UNDERTAKING NO. J7.4: TO PRODUCE THE HAZARD CURVE.	165
UNDERTAKING NO. J7.5: TO PROVIDE A RESPONSE TO DR. ELSAYED'S QUESTION: SIMILARLY TO OTHER ASSETS THAT YOU'VE SAID YOU RUN TO FAILURE, IF HONI WERE RUNNING POLES TO FAILURE, IF HONI WERE WAITING UNTIL THE POLES FAIL, HOW MANY WOULD HONI REPLACE EVERY YEAR	185
UNDERTAKING NO. J7.6: WITH REFERENCE TO B1-1-1, DSP SECTION 2.3, PAGE 38, TO EXPLAIN BETWEEN THE ORANGE AND THE RED, WHETHER THERE IS A COHORT AS HIGH AS 40,000.	192
UNDERTAKING NO. J7.7: TO EXPLAIN THE DIFFERENCE IN THE NUMBER OF POLES CALCULATED TO BE AT END OF LIFE IN THE TWO DOCUMENTS	194

1 Thursday, June 21, 2018

2 --- On commencing at 9:32 a.m.

3 MR. QUESNELLE: Mr. Nettleton.

4 **PROCEDURAL MATTERS:**

5 MR. NETTLETON: Good morning, Panel. We have one
6 preliminary matter that concerns a transcript correction
7 that Mr. Jesus would like to make. If we could do that now
8 it would probably be the easiest.

9 MR. QUESNELLE: Okay. That's Volume 6?

10 MR. NETTLETON: Volume 6.

11 Mr. Jesus, if you could turn to pages 186 to 187, I
12 believe you have a correction that you'd like to make
13 there.

14 MR. JESUS: Yes, I do.

15 MR. NETTLETON: Go ahead, sir.

16 MR. JESUS: So on that -- when I was characterizing
17 the level of investment for the wood poles I misspoke and I
18 indicated that it was at asset optimal, which indicates
19 increasing pole condition, where, in fact, the pole -- the
20 level of investment for poles is at intermediate level,
21 which means maintained, so it should be corrected as
22 intermediate, not asset optimal.

23 MR. QUESNELLE: Okay. Maybe you could bring us to the
24 line. I'm not seeing it -- oh, here it is. Okay.

25 MR. NETTLETON: I believe it starts at lines 27, page
26 86, and it goes over to line 6.

27 MR. QUESNELLE: Yeah, I've got it. Line 26, actually.
28 Asset optimal. Yes. Yes. Thank you.

1 Okay. If that's all, Mr. Nettleton, Mr. Rubenstein, I
2 presume.

3 **HYDRO ONE NETWORKS INC. - PANEL 5: ASSET MANAGEMENT**
4 **PLANNING & WORK EXECUTION, RESUMED**

5 **Darlene Bradley,**

6 **Bruno Jesus,**

7 **Lyla Garzouzi,**

8 **Brad Bowness; Previously Affirmed**

9 **CROSS-EXAMINATION BY MR. RUBENSTEIN: (CONT'D)**

10 MR. RUBENSTEIN: Good morning, panel. I am wondering
11 if we could just quickly start with the response to JT --
12 sorry, J2.4. This was the Boston Consulting material, and
13 I just want to understand something about what the scope
14 was, and I understand from the undertaking it really
15 consists of two documents. It's the updated undertaking
16 response. One is a detailed presentation on your
17 vegetation management program, and it appears Boston
18 Consulting did some detailed analysis on it, and the second
19 is, I'll characterize it as a high-level presentation to
20 the board of directors on the company as a whole.

21 Is that your understanding of the material as well?

22 MR. BOWNESS: Yes, that's correct.

23 MR. RUBENSTEIN: And is anyone on this panel aware if
24 Boston Consulting did other detailed analysis of any aspect
25 of the company like they did for vegetation management?

26 MR. BOWNESS: So as a part of our engagement with
27 Boston Consulting Group in late 2015 and early 2016,
28 management had engaged with them to do an overall

1 assessment and support us in reviewing our company from a
2 cost-effectiveness and efficiency perspective to look for
3 productivity gains that could be incorporated in our
4 business going forward, so as a part of that, Hydro One had
5 identified a number of senior leaders within the company to
6 lead work streams, and the culmination of that was this
7 summary report -- or summary presentation that was made to
8 our board of directors in May of 2016.

9 MR. RUBENSTEIN: Yeah, so are there similar detailed
10 analysis like is provided with respect to vegetation
11 management for other aspects of the business? Or a subset,
12 let me say, that touch on the distribution side of the
13 business?

14 MR. BOWNESS: So each of our work streams work through
15 a series of materials and content in order to assess our
16 areas of the business. I was the work stream lead for our
17 capital efficiency work stream under our transmission side
18 of our business, and I had a support team from Boston
19 Consulting that was supporting me in developing an approach
20 as to how we could drive improvements to the capital
21 efficiency work stream. So, yes, there were transactional
22 documents and working documents that we had as a part of
23 our team that culminated in a work stream that I led that
24 was presented up to our board of directors on our path
25 forward on capital efficiency. And similar to that, other
26 team leads, Hydro One leads within the company led similar
27 efforts, with support from the Boston Consulting Group.

28 MR. RUBENSTEIN: Is there a similar document such as

1 what the detailed analysis has done for vegetation
2 management for something like distribution planning or
3 asset -- distribution asset management?

4 MR. BOWNESS: So maybe we could bring up the
5 undertaking, which is J2.4. And if we could maybe move
6 towards -- just get the right reference here. Just one
7 second.

8 So if we could bring up page 32. So if you see within
9 this document, these are the eight work streams that were
10 summarized within the presentation that had Hydro One
11 leads, leading efforts across our regulatory streams, our
12 asset management streams, capital delivery, as I spoke to,
13 is a stream I led. Customer service procurement, ONA,
14 efficiency, SG&A effectiveness, and labour and outsourcing,
15 so there were working documents that we had within each one
16 of these streams to be able to support the development of
17 the initiatives that are highlighted on the right side of
18 this, so if you look at -- I'm most familiar with capital
19 delivery, because that's the one that I did lead, and you
20 will see that the initiatives that we had that came out of
21 this were around project controls, how we were going to
22 deal with our EPC vendors, our stage D processes, and
23 development of improved KPIs to manage our business, so...

24 MR. RUBENSTEIN: And those are similar to the
25 presentation which was provided in attachment 1 to the
26 undertaking, the detailed look at vegetation management?
27 Is that...

28 MR. BOWNESS: I would characterize that we had a

1 number of working documents within each one of these
2 streams that would be of a similar makeup to the vegetation
3 management work. The way we went about the assessment is
4 we worked together with our members from the Boston
5 Consulting Group on identifying hypotheses and areas of
6 opportunity. We then assessed those areas as to where we
7 thought there could be improvement and developed strategies
8 and initiatives in order to achieve those efficiency gains
9 that culminated in this summary-level presentation to our
10 board of directors on our path forward as an enterprise.

11 MR. RUBENSTEIN: Can you undertake to file those
12 presentations that deal with the distribution side of the
13 business?

14 MR. NETTLETON: No, that's not the undertaking that
15 was made, Mr. Rubenstein.

16 MR. QUESNELLE: No, he's asking now.

17 MR. RUBENSTEIN: I'm asking you to undertake to file
18 it.

19 MR. NETTLETON: And I'm objecting to that undertaking,
20 Mr. Chairman.

21 MR. QUESNELLE: On what grounds?

22 MR. NETTLETON: This presentation, sir, was and is
23 entitled as a strategic plan that was provided to Hydro
24 One's board of directors. It was provided, as Mr. Bowness
25 has just indicated, as a culmination of work that was done
26 with the assistance of Boston Consulting Group, who
27 assisted management following the transaction of going
28 public, and to find ways of improving the business that

1 Hydro One's operations entail.

2 The question is how these working documents, and what
3 line we draw with respect to the working documents that
4 Hydro One is on a day-to-day basis engaging in with respect
5 to the formulation of whatever plans, whether they be
6 strategic or whether they be day-to-day operational plans
7 and how much information of that nature is relevant to a
8 proceeding such as this.

9 This proceeding is about the application that Hydro
10 One has put forward. It is not about testing the day-to-
11 day affairs, the amount of work, and the interactions that
12 Hydro One has had with its consultants, with its third
13 parties, and the like.

14 If Hydro One's management were to go off to a
15 conference, put on by a firm on work improvement, work
16 efficiencies, and there was a PowerPoint presentation
17 provided in that form, in that conference, it would be
18 loath to think that that type of information is now the
19 subject matter of disclosure and relevance to a proceeding
20 such as this.

21 This is about testing the evidence that Hydro One is
22 relying on for purposes of the relief that it is seeking.

23 It's -- this presentation was given in May 2016. It's
24 not even in respect of the time period that this
25 application is now seeking, namely 2018 to 2022.

26 And there is a more fundamental issue here, Mr.
27 Chairman, and it does require your careful consideration.
28 We have, throughout this application, been requested -- or

1 requests have been made for draft documents, working papers
2 and the like. And we have consistently said no to those
3 requests of the working papers, of the drafts of the
4 applications, of all of the things that went into building
5 this application.

6 If the Board is focused on outcomes, if that is the
7 new direction that this Board is taking with respect to
8 focusing on outcomes, then the outcomes that's most
9 important are management's decisions that management has
10 taken with respect to the requests and the evidence that
11 management is relying on for purposes of the five years of
12 rate relief that it is seeking in this application.

13 MR. QUESNELLE: Mr. Rubenstein?

14 MR. RUBENSTEIN: I'm not seeking every draft, every
15 communication and every piece of paper between the
16 consultants and Hydro One.

17 I'm seeking -- my friends have provided an example of
18 a document that I assume sits underneath what was provided
19 to the Board, which was a detailed look -- I assume a
20 finalized detailed look of the vegetation management
21 program. That's the type of document I'm seeking, and
22 it -- I think it actually goes to test the evidence,
23 exactly that purpose.

24 This Hydro One work with Boston Consulting to do a
25 deep dive into many aspects of their business, this is the
26 first distribution case since this work was done, so I
27 still think it's timely. In fact, you can see this on the
28 screen itself, where it talks about program execution. For

1 asset management, for example, it's talking about the
2 distribution filing.

3 I think that sort of work is incredibly important to
4 understanding what they found, and then testing what ended
5 up being the results of this plan.

6 MR. QUESNELLE: Mr. Nettleton, I think Mr. Rubenstein
7 tried to get at this three or four different ways to ensure
8 that the types -- wanting to know whether or not there was
9 in existence a type of document that was akin to the one on
10 vegetation management. I think he was very careful to
11 ensure that he wasn't looking for the drafts or working
12 papers. Were they -- on these streams, was there a product
13 at the end of those streams that underpins this
14 presentation.

15 I think to suggest that it's okay to have the
16 vegetation management when there are other reports that are
17 for the same purpose in other areas, but they're off limits
18 because they are too granular. I think Mr. Rubenstein
19 developed an understanding that he's not looking for that;
20 he is looking for the same type of report as a vegetation
21 management.

22 MR. NETTLETON: Mr. Chairman, to give you an example,
23 where on this slide do you see the term "vegetation
24 management"? It's not one of the streams that are listed.

25 If you recall, the whole reason why this vegetation
26 management report came onto the record in this proceeding
27 was because it was referenced in the Clear Path, a third-
28 party expert whose evidence Hydro One is relying on. And

1 the request that was made was to produce that working paper
2 document that the expert used in formulating his evidence
3 that Hydro One is now relying on.

4 I think the concern now is: Where do we draw the
5 line? And as Mr. Bowness has indicated, the way in which
6 the Boston Consulting Group arrangement took place was not
7 like a third-party report, or third-party expert engagement
8 where Boston Consulting Group was asked to prepare a final
9 report. That's not what happened.

10 My friend is -- I'm happy to have my friend talk to
11 Mr. Bowness about what the arrangement was. But it's not
12 the same thing as Hydro One going out and asking for
13 Navigant to prepare a benchmarking study and produce a
14 final report.

15 MR. QUESNELLE: I took Mr. Bowness' evidence, just in
16 response to Mr. Rubenstein, that there were reports on
17 these streams akin to the vegetation.

18 I recognize the origin of the vegetation is for a
19 different matter, but the comparison was to a report like
20 that.

21 And if there are -- we're not interested in seeing
22 memos back and forth and the minutes of meetings with
23 Boston Consulting. But if there are reports, I think that
24 Mr. Rubenstein has made the case that that goes exactly --
25 you know -- the last decision, the last case, this is
26 exactly the type of thing that the Board said was lacking.
27 Therefore we didn't provide the five-year; we provided a
28 three-year and said come back with proof of productivity

1 improvements.

2 So I think this is right on point to the type of thing
3 that the Board is interested in, and Mr. Rubenstein wants
4 to go through.

5 I mean, he was very careful to make sure that there
6 wasn't going to be an onslaught of data that we would then
7 have to draw conclusions as to what it meant.

8 If there are final reports that underpin these work
9 streams that are of the nature of informing this
10 presentation, then I think that -- that are akin to the
11 vegetation management, the Board is interested in seeing
12 them.

13 MR. NETTLETON: Sir, I'll do it one last time, I'll
14 make my pitch one last time. But this is not a case of a
15 final report. This is the final report that went to the
16 board of directors, and this is what informed management's
17 decision to ultimately proceed forward with the application
18 that is before you now.

19 And so the question is if there are intermediary or
20 working drafts of memos or similar documents or similar
21 communications, the Boston Consulting Group has said to
22 Hydro One: Have you considered this? Have you considered
23 that? As part of the exercise of looking at asset
24 management.

25 MR. QUESNELLE: I don't think we're interested in
26 that, Mr. Nettleton.

27 MR. NETTLETON: So just to be clear, you are asking
28 for final reports that Boston Consulting...

1 MR. QUESNELLE: The layer below this presentation.
2 There's a summary page here that identifies the streams.
3 Mr. Bowness took them through them, and I understood his
4 answer to be that there would have been reports that
5 summarized in these activities -- and that's what Mr.
6 Rubenstein is asking for.

7 If they don't exist, we're not interested. And we are
8 not interested in the creation of a report.

9 If there is something that underpins these work
10 streams, and I think that's what Mr. Rubenstein was trying
11 to identify, the Board would be interested in seeing them.

12 DR. ELSAYED: Maybe it is a matter of semantics here.
13 Like when you say final report, I'm not sure what you mean.
14 But the question simply is you have eight elements on this
15 table. Were there reports produced in each of those by the
16 consultant that you have?

17 MR. BOWNESS: So the process we embarked on was each
18 of the Hydro One team leads worked with the Boston
19 Consulting Group to develop draft materials and
20 presentations that each one of us could be comfortable with
21 what would enter into the final reports, the last
22 presentation that went to the board of directors.

23 So those detailed working papers, as I would call
24 them, are in the format of a PowerPoint presentation,
25 summarizing those hypotheses and recommendations that we
26 had around driving productivity and efficiency.

27 This overall exercise, at the time we referred to it
28 is a our "good to great program", re coined as "let's get

1 great", and it is really the genesis of our productivity
2 commitments that we've incorporated into this proceeding.

3 If we can pull up -- from a chronology perspective,
4 just to put this in context of timeline, if we could take a
5 moment on that. If we could pull up School Energy
6 Coalition Interrogatory No. 36. Sorry, it's issue --
7 Exhibit I24, tab 24, SEC 36, you will see the line item
8 that is November to December 2015 right there. You'll see
9 the strategic decision.

10 So a discussion with board of directors regarding
11 draft business plan, and a decision was made to undertake a
12 detailed review of our organization with several goals,
13 including a review of potential for additional productivity
14 and efficiencies.

15 That was the triggering point of the engagement that
16 -- we set up these work streams and we engaged with Boston
17 Consulting Group.

18 Coming out of that was this report that was presented
19 to the board of directors. We then brought in additional
20 materials, such as the finding from the auditor general
21 report, the customer consultation work, the asset strategy,
22 the asset plan and ultimately that formulated our plan that
23 has over \$400 million of productivity benefits that are
24 committed in this plan.

25 So this exercise that our senior management asked us
26 to engage with was the genesis of that, and that was the
27 starting point, and it was to accelerate our thinking as
28 business leaders to really challenge ourselves to drive

1 improvement. And ultimately, that culminated in our
2 commitment on our \$40 million in productivity benefits that
3 we spoke to in the proceeding on Tuesday across the number
4 of different streams.

5 So I would characterize this as an input into what has
6 ultimately formulated into this overall submission.

7 DR. ELSAYED: Well, did I understand your answer
8 correctly, that for each one of those you had a PowerPoint
9 presentation?

10 MR. BOWNESS: There would have been different levels
11 of quality of working-draft documents. I know for the work
12 stream that I led we had a PowerPoint summary on capital
13 delivery and we highlighted --

14 DR. ELSAYED: On the findings that --

15 MR. BOWNESS: -- the four improvement streams that
16 flowed into this overall final summary that I was
17 comfortable as a business lead that would be presented by
18 our CEO to the board of directors on our path forward on
19 capital delivery.

20 DR. ELSAYED: Is that what you would be looking for?

21 MR. RUBENSTEIN: Yes. I mean, I know we used the term
22 "final report." I mean, I understand consultants, it's all
23 PowerPoint presentations is their final report, but that's
24 -- if those are those documents, and similar to the
25 vegetation management, I think they are directly relevant
26 to this proceeding.

27 MR. NETTLETON: Sir, I take issue with that suggestion
28 that draft PowerPoint presentations are the same thing as a

1 final report. Like in the vegetation management, that was
2 an intermediary report that was presented that Hydro One
3 looked at and said, This doesn't work. This isn't good.
4 This isn't consistent with good vegetation management
5 practices; we need to go find an expert like Mr. Tankersley
6 to actually provide us with an informed view about how to
7 do vegetation management. That was very much an
8 intermediary of an input into ultimately what has cumulated
9 into a change in vegetation management.

10 What I think Mr. Bowness has just explained is that
11 the materials that Boston Consulting Group helped Hydro One
12 prepare in preparation for this report was all intended as
13 an input, as something that would be reviewed and
14 ultimately for the purposes of this report, so it's all
15 draft, it's all subject to a working document that
16 cumulated into this final presentation that was given to
17 the board of directors, and that's my point, is that,
18 respectfully, this is a strategic plan intended for the
19 board of directors of Hydro One. It was reviewed by the
20 board of directors for Hydro One for multiple purposes,
21 including, as listed here, to inform how it was going to
22 proceed forward with this application, with this
23 distribution rates application, as it was then thought of
24 in May of 2016.

25 My concern is that if we're getting into a case of
26 what all other inputs did you have, that you used to inform
27 yourself to prepare this application, we're changing the
28 focus. We're not focused on what the application is; we're

1 now focused on: Did you do a good job in the effort that
2 you undertook to prepare this application. And
3 respectfully, I think that goes beyond any of the issues
4 that are on the issues list for this proceeding.

5 DR. ELSAYED: Maybe just a couple comments. In terms
6 of the Board interest, I understand there is a strategic
7 plan, but certainly the interest is not only in the
8 ultimate product of a strategic plan. Some of the
9 components that went into the strategic plan are of
10 interest to the Board.

11 Secondly, I didn't take Mr. Bowness' answer to mean
12 that these PowerPoint presentations were draft
13 presentations; is that the case?

14 MR. BOWNESS: So they were all draft working
15 documents. There wasn't a final report that I, as the
16 business lead for capital delivery, produced and signed off
17 and was a formal document that was submitted for approval.

18 The document that was the culmination of what would be
19 the closest to a final report would be this presentation
20 that was made to our board of directors of the culmination
21 of those activities, and the actions coming out of that was
22 the development of each one of our work plans that we were
23 going to work on to drive productivity, as well as the
24 input into this filing that formulated the basis of the
25 evidence.

26 DR. ELSAYED: Who prepared those PowerPoint
27 presentations?

28 MR. BOWNESS: It was a combined effort, so each team

1 had a number -- it had a Hydro One lead, we had a Boston
2 Consulting prime, and then we had a number of team members
3 from Hydro One and a number of team members to augment our
4 team from Boston Consulting to pull that -- the materials
5 together.

6 DR. ELSAYED: And who were the presentations made to?
7 Who were the audience for those presentations?

8 MR. BOWNESS: So we had established a steering
9 committee that was chaired by our chief executive officer,
10 Mr. Mayo Schmidt, as well as our chief financial officer,
11 which was Mr. Michael Vels at the time, and we had steering
12 committee meetings where each one of the work streams would
13 come in and we would discuss our findings up to that point,
14 and then we would take the excerpts from that and feed that
15 into the overall engagement lead team that pulled the board
16 materials together for presentation to the board.

17 DR. ELSAYED: So these presentations on the components
18 were made to your senior executives?

19 MR. BOWNESS: Yes.

20 DR. ELSAYED: Okay.

21 MR. BOWNESS: And we as team leads were also members
22 of that steering committee to share and challenge each
23 other in order to make sure that we were getting a good
24 discussion at the steering committee ultimately to be able
25 to pull together a quality document that could be shared
26 with our board of directors.

27 MR. QUESNELLE: I think that's exactly the type of
28 thing that the Board would be interested in having seen,

1 Mr. Nettleton. That undertaking to...

2 MR. SIDLOFSKY: Yeah. That will be Undertaking J7.1.

3 **UNDERTAKING NO. J7.1: TO PROVIDE THE DOCUMENT**
4 **PREPARED FOR THE BOARD OF DIRECTORS.**

5 MR. RUBENSTEIN: All right, panel. Am I correct that
6 you don't develop business cases for programs, just
7 projects? Do I have that correct?

8 MS. BRADLEY: On a regular basis we don't create the
9 business case for a program. If there is a change in
10 approach or a change in a program or a new program, at that
11 point we do create a business case, and in Exhibit Q we
12 have provided the business case that went to the board of
13 directors for a change in the vegetation management
14 program. That shows an example of when one is required
15 there is a strategic change in direction, and we do have to
16 go to the board of directors for those specifics in those
17 cases.

18 MR. RUBENSTEIN: But for programs like pole
19 replacements you are obviously not doing a business case
20 for each pole, correct?

21 MS. BRADLEY: Correct.

22 MR. RUBENSTEIN: And so projects which are -- well, I
23 would ask you how you would describe the difference. You
24 do do the business cases for those, correct?

25 MS. BRADLEY: The programs are something that are, you
26 know, repeatable, high-volume activities, so for our pole
27 replacement program we've done that for a number of years.
28 In our business plan we do talk about the outcomes we're

1 looking to achieve in that population, but we don't have a
2 specific business case every year; it would be very
3 repetitive and say essentially the same thing. So it is
4 only if there is a strategic change in direction that we
5 would have to update the board with a specific business
6 case.

7 MR. RUBENSTEIN: And as I understand it, this
8 application obviously has program spending forecasts for
9 the five years, but it also has project spending forecasts
10 for the five years. Correct?

11 MS. BRADLEY: Correct.

12 MR. RUBENSTEIN: And my understanding is you don't
13 have business cases for all the projects for the five-year
14 plan, correct?

15 MS. BRADLEY: Not at this point, no. When we are
16 doing a five-year plan we have, you know -- the specificity
17 we have on the projects in the first year or two are a lot
18 more specific, where we have specific estimates and scopes
19 of work and we know what the investment needs are and have
20 come up with sort of planner estimates for, say, year five,
21 and as we get closer to that date and we need to start
22 executing we would then take it to -- through the approval
23 process.

24 MR. RUBENSTEIN: And I assume part of the business
25 case that you end up creating for a project is essentially,
26 at a high level, the cost/benefit of doing the activity,
27 correct?

28 MS. BRADLEY: Yes, it goes through what the need is

1 and how we're going to solve the need and what the cost
2 will be.

3 MR. RUBENSTEIN: And so in this application we have
4 projects that you are seeking that make up the capital
5 funding you're seeking approval for where you've not done
6 that cost/benefit, correct?

7 MS. BRADLEY: We've done, you know, at the high level
8 of what's the investment need and what we believe the
9 solution will be, but we haven't, you know, gone to site
10 and done the detailed, sort of class A estimate.

11 There could be cases where you look at alternatives
12 and decide to do something slightly different than what you
13 thought today, five years from now. It's part of the
14 change that we expect over the course of our five-year
15 plan, that we are going to get more granular detail over
16 that five years.

17 MR. RUBENSTEIN: So how can the Board have comfort in
18 the five years with respect to projects if you haven't done
19 the business cases for most of those work?

20 MS. BRADLEY: I mean, I would suggest to the Board
21 that we've done our needs assessment, so we know the asset
22 condition that needs to be addressed. If you are
23 replacing, say, a transformer at a station, there is a
24 limited number of options to consider, but there are
25 options that we do consider as we get to the specific site
26 and location.

27 The need isn't going to go away in that five years and
28 the projects that form the vast majority of this

1 application are -- consist of work that we are very
2 familiar with, so I don't expect a huge deviation over that
3 five years. But the need is still going to be there.

4 MR. RUBENSTEIN: So at this point, you've done -- it
5 may be a different form, but you've done a high level of
6 cost-benefit?

7 MS. BRADLEY: Correct.

8 MR. RUBENSTEIN: So then what's the point of the
9 business case later on? What added value is that at that
10 point?

11 MS. BRADLEY: By the time we do the business case
12 later in the cycle, we've done an estimate of -- like a
13 more formal estimate. We've done to site to visit and
14 understand more specifics of that location and of the
15 solution.

16 We might look at alternatives as we are there that --
17 you know, a different technology may be available, for
18 example, and we have our approval authority registered
19 where that's the time when we take it to senior management
20 or board of directors who have the authority to release
21 those funds to proceed.

22 MR. BOWNESS: And I think, from an execution
23 perspective, we do see it is a best practices for project
24 work that is not repeatable, to refine the scope and
25 solution and cost as that investment matures, and that
26 point of maturity is the business case.

27 If a simple example, if, from a five-year horizon we
28 say we are going to do five \$5 million projects based on

1 historical trends and what we have. But if we set the
2 budget at 5 million, we don't believe that's a prudent way
3 to manage that work. We need to be doing the detailed
4 business case on that because some of those projects could
5 should be scoped, and planned, and scheduled to deliver to
6 a scope that cost 4 million -- and some of them will be
7 6 million, and some of them will be 4.5, and some will be
8 5.5.

9 But we really want to have that level of refinement on
10 project work so that we can hold our teams accountable to
11 deliver to the scope and solution that's required to meet
12 that investment need.

13 MR. RUBENSTEIN: So the costs for those projects at
14 this point for the five years, or are least the outer years
15 of this plan, are rough estimates?

16 MR. BOWNESS: As you go further out in the future,
17 yes, things are more related to a planner's estimate. The
18 work we're executing now right now in 2018, the start of
19 this period, are in execution. We do have those business
20 cases, we have those projects approved, and my team is
21 executing to those.

22 A portion of 2019's work is also in execution. But we
23 are working over the process over the next six months to
24 develop the rest of 2019's work program, so we can execute
25 to those updated business cases.

26 But it's just the maturing of the -- what I would
27 refer to as sort of the assembly line of a project as it
28 moves from a planner's estimate to a detailed scope, to an

1 engineered solution, to a construction estimate to a
2 business case, and then execute and track any variances and
3 achievements of plans.

4 MS. BRADLEY: I think, Mr. Rubenstein, to go today to
5 prepare a detailed estimate for work that we plan to do in
6 a five year's time, things can change in those five years.
7 You can have a subdivision develop in an area where you've
8 already gone in to do some environmental work or some
9 customer consultation.

10 So we try to do the estimate at a time when the steps
11 you take in preparing that; Mr. Bowness' team get easement
12 rights and things like that. So we want to do those closer
13 to when we're going to start the work instead of doing them
14 five years in advance.

15 MR. RUBENSTEIN: If I could ask you to turn to page 54
16 of the compendium, I want to make sure I understand the
17 timeline that led to the investment plan.

18 MS. BRADLEY: Sorry, could you repeat what page you
19 said?

20 MR. RUBENSTEIN: Page 34, SEC 36, and this is the
21 helpful summary that you provided, thank you, setting down
22 the material events. And for my purposes, I was wondering
23 if we could flip over to page 55 and start at June 2nd,
24 2016.

25 I understand that that was the distribution investment
26 planning process that was initiated for the 2017-'22
27 business plan, correct?

28 MS. BRADLEY: Correct.

1 MR. RUBENSTEIN: And that's the business plan that
2 underlies this application, correct?

3 MS. BRADLEY: That's correct.

4 MR. RUBENSTEIN: So and I -- reading down the table,
5 you are conducting -- you begin to conduct your customer
6 engagement in late June -- early summer 2016 is when you're
7 doing the work, or when IPSOS is doing the work for you or
8 with you, correct?

9 MS. BRADLEY: Correct.

10 MR. RUBENSTEIN: Then we see in late June 2016, IPSOS
11 provides the initial themes that are shared with asset
12 management leadership; do you see that?

13 MS. BRADLEY: Yes, I do.

14 MR. RUBENSTEIN: At that point, what impact is that
15 making on the asset management planning process?

16 MS. BRADLEY: What impact? When the planners start
17 their work in -- I'm trying to see when the tool opened up
18 -- you'll see in June of 2016, it says "planners input
19 candidate investments into the AIP tool". They input the
20 investments, they input the need, and what the need is on
21 the system. And then they also input what the risks are,
22 and we talked about the business risk factors yesterday.

23 So when we got the -- get the results, say, in the
24 initial themes, we would look at do we need to adjust those
25 weightings at all, was there something new revealed through
26 that consultation that would result in a change to those
27 weightings. So for the planners, you know, a customer or
28 reliability risk is the same; you know, if there is a

1 reliability risk, there's a reliability risk.

2 If after that initial theme was identified or after we
3 received our final report, if we had have found a dramatic
4 change, we could have changed the weightings which would
5 change the output of the tool. But generally speaking for
6 the planners, they are putting in the need, they are
7 putting in the proposed solutions and what those risk
8 factors are.

9 So the themes help management in their conversation
10 around overall envelope levels, and if there was something
11 new revealed that would make us change the weightings. But
12 for the planners themselves, it would be -- essentially,
13 each project would be the same.

14 MR. RUBENSTEIN: I thought we understood, I thought
15 the evidence from Tuesday was that the weightings were
16 looked at last in 2015.

17 MS. BRADLEY: No.

18 MR. RUBENSTEIN: I'll just give you the reference.
19 I'm looking at Energy Probe 36.

20 MS. BRADLEY: If you look here -- just one second.

21 MR. JESUS: Third row, May 27th -- on May 27th, 2016,
22 is when our CEO and CFO reviewed those weightings, in May.

23 MR. RUBENSTEIN: Okay. But that's still before the
24 customer consultation even began.

25 MR. JESUS: That's correct.

26 MR. RUBENSTEIN: When did you -- I don't see anything
27 where you're re-looking at it.

28 MR. JESUS: So there is no follow up to review the

1 weightings with the CEO and CFO. It was dependent on the
2 outcome of the customer engagement process that would have
3 led to whether or not we want to change the weightings.

4 At that time, we would have assessed those weightings
5 and we would have identified whether any changes were
6 required.

7 And as we know, customer was weighted the highest in
8 the group at 20 points, which reflects largely the results
9 of the customer engagement process.

10 MR. RUBENSTEIN: So did you actually consider the
11 customer engagement at this point, I guess when the initial
12 themes were decided and reconsidered changing the weighting
13 and decided that you didn't have to? Did that actually
14 occur?

15 MS. BRADLEY: At the initial stage on May 27th, 2016,
16 we didn't have those results. We have a lot of other
17 mechanisms to know, you know, where our customers are at
18 with respect to their needs and preferences. I believe the
19 customer panel talked about a number of different forums
20 and formats in which we consulted with our customers.

21 So we did have some idea of customer and the rate
22 pressures that customers were feeling at that point in
23 time. When we got the actual results back, I think if you
24 look through the board memos that are submitted in, I
25 believe it's SEC 8 --

26 MR. RUBENSTEIN: No, no, I understand that.

27 MS. BRADLEY: So there is a lot of awareness. So when
28 we were talking about what's the overall envelope, for sure

1 we had those results. If there was a need to change
2 weightings, we would have. But we didn't have a formal
3 line in here where we said we're going to go line by line
4 through and reassess every one of them. That wasn't done
5 after that survey. But we had awareness going in and we
6 used the results when we reviewed that final plan to set
7 the overall envelope and talk about what plan makes sense,
8 given that feedback.

9 MR. RUBENSTEIN: I understand that. But my question
10 was specific to the line in late June 2016, where initial
11 themes through customer engagement were shared with the
12 asset management leadership.

13 My question was at that point, because I read it that
14 the planners are already putting their candidate projects
15 into the system, maybe have completed it by that point.

16 When you got those initial themes --

17 MS. BRADLEY: Yes.

18 MR. RUBENSTEIN: -- what thought process happened and
19 what did you do with that information?

20 MS. BRADLEY: So at this point in the process, if you
21 go down two lines to investment calibration, during
22 investment calibration, that's where a number of
23 organizations -- parts of the organization get together to
24 talk about how have people input the risk and is everyone
25 treating risk the same way. So the initial themes that
26 were identified would be reflected in those conversations
27 and those meetings that were held where we talk about
28 projects that have been weighted and assessed, and that's

1 to make sure that somebody doing an investment on IT or on
2 customer or on the power system are all treating those risk
3 factors the same way and using the information from those
4 initial themes, so it would be used there.

5 We've got also the prioritization and risk
6 optimization of candidate investments, so if we had decided
7 to change a weighting, for example, through that process,
8 from a conversation on the themes, through the calibration,
9 we would have changed before that early to mid-August time
10 frame when the actual prioritization and optimization takes
11 place, so those steps took place after the IPSOS report.

12 MR. RUBENSTEIN: You say "we would have". My question
13 is -- I understand you didn't, but did you -- was it an
14 active thought process at that time when you were actually
15 going through this?

16 MS. BRADLEY: Yes, it is.

17 MR. RUBENSTEIN: It was.

18 MS. BRADLEY: It was.

19 MR. RUBENSTEIN: Okay, and so the final engagement
20 report comes in mid-August 2016, correct? I think August
21 18th is the date?

22 MS. BRADLEY: Correct.

23 MR. RUBENSTEIN: But in early to mid-August you are
24 doing the prioritization and the risk optimization,
25 correct?

26 MS. BRADLEY: Correct.

27 MR. RUBENSTEIN: So this actually comes in after you
28 do that work?

1 MS. BRADLEY: The final report.

2 MR. RUBENSTEIN: Yes.

3 MS. BRADLEY: Yes.

4 MR. RUBENSTEIN: So it has no impact on the
5 prioritization and risk optimization.

6 MS. BRADLEY: I don't agree with that. We had initial
7 themes identified. We had the draft report, so we did have
8 information that was used in that prioritization.

9 MR. JESUS: So just to be clear, the optimization --
10 just to be clear, the optimization was carried out at the
11 end of August.

12 MR. RUBENSTEIN: Well, it says early to mid-August on
13 your --

14 MR. JESUS: It was actually carried out at the end of
15 August, and then we carried out the engagement, so we did
16 have -- there was time in between if planners wanted to go
17 in and input additional details between the time, so we had
18 early themes back in June, late June, if you will, which
19 were being shared with the planners. There were ongoing
20 face-to-face meetings with the planners. There was a risk
21 calibration meeting on July the 12th where the entire
22 enterprise got together and we presented materials that the
23 customer engagement would have been discussed, and then we
24 pushed the button or we did the optimization at the end of
25 August. So up until the end of August there was plenty of
26 time to enter any additional investments that would have
27 come out of the customer consultation.

28 The only other thing I will add is that the plan was

1 still not approved. This is an iterative process. And
2 that the plan was then only approved in December. So from
3 August to December a lot of things are still happening.

4 MR. RUBENSTEIN: So just to be clear, where you said
5 the optimization took place at the end of August, is
6 that -- is it wrong on this table? Because it says early
7 to mid-August.

8 MR. JESUS: Early to mid-August, I stand corrected.

9 MR. RUBENSTEIN: Okay.

10 MR. JESUS: Yes.

11 MR. RUBENSTEIN: But then that goes back to my point:
12 If the customer consultation is August 18th, which is mid
13 or mid/late August, however you want to characterize it, so
14 it seems to me that's after you've done the risk.

15 MR. JESUS: But that was the final report. That was
16 the final report that was leveraged that was delivered.
17 Prior to that we already had the themes that cost was
18 number one, reliability was number two. We --
19 affordability was an issue, power quality was a big theme
20 with the large industrials, and for the CNI customers as
21 well. Those themes were already resounding in the early
22 themes that were presented to us.

23 MR. RUBENSTEIN: All right. So -- and then as I
24 understand the draft investment plan is created in
25 September and it goes to the board in October with the Plan
26 A and B, correct?

27 MS. BRADLEY: That's correct.

28 MR. RUBENSTEIN: And -- well, we understood from the

1 first panel, and I think you referenced this earlier, that
2 management proposed Plan A and the board essentially said
3 no, go back and take a hard look at the cost element. Do I
4 have that correct?

5 MS. BRADLEY: Correct.

6 MR. RUBENSTEIN: So that's a point in time where we
7 see from the presentations there was summaries of what the
8 customer engagement -- the board is looking at that and
9 making an assessment that costs are -- the proposal that
10 management has provided is too costly, correct?

11 MS. BRADLEY: This is the section here when you talk
12 about the final customer engagement report. The iterations
13 back and forth between the CEO and CFO and the board of
14 directors back to the planning team was really about
15 saying, This is the result of our customer engagement
16 session, and we kept working through that prioritization
17 process to come up with a plan that we believed met our
18 requirements, to be responsible stewards of the assets, met
19 our customer needs and preferences, and had an acceptable
20 rate impact.

21 MR. RUBENSTEIN: But your initial recommendation,
22 management submission recommendation to the board didn't
23 agree with, sent it back.

24 MS. BRADLEY: Yes.

25 MR. RUBENSTEIN: I want to go back to June 2016 just
26 to get a better sense of, when we were talking about the
27 planners inputting the investments into the AIP tool.

28 I would assume that the planners had been working on

1 the investments for some time before they could put them in
2 the system, correct?

3 MS. BRADLEY: Yes.

4 MR. RUBENSTEIN: How long? What is the time frame
5 when they're working on the investments that go into that
6 tool? What is the time frame we're looking at?

7 MR. JESUS: So the tool would have opened up -- so the
8 tool would have opened up in June, as identified there, and
9 the tool would have effectively have closed in -- at the
10 end of September, because we were doing -- we were doing
11 engagements with the enterprise, so we had the -- in mid-
12 August we had the final, final report, which there would
13 have been plenty of reports up until that point of time in
14 draft themes, and then we did the engagement with the
15 enterprise, making sure that we can actually execute the
16 work, so changes were still happening inside the tool, or
17 inside the system, and the final investment plan that went
18 up was in October.

19 MR. RUBENSTEIN: That's not my question. My question
20 is, obviously -- I would assume before the tool opens
21 planners had been working on for some time all the various
22 projects and candidates, they'd been looking at them,
23 looking at the data, determining their needs, and my
24 question is: What's the period of time before the tool
25 opens that they're working on this?

26 MS. GARZOUZI: I would say that we work on plans all
27 the time. It is alive all the time. We are constantly
28 assessing areas, we are constantly monitoring the system.

1 We are constantly, you know, verifying reliability,
2 condition, you know, needs for growth and so on and so
3 forth, so I would say it's iterative and it is continuous.
4 There isn't an open and a closed from a planner's
5 perspective. It is something that we constantly do.
6 That's what a planner does, is they oversee an area and
7 they monitor that area.

8 MR. RUBENSTEIN: I recognize that there is no definite
9 day, but I'm just trying to get a sense, are we talking
10 about a year, six months, two years?

11 MS. GARZOUZI: It's continuous.

12 MR. JESUS: Continuous.

13 MS. GARZOUZI: It's really -- if you look at how
14 planners are set up, so depending on the assets and the
15 types, a development planner would be looking at a
16 geographic area, so circuits within an area, and they would
17 be assessing needs from an asset perspective, from a
18 sustainment perspective.

19 We have some planners that are monitoring certain
20 asset classes, transformers, wood poles, rights-of-ways,
21 and that's what they do all the time.

22 MR. RUBENSTEIN: So it would be fair to say, I would
23 imagine then, if you were a planner who is looking at a --
24 transformers, you'd be looking at the transformers and
25 making determinations for whatever investment you end up
26 putting in the system for, obviously more than a week
27 before it opens up, you know, a year and more. You'd be
28 looking at it and assessing what the needs are and so on.

1 MS. BRADLEY: This is -- it's like it is an iterative
2 process. This is work we do in planning, and the annual --
3 every year we do an investment planning process that takes
4 a snapshot in time for that year of what do the next five
5 years look like.

6 MR. RUBENSTEIN: So if we go back, further back to
7 page 54, and we see in December 2015 we get the -- you get
8 the auditor general report, correct?

9 MS. BRADLEY: Correct.

10 MR. RUBENSTEIN: And it's fair to say that the auditor
11 general had critical comments with respect to your asset
12 analytics data?

13 MS. BRADLEY: They raised concerns that they had when
14 they looked at that data, yes.

15 MR. RUBENSTEIN: If we turn to page 57, this is from
16 your evidence. This is an internal audit report that you
17 created. Not you, Hydro One's internal audit team put
18 together, to follow up on the auditor general's report,
19 correct?

20 MS. BRADLEY: Correct.

21 MR. RUBENSTEIN: And it's dated -- final report was
22 issued on March 31st. Do I have that right? With a draft
23 report on November 25, 2016?

24 MS. BRADLEY: Correct.

25 MR. RUBENSTEIN: Why did it take more than four months
26 from the issuance of the draft report until it was
27 finalized?

28 MS. BRADLEY: I'm not sure.

1 MR. RUBENSTEIN: And am I correct that March 31st,
2 2017, was around the time when you filed the application?

3 MS. BRADLEY: Yes.

4 MR. RUBENSTEIN: And if we flip to page 63 of the
5 auditor general's report -- sorry, my apologies.

6 MS. BRADLEY: Page 63 of your compendium?

7 MR. RUBENSTEIN: Page 62 of my compendium. I
8 apologize, the number was wrong.

9 And this is under the heading "AG recommendation 5:
10 Information systems on asset condition including asset
11 analytics"; do you see that?

12 MS. BRADLEY: I do.

13 MR. RUBENSTEIN: Then underneath that in that box, you
14 are summarizing your understanding of the findings,
15 correct?

16 MS. BRADLEY: Correct.

17 MR. RUBENSTEIN: And your you're summarizing the
18 auditor general, and you say -- this is what your
19 interpretation of the report was:

20 "Enhanced its asset analytic system to include
21 information on all key factors that affect asset
22 investment decisions, including those to relate
23 to technological/manufacturer obsolescence, known
24 defects, environmental impacts and health and
25 safety. Review and adjust current weightings
26 assigned to risk factors in asset analytics to
27 more accurately reflect their impact on asset
28 condition and risk failure. Make changes to its

1 asset analytics system and procedures so that
2 updates in its data are complete in a timely
3 manner.

4 "Conduct a comprehensive review of the data
5 quality in asset analytics to update any
6 incomplete or erroneous information on its
7 assets, and to ensure that the information can
8 support its asset replacement decision-making
9 process, and investigate why defects in the
10 reliability of the asset analytics system, such
11 as those found two years earlier by internal
12 audit, have not been corrected by management in a
13 timely manner."

14 Do you see that?

15 MS. BRADLEY: I do.

16 MR. RUBENSTEIN: And by the time this report comes
17 out, you've partially completed that, correct?

18 MS. BRADLEY: Correct.

19 MR. RUBENSTEIN: And the assessment on the controls is
20 it's partially effective, correct?

21 MS. BRADLEY: That's correct. The -- we could go
22 through each of these, but if I look at asset analytics as
23 an example...

24 MR. RUBENSTEIN: We are going to get through some of
25 them, so let me ask my questions and then we can -- I will
26 let you --

27 MS. BRADLEY: I think you asked about the things being
28 partially effective. So I'd like to...

1 MR. RUBENSTEIN: I'm just saying that was a finding.

2 MS. BRADLEY: Sorry?

3 MR. RUBENSTEIN: The finding was partially effective,
4 I'm reading here.

5 MS. BRADLEY: The finding was partially effective
6 because if you look at things like their recommendation on
7 the asset analytics tool, it talks about including other
8 factors such as technological and manufacturer
9 obsolescence, known defects and environmental impacts and
10 health and safety.

11 So those risk factors aren't incorporated into the
12 asset analytics tool. That doesn't mean we don't use those
13 risk factors. So we have all the information; it is not
14 incorporated into the asset analytics tool. So planners
15 get the other risk factors out of the tool that are all put
16 into their algorithms, and then we know if there is
17 obsolete equipment, it is outside of that tool. They know
18 where there's health and safety risks; it's outside of that
19 tool. So that's an example of where partially effective is
20 saying yes, we understand that you factor those factors
21 into your decision-making process, but it is not
22 incorporated into the tool as was suggested by the auditor
23 general.

24 It doesn't mean we're not factoring them in; it
25 doesn't mean they are not a consideration in decision-
26 making. But it didn't address -- the auditor's general's
27 recommendation was incorporate them into the tool. There
28 is a cost process, a number of impacts on that, so that we

1 have to decide when the right time is for that type of
2 investment.

3 MR. RUBENSTEIN: Let's look at -- and I take it that
4 the box on the left side is essentially, at this point,
5 what you have done, correct, and the issues that summarize
6 why you're partially complete and partially effective,
7 correct?

8 MS. BRADLEY: Correct.

9 MR. RUBENSTEIN: And so the second bullet point says:
10 "Recent data remediation efforts were primarily
11 focused on transmission data due to the timing of
12 the transmission rate filing, but did not
13 adequately address distribution data integrity
14 issues. The company's plan to develop long-term
15 sustainable approaches to management of data
16 quality and completeness should, upon completion,
17 help mitigate the risks of continuing data
18 integrity issues."

19 Do you see that?

20 MS. BRADLEY: Can you answer? You've got more...

21 MR. RUBENSTEIN: So at least at the time of this
22 internal audit report at the end of March 2017, you had not
23 done all the work on the distribution data, just the
24 transmission data, correct?

25 MR. JESUS: That's not correct. So let me take you
26 and hopefully it's more helpful than what's shown here.
27 From an asset condition data perspective, we have all the
28 asset condition data. We have all the asset condition data

1 on all of our poles. We have all of the asset condition
2 data on all of our stations.

3 The issue that was being addressed here was really
4 about some of the supporting factors that help determine
5 the priority. That's really what they were focused in on.
6 So from a decision-making process, the data that we need to
7 identify the pole, the bad poles, the bad stations, we've
8 got all that data. It is in AA. Planners are using that
9 data.

10 What -- if the data is not there they can go to the
11 source system. For example, performance is in ORMS; it is
12 coming through in asset analytics. So all the data that we
13 are referring to is really from a -- asset data was
14 complete.

15 What this internal audit was getting at was more
16 around the operational data. So from a distribution
17 management system at the operating centre, that have to
18 make sure that the GIS system, the graphical information
19 system, is integrated with that operation centre. Those
20 systems are not totally aligned and we're still dealing
21 with those issues from an operating point of view, not from
22 a planning point of view.

23 So the discrepancies that we're talking about here are
24 really about operational data, not the condition data.

25 And from a -- the data's there. In terms of how we
26 use that data to make our decisions, Lyla can take you
27 through how we use that data. But all the data is all
28 there.

1 MR. RUBENSTEIN: If we go to AG recommendation 6, do
2 you see that, the next one? Your interpretation of the
3 auditor general, as I read it, is:

4 "Hydro One should ensure that applications to the
5 Ontario Energy Board for rate increases include
6 accurate assessment of the condition of its
7 assets."

8 Do you see that?

9 MR. JESUS: I do.

10 MR. RUBENSTEIN: And then you have substantially
11 completed that by the time this report is completed,
12 correct?

13 MR. JESUS: So we we're referring to in this report,
14 in terms of both transmission and distribution, for
15 distribution there's no issue with data. That's how I
16 would categorize it.

17 From a data and from a condition point of view, the
18 need is in existence. We know that there's 106,000 poor
19 poles on the system. We know that there is 155 poor
20 stations on the system.

21 MR. RUBENSTEIN: So when you're summarizing what you'd
22 done, you say:

23 "Management focused its efforts on remediating
24 data completeness issues and transmission data at
25 the time of the audits."

26 MR. JESUS: Maybe I can take you to address the
27 completeness issue. If I can take you to JT3.1-11, to put
28 this in perspective on how much data we have complete. So

1 JT3.1-11 -- no, that's the wrong one. It is 3.1 -- I think
2 it's 3.01 and then it goes to .011. It is really -- there
3 we go.

4 So if you look at the table below, which talks to --
5 so we have a scoreboard of all of the data that we've got
6 on the distribution side. And you can see from a data
7 availability on our station structures, we have 100 percent
8 complete data. From MUS structures, we have 100 percent
9 complete data on the fleet of MUSs.

10 Circuit breakers, they're 38 percent. Yes, when we
11 get to those circuit breakers, we have about 138 circuit
12 breakers. In the grand scheme of things, it's not a bog
13 deal. We recognize that there is a lot of obsolescence, as
14 Darlene mentioned, that we are dealing outside the system.

15 For lines and station transformers, the data numbers
16 are there. They are close to 90 percent and I would
17 advocate that they are 100 percent.

18 If the data isn't there would suggest that we would
19 perhaps need even more work to be done. But the line --
20 the lines data is also identified at the bottom there that
21 says it's 100 percent. You have to understand that when we
22 collect data on our lines, it is by exception, as what was
23 mentioned by Lyla.

24 So every time a technician goes out to patrol the
25 line, he is collecting data on all of the poles and he is
26 determining whether that pole is in poor condition. And if
27 there is a defect, he would collect that data and log it
28 into the system. It is 100 percent.

1 MS. GARZOUZI: If I may, maybe just to contextualize
2 this. So we talked about asset analytics versus having
3 information to make decisions.

4 From a planners' perspective, we have more data than
5 we've ever had before. These findings, whether they be AG
6 or internal audit, are more about effectiveness of the use
7 of the data and aggregating it into one screen, right, so
8 rather than going to six sources to get the data, are you
9 able to roll it up into one tool to have it at the click of
10 a button for a planner. That is the criticism that you are
11 reading about.

12 If we look at this plan that we have in front of you,
13 largely based on replacing wood poles, and so the condition
14 for wood poles is all in our enterprise system, it's in
15 SAP, and that feeds into asset analytics.

16 In addition, we have our stations, so our transformer
17 replacement or our station replacement, which is all
18 captured into our enterprise system. That's also feeding
19 into asset analytics. So those risk factors are working
20 well. It is the other ones that we will work on from a
21 continuous improvement perspective.

22 MR. RUBENSTEIN: If we can turn to page 65 of the
23 compendium. This is recommendation 11. It's called
24 "quality of data for distribution assets". And I'm reading
25 what Hydro One's takeaway from the auditor general's report
26 was:

27 "Ensure that management decisions on replacing
28 distribution system assets are made using

1 reliable and complete information. Hydro One
2 should take actions needed to ensure its asset
3 analytics system provides timely, reliable,
4 accurate, and complete information on the
5 condition of assets."

6 Do you see that?

7 MS. GARZOUZI: Yes.

8 MR. RUBENSTEIN: And do you see the commentary about
9 why what you've done -- second bullet point says:

10 "Although recent data remediation efforts
11 achieved success in reducing the number of data
12 points that were found to be missing or
13 incomplete, the focus has been on transmission
14 data (to support the more immediate needs of the
15 transmission rate filing). This effort had not
16 yet been addressed for the data quality of
17 distribution data at the time of the follow-up."

18 Do you see that?

19 MS. GARZOUZI: I do. And I think it's important to
20 separate asset strategy, data, and then reliability
21 reporting, so if our asset strategy is to inspect something
22 and test something, that data is largely complete. So
23 let's look at wood poles and transformers as an example, or
24 reclosers, but if we look at, let's say, pole top
25 transformers, right -- and we talked about that
26 yesterday -- we don't maintain pole top transformers, and
27 so we wouldn't have condition assessment data on pole top
28 transformers, because we're not performing maintenance

1 activities on pole top transformers. They are run to
2 failure, and so this comment is about that. It's about
3 getting information on all components of the distribution
4 system. However, on the assets that have a strategy which
5 is to perform testing and maintenance activities, and large
6 capital plans, those are largely complete, and those are
7 being collected and captured accurately.

8 MR. RUBENSTEIN: So do you see on the right-hand
9 column it says -- under A it says -- I think this is what
10 you need to still do -- it says "complete task 42 as
11 committed by management"; do you see that?

12 MS. GARZOUZI: I do see that.

13 MR. RUBENSTEIN: All right. Well, if we -- let's turn
14 to page 69 of the compendium, where it explains what these
15 are. And I read task number 42 to say:

16 "Following the remediation of the TX data
17 planning will enable a project to focus on
18 distribution data. However, due to resource
19 constraints, both of these initiatives are not
20 able to be implement simultaneously within the
21 business."

22 Do you see that?

23 MS. GARZOUZI: I do see that.

24 MR. RUBENSTEIN: So I take it that what's left is, by
25 March, the end of March 2017, you need to work on the
26 distribution data. That's sort of the takeaway I'm getting
27 from this and some of the other areas. You focused on
28 transmission first, and then you're moving to distribution;

1 is that fair?

2 MS. GARZOUZI: Okay, it is fair, but I think it's
3 important to understand what the context of this is. The
4 context here is data that allows you to operate the
5 distribution system. If we contrast the distribution
6 system with the transmission system, the transmission
7 system is largely automated, largely monitored, and almost
8 every component is maintained.

9 On the distribution system it's not that way. It is a
10 radial system. Some components are run to failure, and
11 largely, it is not operated the same way the distribution
12 -- the transmission system is operated.

13 What I mean by that is it's not a smart system, and so
14 the importance and the latency and the updated data is very
15 important if you are operating a smart grid, for example,
16 but in the case where you are maintaining your assets and
17 you're managing it from a condition perspective, that data,
18 again, is up-to-date and captured, so I think we want to
19 distinguish condition-based maintenance to data that helps
20 you operate your system in real-time or near real-time. So
21 this finding is about operating the distribution system.

22 MR. QUESNELLE: Ms. Garzouzi, why would planning
23 enable the project then if it's an operations concern?

24 MS. GARZOUZI: It is an -- operating from a -- we
25 would say that there is a need because our strategy is to
26 make the distribution grid smart, essentially, so we are
27 transitioning from largely a system that is not monitored
28 or controlled to a system that will be monitored and

1 controlled, so our only --

2 MR. QUESNELLE: And that's a planning function --

3 MS. GARZOUZI: Correct. So we're --

4 MR. QUESNELLE: -- as all of the system --

5 MS. GARZOUZI: Exactly, and so our only area right now
6 that is smart is the Owen Sound area. The rest of the
7 province is not, and our strategy now is to update devices
8 with smart devices, and so we are doing that from a station
9 perspective and also from alliance perspective. To support
10 that enablement we need more accurate and real-time data so
11 that it can be controlled, and that aligns with our DMS and
12 our centralized control strategy, long-term.

13 MR. RUBENSTEIN: Could I ask you to turn to page 123
14 of the compendium. This is an internal audit report titled
15 "investment planning follow-up", and it is dated September
16 6th, 2017. Do you see that?

17 MR. JESUS: Yes, I do.

18 MR. RUBENSTEIN: So this would be about six months
19 after the internal audit report on the auditor general,
20 correct?

21 MR. JESUS: Yes, that's correct.

22 MR. RUBENSTEIN: And I understand the purpose of this
23 report was to follow up, I guess, on an earlier report from
24 2015 on investment planning; is that correct?

25 MR. JESUS: That's correct.

26 MR. RUBENSTEIN: And if we flip to page 124, we have a
27 table, where it sets out, I guess, things it found --
28 different items it found in 2015 and the risk level and

1 then what the risk level is at the time of this report; is
2 that correct? Do I see -- am I reading that correctly?

3 MR. JESUS: That is correct.

4 MR. RUBENSTEIN: And so for item 2.3 I see asset
5 analytics data at risk high in 2015; do I have that
6 correct?

7 MR. JESUS: That's correct.

8 MR. RUBENSTEIN: And in 2017, this report, still high?

9 MR. JESUS: And again, it's high because of the
10 reasons that we just explained, so the asset analytics
11 data, yes, we recognize that we want to bring all the data.
12 We want to correct the algorithms from a -- mainly from a
13 transmission point of view, and we have a governance
14 project in place, so it was really mainly geared towards a
15 transmission business from a data perspective.

16 MR. RUBENSTEIN: All right, and if we flip to page 2,
17 on page 125 of -- do you see under "summary of key
18 recommendations"?

19 MR. JESUS: Yes.

20 MR. RUBENSTEIN: Reading "high risk", it says:
21 "Continue to identify and correct issues with
22 asset analytics input data and risk-factor
23 algorithms that will affect the degree to which
24 output results can be used to influence
25 investment decisions."

26 Do you see that?

27 MR. JESUS: I do.

28 MR. RUBENSTEIN: And then if we flip to the next page,

1 where we see the audit opinion, it says:

2 "Management has made significant progress in
3 addressing the control deficiencies that we have
4 identified and documented within the 2015 audit.
5 However, further progress is needed. Based on the
6 specific areas reviewed, we conclude that control
7 improvements are needed to effectively identify,
8 develop, prioritize, and select investment plans
9 in support of Hydro One's six-year business plan
10 and work program."

11 Do you see that?

12 MR. JESUS: I do.

13 MR. RUBENSTEIN: And if we flip to page 130, this is
14 the -- some more detail on issue 1.4 asset analytics. Do
15 you see under "risk"? What internal audit is saying is:

16 "The absence of a well-understood and quality
17 asset information increases the risk of
18 inadequate asset need assessment, which can
19 result in diminishing confidence in the process
20 involving the asset -- the AA tool and the
21 potential for less than optimal investment
22 decisions."

23 Do you see that?

24 MR. JESUS: I do.

25 MR. RUBENSTEIN: So the auditor general finds data
26 issues regarding your asset condition, and it's not
27 remedied when you develop the investment plan. Your
28 internal audit put the risk level at high, and even after

1 you filed the application the internal audit says that it's
2 still high.

3 How can the Board have faith in the investment plan
4 that you are putting out here if the underlying data there
5 is significant problems?

6 MS. BRADLEY: The one thing I would highlight is if
7 you look at the observations, they do talk about the fact
8 that plans are underway to address 78 requirements related
9 to two new risk factors, and then 159 requirements related
10 to enhanced risk factors.

11 It's saying these are the things that the two new risk
12 factors are the risk factors we were saying we do; we just
13 don't do them in that tool. So it's the same aspect that
14 Lyla, Ms. Garzouzi, was mentioning around having data, and
15 having to go to six screens instead of one screen to get
16 that output.

17 This is a continuous journey. We have more data than
18 we've had before. It is optimizing how we get that through
19 a tool.

20 And the other point I would make -- and I actually
21 don't believe this is true. But if there was data missing,
22 what that would mean is we don't have visibility to
23 something in poor condition, which would mean it's not in
24 the plan. So the risk that we would have is that when it
25 talks a less than optimal investment decision, that would
26 mean we didn't pick up something that needed to be replaced
27 and it failed.

28 It wouldn't mean we put something into the plan for

1 which we had no data. So it doesn't suggest that we would
2 have an over-inflated investment plan. If anything, if
3 there was missing data, we wouldn't have things in there.

4 But these are factors that people look at separately
5 and bring together with their engineering expertise and
6 judgment. To bring together four or five factors, we used
7 to have to do them all outside of the tool. But we were
8 still aware of the data and the sources. They are just not
9 brought together.

10 MR. RUBENSTEIN: I'm not sure it necessarily means
11 that you would be -- it would mean you would be saying
12 you'd need to spend more money. But how do we know that
13 the work that you are planning to do, the assets you are
14 specifically planning to replace are the right ones that
15 you're going to replace and you're not replacing an asset
16 that you shouldn't be replacing?

17 MS. GARZOUZI: Because we are making our decisions
18 based on conditional data, which is largely complete, and
19 reliability data that we have.

20 I'm going to point to you to I35, BOMA 31C. So
21 essentially -- oh, she's not there yet.

22 BOMA 31C; it's a long one. You don't have to read it
23 right now, but it's maybe nice bedtime reading. This one,
24 if I'm to summarize it quickly, is really there's three big
25 elements. The age of our system is, you know, older than
26 our peers and every year, everything ages by a year.

27 Specifically for wood poles, if you look at figure 1,
28 the current replacement rate assumes that our wood poles

1 would have an expected service life of 72, which is ten
2 years older than what we're operating with already today
3 and we are already about ten years older than our peers.

4 That's data that we have; we have it on the
5 1.6 million poles, and that's benchmarked against our
6 peers.

7 The next table, figure 2 shows you our assets in poor
8 condition. Here we just simplified; we showed for
9 stations, but we have the same data for wood poles. Our
10 plan that we're proposing to you maintains the condition of
11 our fleet. We currently have 106,000 wood poles that are
12 in poor condition based on our testing and our inspections.

13 We have about 70 stations that are in poor condition,
14 and so this plan addresses those. And lastly, it's the
15 reliability piece. So we do have reliability reporting on
16 all of our 3,300 circuits, and we looked at two views here.
17 We looked at customers experiencing long interruptions, so
18 over 15 hours, and customer experiencing multiple
19 interruptions. Those can be found at figure 3 and
20 figure 4. And so we have a lot of customers -- oh, 34,000
21 customers are experiencing 15 hours and so on. So you see
22 the bar chart.

23 And so that -- if you continue on also, so on
24 figure 5, you see Hydro One's reliability relative to our
25 peers. We are a rural utility. We are benchmarking
26 ourselves here, but we see that our reliability is worse
27 than our peers and we don't like that. We want to do
28 better. We are seeking to improve that in the current plan

1 that is filed and we are doing that, not by demanding more
2 money, but by trying to do things differently.

3 And so how can the Board be sure that, you know, we
4 have the information we need? It is true we don't have
5 every single data point on every single asset, but we have
6 a lot of data that is informing our plan and I believe that
7 it is an informed plan with high quality data.

8 MR. RUBENSTEIN: How can the Board be sure that the
9 plan, the projects -- the specific assets that you are
10 going to replace are going to be the ones that you should
11 replace? Understanding you may -- you are not replacing an
12 asset early or you're -- because the data that underlies
13 your asset analytics program has not been repaired?

14 MS. GARZOUZI: Because -- so let's look at wood poles.
15 It is our largest capital planned program.

16 So we have 106 wood poles that are -- 106,000 wood
17 poles that are in poor condition. Over the plan, we are
18 seeking to replace 72,152 wood poles, so we are not doing
19 them all. Every year when we do testing, we find more. We
20 find, on average 9,000. So we are actually maintaining the
21 population.

22 So how do we know we're doing the best ones? Good
23 question. What we do is we look at our systems, we look at
24 where these poles are. Do they have multiple circuits, do
25 they have joint use attachments. Are they in close
26 proximity to school and public and so on and so forth, and
27 we prioritize from those.

28 So we use the condition information that's informed

1 our plan. We use reliability information and reliability
2 risk information, and we look at their location, and that's
3 how we select from within the list that we have.

4 MR. RUBENSTEIN: What about the poles did you in the
5 plan? Can we have the same confidence that you did the
6 right poles in the past three years based on the issues
7 with your asset analytics?

8 MR. BOWNESS: I think there's one thing that's really
9 important to understand in the context of the asset
10 analytics solution. It's a business intelligence layer on
11 top of our SAP system.

12 We've been embarking on a journey over the last 12
13 years of moving away from disparate Excel sheet, disparate
14 systems, to consolidating on enterprise class systems with
15 our SAP and GIS applications as our main foundation,
16 overlaying that with a business intelligence layer, and
17 driving improved analytics and algorithms using that big
18 data to make ever improving business decisions.

19 But underlying this is a team of planners that have
20 expertise, that live and breathe this work day-in/day out
21 and historically were using disparate systems are now using
22 enterprise class systems are now using ever-improving
23 enterprise class systems to make better and better-informed
24 decisions.

25 So if you look at the context of how we've been making
26 investment decisions over time, we've been using legacy
27 processes. We are now using new processes enabled with
28 improved technology and every year, we are making better

1 and better informed decisions.

2 That doesn't question the decisions we've made up to
3 this point. They have been made with really smart, strong
4 engineers using the systems that were in place at the time.
5 And now we're leveraging those smart engineers to make even
6 better decisions going forward.

7 MR. RUBENSTEIN: Can we turn to page 88 of the
8 compendium? This is a transcript from 2013-0416. This is
9 the issues day which is really, as I recall, what we now
10 call the presentation, the executive presentation day.

11 If we can turn that -- turn over to page 93. And
12 speaking was Mr. Sandy Struthers, who I believe was the
13 chief CEO, or chief administrative officer at the time. Is
14 that correct?

15 MR. BOWNESS: Yes, it's Mr. Sandy Struthers.

16 MR. RUBENSTEIN: At line 6, he says:

17 "To ensure that we are spending money in the
18 right area, we have made investment to provide
19 with full visibility to our assets their
20 condition and our work programs. Tools such as
21 asset analytics are allowing us to make targeted
22 investments to minimize the impact of costs to
23 customers and to provide us with an effective way
24 to manage programs and investments."

25 Do you see that?

26 MR. BOWNESS: Yes.

27 MR. RUBENSTEIN: And if we flip over to page 98 of the
28 compendium, and I believe this is Mr. Wayne Smith talking.

1 I believe he was your senior vice president of engineering
2 and construction at the time. Do I have that right?

3 MR. BOWNESS: He was in a variety of roles around that
4 time. But yes, that would be operational domain, yes.

5 MR. RUBENSTEIN: We talked about wood poles and at
6 line 19, he says:

7 "The wood pole program is a program that is very
8 much a long-term program, where we have an aging
9 fleet of assets and we need to basically have a
10 sustainable plan to replace those assets in a way
11 that does not push a cost off into the future
12 years that is not achievable.

13 "So we really want to start ramping up the
14 program, which we started this past year, to a
15 level that minimally meets the long-term needs of
16 the aging asset base. Driving this program is
17 the intelligence we have in programs like asset
18 analytics, a portion-by-portion analysis of the
19 province, knowing the age of our fleet, of the
20 wood poles, knowing where the risk is, and
21 knowing where we want to focus getting on those
22 poles created (sic)."

23 Do you see that?

24 MS. GARZOUZI: Yes.

25 MR. RUBENSTEIN: So is Hydro One -- can Hydro One say
26 with certainty that over the last three years not a single
27 asset was improperly replaced due to the issues with your
28 asset analytics data?

1 MR. BOWNESS: So if I -- I'd like to take you through
2 the life cycle of a pole replacement.

3 MR. RUBENSTEIN: First, can you answer my question --

4 MR. BOWNESS: Yeah --

5 MR. RUBENSTEIN: -- and then you can say your
6 context --

7 MR. BOWNESS: There is -- there is a potential that a
8 pole could have been replaced at a suboptimal level. It
9 could have been a year or two early. So when you get so
10 precise with your question, that's what I'm struggling
11 with, but if you look at what we're trying to do, is we're
12 managing a fleet of 1.6 million poles across the province.
13 We're looking to identify the poorest-condition poles, the
14 ones that have the biggest impacts on reliability and asset
15 health. The planners are using data and analytics to come
16 up with a work program of approximately 10- to 12,000 poles
17 that need to be replaced.

18 We have centralized that decision-making with asset
19 planning, so one of the findings coming out of the Navigant
20 study was to centralize that decision-making, so we do that
21 centrally so that can we can optimize what are the 10- to
22 12,000 poles that need to be executed.

23 But as that transitions over to my group to execute,
24 we end up getting out in the field to do the actual
25 fieldwork, and there's times where we would go out to a
26 pole that is in the 10,000 poles to be replaced, and it
27 will be brand-new, and you might question, well, why?
28 Well, so what we have is we have storm and trouble that

1 rolls through our territory. We do the work as efficiently
2 and as effectively as we can during a storm, but the data
3 capture processes that we have during a storm are not as
4 robust as they are on a planned basis, so our field groups
5 at the time would mark that item as not being required to
6 be completed, and they would move on to the next work
7 activity in the step, so we have a field control point on
8 making sure that we're not replacing poles that are new.

9 But to get to your question of, can I say to a
10 definitive point that every single pole is the perfect pole
11 to replace, that's not a question I can concretely or
12 definitively answer.

13 MR. RUBENSTEIN: My question was broader than just
14 poles. Can Hydro One tell us with any certainty that
15 because of the issues with your asset analytics program you
16 did not -- let me rephrase: Can you tell me with any
17 certainty that the issues with the asset analytics program
18 do not have any impact on the assets that you have replaced
19 in the past three years?

20 MR. BOWNESS: So I can confidently --

21 MR. NETTLETON: Mr. Chairman, Mr. Chairman, I think to
22 contextualize the question that Mr. Rubenstein has asked,
23 it's got to be placed in respect of the particular asset so
24 that the issues of the analytics tool, as he's referred to,
25 are placed in context with the particular asset.

26 Mr. Bowness just explained his response with respect
27 to wood poles. If Mr. Rubenstein wants to go through this
28 exercise with all other assets, I think we have to first

1 establish what the issues were in respect of the asset
2 analytics tool, let the witnesses speak to that, and then
3 put it in the context of that particular asset.

4 MR. RUBENSTEIN: Well, we could --

5 MR. QUESNELLE: I think the flip of that would
6 probably be more efficient, Mr. Nettleton. If Mr. Bowness
7 knows of a particular asset that needs a special treatment,
8 then he will know it. I don't think Mr. Rubenstein has to
9 find it in the stack.

10 MR. NETTLETON: Right. No, my concern is that Mr.
11 Rubenstein keeps referring to the issues associated with
12 the asset analytics tool and then says generically, with
13 certainty, can you make sure that there are -- that all
14 assets have been managed appropriately.

15 And if we are going down the path of looking at this
16 from each individual type of asset, then I think it's only
17 fair to put the context of his phraseology of issues with
18 asset analytics tool in that context.

19 MR. QUESNELLE: I think if Mr. Bowness knows of any
20 assets that are directly related to the issues that were
21 raised in the tool, I think he can identify those.

22 MR. BOWNESS: So I'm not aware of any assets that we
23 were replacing that have an issue that is -- stem from a
24 problem with asset analytics data. The data that we have
25 within the asset analytics tool from a distribution
26 perspective with respect to the condition of the assets has
27 a high level of accuracy, which is leading to informed
28 business decisions that are resulting in the proper assets

1 being replaced in the field.

2 MR. QUESNELLE: Mr. Bowness, we've got the auditor
3 general report audit, and we've got a follow-on audit,
4 which was an internal -- another follow-on audit, internal
5 audit again.

6 Now, typically in an audit scenario management would
7 have comments -- preliminary comments in response to any of
8 the finding in those audits.

9 Was anything that's been discussed here this morning
10 responded to these findings in the audits by management at
11 the time of the -- that the audits were first presented?
12 Isn't there an iterative process there where the audit
13 findings would be presented and management would respond to
14 those? Any of the comments that we're hearing this morning
15 found in any of those responses?

16 MS. BRADLEY: The one thing I think is potentially a
17 risk with having internal audit reports used in this form
18 is, I look at these reports and this process as very much a
19 support mechanism for driving continuous improvement in our
20 business.

21 So we definitely agree that data -- there's more and
22 more data available at a lower and lower cost as we move to
23 things like, move to mobile, so we agree that, for example,
24 with the pole scenario, if I didn't have GIS data in the
25 tool, it wouldn't have changed my decision around this pole
26 being at end of life, but I might have known it wasn't on
27 roadside, it was off-road, and so my estimate could have
28 been potentially bigger -- better at this early junction of

1 planning. It doesn't mean that it wasn't at end of life.

2 So the condition and the need to replace it was the same.

3 When we have the discussion through the audit process,
4 we want to have a very critical eye to support our
5 continuous improvement initiatives. And to have an
6 external party view, where could you get better, it isn't
7 meaning it isn't sufficient to make decisions today; it
8 really is a conversation around how can you help us
9 identify areas to improve.

10 So those discussions do take place, but the process
11 isn't intended to say you have a plan that's not justified
12 or supported or you're identifying assets that don't need
13 to be replaced; it's to say if you were going to go
14 somewhere next where would you go?

15 So when we have those dialogues we're looking at, how
16 do I use this to support my business, not how do I use it
17 in this type of setting or form.

18 So when we do comment back we do have a dialogue
19 around what this means, and if we -- if we have a
20 significant issue with the recommendation, and our comments
21 are included in the document.

22 MR. QUESNELLE: That's the comments I was referring
23 to. It is, any of that capture what you are explaining to
24 Mr. Rubenstein here this morning?

25 MS. BRADLEY: Right, the conversation for sure takes
26 place, and we do comment. It is just, we're looking at it
27 with a different eye to what we are trying to get out of
28 the report.

1 MR. QUESNELLE: I understand.

2 MR. RUBENSTEIN: So I take it from the discussion, the
3 asset analytics issue that's been identified by the auditor
4 general and your own internal audit group, it has no impact
5 with respect to the investment plan going forward and it
6 made no impact with respect to the assets that you were
7 generally replacing in the past. So what's the point of
8 the exercise, of the asset analytics program?

9 MR. BOWNESS: The question that was asked of me was,
10 is the asset analytics, as I'm remembering it, is the asset
11 analytics leading to an asset being replaced that shouldn't
12 be being replaced, right? So I was taking you through a
13 positioning of making sure that we are not replacing a
14 brand-new asset, as an example.

15 I think that if you look at analytics and how all
16 industries are using data and information and analytics and
17 predictive analysis and advanced computing technology with
18 respect to machine learning, there's an ever improving
19 basis to have really solid quality data that's helping
20 inform and present information to our engineers to make
21 better and better decisions, so if we sit here in the
22 future and we have better data with better systems, will we
23 make better decisions? Yes, but are we making better
24 decisions today than we made five years ago? Absolutely.
25 Are we making better decisions than ten years ago?
26 Absolutely.

27 So this really is a continuous journey around
28 improving our decision-making, ultimately resulting in the

1 best outcome, and ultimately yielding ever-improving
2 outcome measures on reliability, customer service,
3 financial performance, et cetera.

4 MR. RUBENSTEIN: But there is a high risk of
5 suboptimal decision-making. That's what I took away from
6 the second internal audit report.

7 MS. BRADLEY: I just want to look at when they define
8 those risk factors -- where does it say this?

9 The risk factors defined on page 133 of your
10 compendium, it says: "The risk will cause the objective to
11 not be achieved." And the objective they were looking at
12 in the case of having all the risk factors in the tool was
13 the objective of having the risk factors in the pool.

14 They were looking at how is the asset analytics tool
15 functioning, not the decision-making of the planner this
16 case. They were looking for does the tool have everything
17 you want it to have.

18 MR. RUBENSTEIN: So page 130, page 7 of that audit,
19 the risk again is:

20 "The absence of well-understood and quality asset
21 information increases the risk of inadequate
22 asset need assessment, which can result in
23 diminished confidence in the process involving
24 the AA tool and the potential for less than
25 optimal investment decisions."

26 So take it from that that at least at the point of
27 this internal audit report, you're going to have less than
28 optimal investment decisions.

1 MS. BRADLEY: I would say -- I mean, this is probably
2 a difference in how we interpret. I say -- here it says
3 diminished confidence in the process involving the asset
4 analytics tool.

5 We don't expect to push a button on a tool and get a
6 list of assets to replace. We have planners who look at
7 those results, who add the extra risk factors that aren't
8 currently in the tool, and add that intelligence. And
9 there are still some system that are disparate. It is not
10 an all-encompassing tool at this point. There is work
11 required outside of that.

12 MR. RUBENSTEIN: Could I ask you to turn to page 66 of
13 the compendium? This is back to the original internal
14 audit auditor general report follow-up. I'm looking at AG
15 recommendation 13, which says: "Spending to maintain
16 distribution system reliability." Do you see that?

17 MS. BRADLEY: Sorry, can you...

18 MR. RUBENSTEIN: AG recommendation 13, "Spending to
19 maintain distribution system reliability." Do you see
20 that?

21 MS. BRADLEY: I do.

22 MR. RUBENSTEIN: And one of the tasks that it says you
23 still have to do was task 49; do you see that? It's at the
24 time of this report?

25 MS. BRADLEY: Yes.

26 MR. RUBENSTEIN: And if we go to page 69 of the
27 compendium to look at what 49 is, 49 says:

28 "Hydro One's distribution system plan is under

1 development and we will be having an independent
2 third-party review of such in 2016."

3 Do you see that?

4 MS. BRADLEY: I do.

5 MR. RUBENSTEIN: Did you do that?

6 MS. BRADLEY: Yes, we did.

7 MR. RUBENSTEIN: And is that the AESI?

8 MS. BRADLEY: Yes, it is.

9 MR. RUBENSTEIN: Well, my understanding from the
10 evidence was the AESI was to retained to determine if the
11 DSP met the Board's filing requirements only. That was my
12 understanding.

13 Did I not have that correct? I think that was what
14 Mr. D'Andrea had said on panel 1.

15 MR. TANKERSLEY: So you are referring to the specific
16 scope of work in the AESI report?

17 MR. RUBENSTEIN: Yes, I'm just trying to understand.
18 Here it says that Hydro One's distribution system plan is
19 under development and you are going to have an independent
20 third-party review of such in 2016.

21 If I understand your view, the AESI work is that
22 review and my question is: I understood from panel 1 that
23 the scope of that work was really to make sure that it met
24 the filing reports chapter 5 filing requirements.

25 MR. NETTLETON: I'm sorry, Mr. Chairman, I'm missing
26 -- the witness answered the question to say 49 was
27 addressed by the AESI report. And I'm not following what
28 Mr. Rubenstein's next question is, because the witness was

1 asked and answered what her understanding was of how 49
2 gets resolved.

3 MR. QUESNELLE: I understand. But I think the line
4 says to have a third-party review of such. I think what
5 Mr. Rubenstein is asking is did that review go to what's in
6 the plan, or does the plan meet the filing requirements.

7 MS. BRADLEY: On the front page of the AESI report, it
8 does say that the plan was prepared in accordance with good
9 asset management practice, industry best practices, and the
10 current chapter 5 filing requirements.

11 MR. RUBENSTEIN: How about we turn to page 74, which
12 is an interrogatory. We had asked you for certain
13 information. If I can have you flip over to the next page,
14 we had asked you about information they looked at besides
15 -- I'll go back to the question, for fairness. It says:

16 "Please provide a copy of all information AESI
17 reviewed that is not already contained in the
18 pre-filed evidence."

19 And part C says: "AESI was retained to review
20 sections included in the DSP." Do you see that?

21 MS. BRADLEY: I do.

22 MR. RUBENSTEIN: If we go to the second paragraph, it
23 says:

24 "The information that Hydro One is relying on in
25 its application is the pre-filed distribution
26 plan. AESI's conclusions regarding compliance is
27 now a moot point, given the OEB has set the
28 application down for a hearing and in doing so,

1 has found the contents of the application accords
2 with its filing requirements."

3 I understood that, and Mr. Nettleton and I had a large
4 disagreement about this at the technical conference. But my
5 understanding was essentially it was to determine if it met
6 its filing requirements. And the position of Hydro One was
7 that since the Board set it down for hearing, it met the
8 completeness check and so the report was moot. There is no
9 witness of AESI here.

10 MR. NETTLETON: In fairness, Mr. Chairman, we asked
11 parties in advance of this proceeding who and which
12 witnesses they requested from independent third parties.
13 We asked that question specifically, and no one came
14 forward to suggest that a witness from AESI was required.

15 So I don't think it's fair to make an adverse
16 inference on the basis that no one from AESI is here when
17 no party came forward to ask for a witness from AESI to be
18 here.

19 MR. RUBENSTEIN: I'd ask you to review the transcript
20 of the technical conference, where I had a large debate
21 with Mr. Nettleton about wanting to see the information
22 because -- and essentially told us that it doesn't really
23 matter anymore, it's a moot point.

24 But I'll move on and I'll ask you then to move to page
25 78 and look at the deliverables of AESI. In the first
26 bullet point:

27 "Provide best advice on the structure and format
28 of a stand-alone DSP document to show direct and

1 clear alignment of the various components,
2 explicitly showing how the process steps led to
3 optimized DSP and corresponding capital in OM&A
4 investment programs. Demonstrate expertise and
5 capability in identifying areas of opportunity to
6 meet the requirements of the RRFE and chapter 5
7 of the OEB's filing requirements regarding the
8 DSPs.

9 "Showcase that the Hydro One's business
10 planning process is based on its best (sic)
11 values and strategic objectives, which consider
12 the balance of its work program and associated
13 risk."

14 MR. NETTLETON: Sorry, Mr. Rubenstein misspoke. It
15 says "based on its business values and strategic
16 objectives."

17 MR. RUBENSTEIN: Sorry if I misspoke; I didn't mean
18 to.

19 "...which considered the balance of its work and
20 associated risks. Ensure evidence demonstrating
21 alignment between the proposed investment levels,
22 customer engagement result, and asset needs."

23 So I see that as its after-the-fact reviewing to make
24 sure it's presented correctly; is that not the correct
25 interpretation of what AESI was doing?

26 MS. BRADLEY: I don't know if this was referred to
27 after the fact or before the fact. I find -- you know, it
28 talks about direct and clear alignment. It talks about

1 process steps leading to an optimized DSP and corresponding
2 capital and OM&A investment programs.

3 I mean, that was the first bullet you read and I would
4 -- condition data, how we develop those investment plans,
5 is I think where you're trying to link this to.

6 I'm not -- I mean, to me, this shows that you looked
7 at the process, you looked at the plans that resulted from
8 that process, and they've provided a critique of that.

9 MR. RUBENSTEIN: Where it says "showcase that Hydro
10 One's business planning process is based on its business
11 values and strategic objectives, which consider the balance
12 of its work program and associated risks."

13 I read that as they're supposed to showcase it, not to
14 determine if it's an appropriate planning process.

15 MR. NETTLETON: Mr. Chairman, these are bullet points
16 to the paragraph that starts: "Hydro One is seeking to
17 secure the services of a qualified third-party to perform a
18 thorough review of its DSP at various stages of its
19 development. The successful proponent will..."

20 And that was one of the bullet points. So I don't
21 think it's fair to characterize one bullet point and take
22 it out of context of that statement that starts at the
23 beginning.

24 MR. QUESNELLE: The point of your question, Mr.
25 Rubenstein?

26 MR. RUBENSTEIN: Well, I was just trying -- I'll move
27 on to ask some different questions.

28 So let me ask you this: Have you had an independent

1 third-party review the investment planning process?

2 MS. BRADLEY: The one that was -- at the time of this
3 application there was this AESI review.

4 MR. RUBENSTEIN: And that's your view of a review of
5 the investment planning process? Did they look at the
6 optimization system? Did they look at what you were -- how
7 you were inputting things in the AIP tool, how you were
8 doing the weightings? Did they look at all that and...

9 MS. BRADLEY: I can't speak -- I wasn't here in this
10 position when they did this review, so I can't speak to
11 that, but this is the only review that I'm aware of that
12 was done on this five-year plan.

13 MR. RUBENSTEIN: And am I correct, have you done an
14 independent third-party review of your asset management
15 processes or your asset condition information?

16 MS. BRADLEY: You're talking about in the preparation
17 of this plan?

18 MR. RUBENSTEIN: Yes, or the last five years. I'm
19 just -- have you had an independent assessment of your
20 asset management processes and your asset condition
21 information?

22 [Witness panel confers]

23 MS. BRADLEY: Earlier this year we did perform a
24 third-party review of our planning process, of our
25 investment planning process, as we were requested to do in
26 the last transmission decision, but that was, you know,
27 after this had already been filed.

28 MR. RUBENSTEIN: Okay, so the outcome --

1 MS. BRADLEY: You asked anytime in the last five
2 years, so, yes, I have in the last five years.

3 MR. RUBENSTEIN: But that was before this application
4 was filed and the planning process at the time of the --

5 MS. BRADLEY: It was after.

6 MR. RUBENSTEIN: Okay, so have you had anything
7 similar to what you did with respect to vegetation
8 management work with Clear Path where they're doing a deep
9 dive into an area?

10 MS. BRADLEY: Prior to this application, the process
11 used here, no, we're currently doing that for distribution
12 through this planning cycle. We are having a -- we are
13 using a slightly revised process.

14 MR. RUBENSTEIN: Did you want to elaborate on what you
15 mean by "slightly revised process"?

16 MS. BRADLEY: For the transmission -- the transmission
17 planning process we used last year we used different risk
18 factors. And we are going to -- going to apply them in the
19 process we use this year for distribution.

20 It is just a continuous improvement initiative that
21 we've been looking at, how do we change things on an
22 ongoing basis.

23 MR. RUBENSTEIN: What are the changes to those risk
24 factors?

25 MS. BRADLEY: We are going to use safety, reliability,
26 and environment risk factors. The other factors that we
27 currently use as risk, we are using more as flags to say,
28 you know, is there a requirement to connect to customer,

1 yes, so it is just a different methodology of capturing the
2 risk factor.

3 MR. RUBENSTEIN: Well, it seems like a big change if
4 you are essentially getting rid of a lot of the factors.
5 You're using it as a flag instead of weighting it.

6 MS. BRADLEY: We are in the process of going through
7 how we are going to use it in this planning process, so I
8 can't speak to the specifics of how it's going to play out
9 over the planning process, because we are just developing
10 it right now.

11 MR. RUBENSTEIN: I think it's time for a break.

12 MR. QUESNELLE: Yes, Mr. --

13 DR. ELSAYED: I have a question before the break, just
14 to clarify in my mind, the study that you said was done as
15 requested by the OEB --

16 MS. BRADLEY: Yes.

17 DR. ELSAYED: -- is that the same as the AESI study or
18 is it a different study?

19 MS. BRADLEY: It is a different study. One of the
20 requests in our decision, the transmission filing that we
21 got, the decision last fall, was that we have a third-party
22 review of our planning process. So we've completed that
23 process.

24 DR. ELSAYED: And what was the difference in scope
25 between that and the AESI study?

26 MS. BRADLEY: That study wasn't a study of a DSP; it
27 was a review of our planning process, and it compared our -
28 - the planning process that we used for transmission to

1 best-in-class utilities and to the ISO standard around
2 asset management, and so it was very focused on the
3 planning process.

4 DR. ELSAYED: And the AESI was focused on the DSP?

5 MS. BRADLEY: Correct.

6 DR. ELSAYED: And when was the report issued on that
7 study?

8 MS. BRADLEY: It was done in 2018, so I don't know --
9 I don't know the exact date. It was a transmission -- it
10 was -- it was very transmission-focused.

11 DR. ELSAYED: I'm talking about the AESI one.

12 MS. BRADLEY: Oh, the -- the AESI report that is dated
13 March 14th, 2017?

14 DR. ELSAYED: So that was before you submitted this
15 application?

16 MS. BRADLEY: Correct.

17 DR. ELSAYED: So have you incorporated any of the
18 recommendations from that report in this application?

19 MS. BRADLEY: From the AESI report?

20 DR. ELSAYED: Yes.

21 MS. BRADLEY: We would have taken -- we took any
22 feedback we had, whether it was from AESI, auditor general
23 reports, any input we had, we factored into our planning
24 report.

25 DR. ELSAYED: Yeah, specifically the recommendations
26 of the AESI report.

27 MS. BRADLEY: The only recommendations I am aware of
28 in this AESI were more structural around the actual DSP

1 format, more than around -- more than around the
2 methodology of planning.

3 MR. NETTLETON: Dr. Elsayed, there is an interrogatory
4 that asked this very question about what outcomes has Hydro
5 One incorporated from the AESI report. I don't have it at
6 my fingertips. After the break I can certainly --

7 DR. ELSAYED: That would be helpful. Thank you.

8 MR. NETTLETON: Thank you.

9 MR. QUESNELLE: Mr. Rubenstein, we've got a scheduling
10 issue that we'd like to take lunch earlier today at noon,
11 and could you speak with Ms. DeMarco and see if there's any
12 possibility that you could -- can you split your cross, I
13 guess I could ask you now?

14 MR. RUBENSTEIN: Yes.

15 MR. QUESNELLE: And could we accommodate that,
16 perhaps, and have that discussion over the break?

17 MR. RUBENSTEIN: No problem.

18 MR. QUESNELLE: Okay. We'll return at 11:35.

19 --- Recess taken at 11:19 a.m.

20 --- On resuming at 11:38 a.m.

21 MR. QUESNELLE: Ms. DeMarco?

22 **CROSS-EXAMINATION BY MS. DEMARCO:**

23 MS. DeMARCO: Thank you, Mr. Chair. First, can I
24 start with my thanks to both Board Panel and Board Staff
25 for accommodating my schedule. I have a little one who is
26 graduating from high school today, and I am very
27 appreciative to be able to be there.

28 And secondly, let me wish both Board Panel and the

1 witness panel and everyone in the room a Happy National
2 Indigenous Peoples' Day. I hope I've got that right.

3 So I promise you I will be done within my allotted 30
4 minutes this morning. If not, you can bring out the hook.

5 So panel members, I have a few questions for you and
6 the first is a point of clarification. With apologies,
7 this is not in our compendium, but it is Exhibit B11,
8 section 1.2, attachment 14, at page 810 or 23 of 47.

9 Fair to say that your asset management and
10 distribution investment planning process is informed by the
11 IESO integrated resource planning process?

12 MS. BRADLEY: Yes, that's fair to say.

13 MS. DeMARCO: And just on that page, the IESO planning
14 process in and around the RRPP for the Greenstone-Marathon
15 area identifies a few contingencies and scenarios that
16 inform their load growth forecast.

17 They've got four of them there; do you see that?

18 MS. BRADLEY: The chart 5.1?

19 MS. DeMARCO: Table 5-3.

20 MS. BRADLEY: Yes.

21 MS. DeMARCO: So those are forecast scenarios that the
22 IESO has brought into bear?

23 MS. BRADLEY: Yes.

24 MS. DeMARCO: And two, the elements of C include
25 materialization of two sawmills, Geraldton mine, and a gas-
26 to-oil pipeline conversion; is that fair?

27 MS. BRADLEY: Yes.

28 MS. DeMARCO: And would you agree that the gas to oil

1 pipeline conversion is the energy east pipeline?

2 MS. BRADLEY: Yes.

3 MS. DeMARCO: And that pipeline's been cancelled?

4 [Witness panel confers]

5 MS. GARZOUZI: I'm not certain.

6 MS. DeMARCO: Would you take, subject to check, that
7 the Energy East pipeline has been cancelled?

8 MS. GARZOUZI: Yes.

9 MS. DeMARCO: And similarly, the Geraldton mine has
10 yet to materialize; fair to say?

11 MS. DeMARCO: That's just a point of clarification.
12 Later in that document, the IESO, at page 863 or 76 of 77,
13 makes some general recommendations and they include new
14 generation and lines upgrades. Is that fair to summarize
15 them as such?

16 MS. BRADLEY: Can you just repeat the reference for
17 me?

18 MS. DeMARCO: I'm sorry, it is the same Exhibit B1,
19 section 1.2, attachment 14 at page 863, or their numeric
20 references is 76 of 77.

21 Would you like me to repeat the question?

22 MS. BRADLEY: Yes.

23 MS. DeMARCO: The IESO generally recommends some new
24 generation and some lines upgrades.

25 I'm sorry, it should be at the end of the document of
26 the Greenstone-Marathon, page 863 of that, I believe. It's
27 the very end of that, their recommendations.

28 MS. DeMARCO: This is it, yes. There are two stages

1 and those stages include some new generation and some lines
2 upgrades, fair to say, very roughly?

3 MS. BRADLEY: Yes, I agree.

4 MS. DeMARCO: Thank you. And just -- I have in here
5 your DSP section 1.4 at tab 1 of our compendium, and this
6 is the world that was, as opposed to where we are now.

7 Fair to say that that DSP did not expressly mention
8 upgrades to the lines in and around Greenstone-Marathon; do
9 I have that right?

10 MS. BRADLEY: Can you repeat your question? Sorry.

11 MS. DeMARCO: Yes. Fair to say that your evidence
12 Broadly, but specifically the DSP at section 1.4, didn't
13 include any express mention of upgrades to the lines in and
14 around the Greenstone-Marathon area?

15 MS. BRADLEY: No, we haven't captured transmission
16 investments in our DSP.

17 MS. DeMARCO: So in terms of distribution investments
18 as well, was there something specific that I've missed in
19 your application?

20 Perhaps I can simplify the question and help out,
21 because where I'm going is nowhere dramatic.

22 What we now have in the settlement proposal was not
23 expressly mentioned in the original application; is that
24 fair to say?

25 MS. BRADLEY: That's fair to say.

26 MS. DeMARCO: Thank you. And no specific ISDs or SS
27 documents that I've missed somehow?

28 MS. BRADLEY: That's correct.

1 MS. DeMARCO: Thank you.

2 MR. SIDLOFSKY: Can I just interrupt at this point,
3 just so we don't lose track of it? I'm going to mark the
4 Anwaatin panel 5 compendium as Exhibit K7.1.

5 **EXHIBIT NO. K7.1: ANWAATIN CROSS-EXAMINATION**
6 **COMPENDIUM FOR HONI PANEL 52**

7 MS. DeMARCO: I'm batting a thousand on this, missing
8 my basic obligations of exhibit marking on this hearing, so
9 with apologies to the Board Staff and the Panel and the
10 witnesses.

11 We do have in our book of authorities at tab 1, page 5
12 of the compendium, table 8 which is the OEB scorecard. But
13 it has been updated by you in response to an undertaking to
14 me at J1.11 -- which is not in the compendium, with
15 apologies.

16 MS. BRADLEY: It is SEC 29?

17 MS. DeMARCO: It is actually undertaking J1.11, which
18 is a further update to SEC 29, as I understand it. This is
19 a popular piece of evidence. It's gotten updated a few
20 times during the course of this hearing.

21 So in this regard, even if you take out loss of supply
22 and force majeure, is it fair to say that the rural SAIDI
23 is still increasing? Is that fair?

24 MS. BRADLEY: Yes, that's fair.

25 MS. DeMARCO: And that's the duration of outages is
26 still...

27 MS. BRADLEY: Correct.

28 MS. DeMARCO: I'm sorry, I didn't catch that on the

1 record.

2 MR. JESUS: Yes.

3 MS. DeMARCO: Thanks. And so the calculation -- now I
4 have a calculation clarification that I don't know the
5 answer to, but I'm going to put the question to you anyway.

6 When SAIDI rural is calculated, are there zero values
7 included in that average? For example, if there's no
8 interruption, does that go in as zero hours?

9 MR. JESUS: That's correct, if there's no
10 interruption, then there's no impact. There's nothing to
11 be added in the denominator or the numerator.

12 MS. DeMARCO: So for the duration of outages, that
13 would go in as a zero value?

14 MR. JESUS: Correct.

15 MS. DeMARCO: For SAIFI is it quite similar? You've
16 got total customer interruptions, and if the customer is
17 not interrupted, does that go in as a zero value?

18 MR. JESUS: So which line are you looking at
19 specifically?

20 MS. DeMARCO: I'm at page 13 of the compendium. And
21 it's really just in around the calculation of how you
22 calculate SAIFI.

23 [Witness panel confers]

24 MS. BRADLEY: I think the confusion is when we're
25 calculating SAIFI we would take the number of outages and
26 we would divide that by the number of customers served.

27 MS. DeMARCO: Total number of customer interruptions
28 by the customers served. So if there's --

1 MS. BRADLEY: If there's no interruption it is just
2 not factored in. Like, we are not counting every minute of
3 every day to say this minute there was no interruption so
4 it's a zero. We are just counting the interruptions.

5 MS. DeMARCO: So if there is not an interruption, it
6 doesn't go in the average as a zero value.

7 MR. JESUS: So maybe I can help. So when an outage or
8 an outage event occurs, all the customers that are
9 interrupted get included in the numerator, so that is the
10 total number of customers that are interrupted. Every
11 single customer that is interrupted for that particular
12 event gets included in the numerator. The total number of
13 customers that form the rural or the urban or the system
14 are what's reflected in the denominator. Ergo, you end up
15 with SAIDI or SAIFI, so let's talk with SAIDI specifically.
16 The total duration of interrupted customers per year -- it
17 is the average of the number of customers that are
18 interrupted per year on a duration basis, from a duration
19 point of view, total duration.

20 MS. DeMARCO: So help me work through this, because I
21 understand that to be CAIDI.

22 MR. JESUS: Total duration, the average duration of
23 every customer that is interrupted during the course of the
24 year, is SAIDI.

25 MS. DeMARCO: Yes.

26 MR. JESUS: The CAIDI represents the average
27 interruption duration per outage --

28 MS. DeMARCO: Yes.

1 MR. JESUS: -- not per customer, different
2 denominator, per -- the unit of measurement is different.

3 MS. DeMARCO: So following through with me, SAIDI,
4 there is zero values incorporated in the average. Zero
5 minutes would be calculated into that.

6 MR. JESUS: So by -- yeah, by definition, there's no
7 customers that are interrupted, therefore they would not
8 appear.

9 MS. DeMARCO: It's different than that. The duration.

10 MR. JESUS: So if I have -- can I help? If there is
11 one event that interrupts three customers, only those three
12 customers for the duration that they're out would appear in
13 the numerator. All the other customers that are not
14 impacted, they don't appear anywhere, other than the
15 denominator, which is the total number of rural customers,
16 because it's -- you add up with the total duration over the
17 course of a year, divided by the total number of customers.

18 MS. DeMARCO: So in terms of the numerator, it's not
19 disproportionately skewed if there is not an outage for a
20 customer. Mathematically, you are not skewing -- so it is
21 not an average of an average. It's absolute number over
22 absolute number.

23 MR. JESUS: Absolute number, yes.

24 MS. DeMARCO: Thank you, that was helpful.

25 On page 17, the CAIDI has been corrected -- or CAIDI
26 has been calculated, and you've indicated there that supply
27 has been adjusted for; is that fair? Loss of supply?

28 MR. NETTLETON: Where are you, Ms. DeMarco?

1 MS. DeMARCO: I am at page 17 around -- of the
2 compendium, around the calculation of CAIDI.

3 MR. JESUS: Okay.

4 MS. DeMARCO: And so as I understand it, that
5 calculation was done with loss of supply and force majeure?
6 I think this --

7 MR. JESUS: It depends on the situation. If you want
8 to look at CAIDI with or without loss of supply, you would
9 take the number of outages during those events that
10 occurred when loss of supply and when there's no force
11 majeure and you would end up with the CAIDI for those
12 events.

13 MS. DeMARCO: Right, and -- thank you. In relation to
14 your parameters, I'm going down now to pages -- starting at
15 pages 23 through to 28 -- sorry, 29 of our compendium. I'm
16 at -- the CAIDI parameter is page 29 of the compendium.

17 MS. BRADLEY: I think we are all on the same page now.

18 MS. DeMARCO: Sorry about that.

19 MS. BRADLEY: Which is which, 27 or 29? 29 of your
20 compendium we see the CAIDI outage, yes.

21 MS. DeMARCO: Fair to say there that the second-
22 highest cause of outages there or disruptions in -- is
23 defective equipment.

24 MR. JESUS: Second-highest?

25 MS. DeMARCO: Yes.

26 MR. JESUS: No --

27 MS. BRADLEY: It varies by year.

28 MR. JESUS: Tree contacts. In 2016, if you look at

1 tree contacts was number one. Number two was adverse
2 environment at 6.4, and defective equipment ended up being
3 third at 3.99, so it's third.

4 MS. DeMARCO: In that year, but on average, fair to
5 say that it's second?

6 MR. JESUS: Subject to check.

7 MS. DeMARCO: And same for SAIFI, we can say fairly,
8 looking at figure 7 on page 28? Fair to say, the second --
9 also the second-highest cause?

10 MR. JESUS: Yes, it is.

11 MS. DeMARCO: And the same on page 26. Same for
12 SAIDI, defective equipment, second-highest cause?

13 MR. JESUS: That's correct.

14 MS. DeMARCO: And moving on to 25, this is the CAIDI
15 chart. And you've corrected for what should traditionally
16 be known as force majeure and/or a loss of supply in this
17 chart. So we see all the data in this chart; is that fair?

18 MR. JESUS: We see all the data with and without loss
19 of supply and force majeure; that's correct.

20 MS. DeMARCO: And fair to say --

21 MR. JESUS: So the impact to the total system of
22 whether you include force majeure events, whether you don't
23 include them, as well as for loss of supply.

24 MS. DeMARCO: And fair to say, even when you're
25 excluding loss of supply and excluding force majeure, the
26 CAIDI is increasing? And I'm referring specifically to the
27 bottom line of Table 12 on that page.

28 MR. JESUS: Yeah.

1 MS. DeMARCO: I'm now going to ask you a few questions
2 specific to reliability in First Nations and Anwaatin
3 communities, and much of this is at tab 3 of our
4 compendium. And page number --

5 MS. BRADLEY: Is there a page? Because I'm not sure I
6 get the tabs in here. I'm not sure --

7 MS. DeMARCO: Yes, it's page 60.

8 MS. BRADLEY: Thank you. That helps.

9 MS. DeMARCO: And these were a series of questions
10 regarding reliability in the Anwaatin First Nations
11 communities.

12 And would you agree with me that all of the responses
13 are based on five-year data?

14 MS. BRADLEY: Correct, yes.

15 MS. DeMARCO: And generally, the more data the better?

16 MS. BRADLEY: I don't agree that the more data the
17 better. In some cases the further back you would go, there
18 could be changes in the system that you are not capturing
19 or you're not aware of, so it does depend. There is some
20 risk. If you go back further you are not comparing like
21 for like.

22 MR. JESUS: I would also add that there may have been
23 improvements more recently that would change the numbers or
24 the trend going forward. So some -- if a feeder was in
25 poor condition, for example, and we've rectified that
26 situation, it would still show on the five-year average,
27 but the improvement is already in place. So it wouldn't
28 show that.

1 MS. GARZOUZI: So all things being equal, a lot of
2 data is helpful to establish trends. However, the
3 distribution system and the transmission system are dynamic
4 and they change. Those changes are not accounted for in
5 history, and so it's important to take those into account
6 when you're trying to project forward.

7 MS. DeMARCO: That's very helpful. That's where I was
8 going.

9 And in relation to those general projections, I'm
10 going to ask you at each point whether you think they would
11 change with more data. My general assumption is that they
12 won't, but I'll put it to you specifically.

13 So at the compendium page 63, this is a reading glass
14 exhibit. This is all the First Nations in the province,
15 with the Anwaatin First Nations highlighted in yellow,
16 outlining their five-year average SAIDI for feeders.

17 Is it fair to say that the Anwaatin communities
18 collectively have the highest average duration of outages
19 in Ontario?

20 MS. BRADLEY: I would characterize this as showing
21 that the average is higher than the northern system
22 average.

23 MS. DeMARCO: We're actually -- just to clarify that
24 point, we're actually talking about the Hydro One five-year
25 system average, not the northern system average. Is that
26 right?

27 MS. BRADLEY: There is the Hydro One five-year system
28 average, yes, you're right and the First Nations five-year.

1 MS. DeMARCO: So let me be more precise. I was
2 imprecise, with apologies.

3 The Anwaatin five-year average SAIDI, the duration of
4 outages is higher than the Hydro One five-year average
5 system wide?

6 MS. BRADLEY: That's correct.

7 MS. DeMARCO: And higher than the First Nations system
8 wide -- First Nations average?

9 MS. BRADLEY: Correct.

10 MS. DeMARCO: And moving on to the SAIFI calculation
11 at page 64, is it fair to say that the Anwaatin five-year
12 average for the frequency of outages is also the highest
13 among that group?

14 MS. BRADLEY: The average is, correct.

15 MS. DeMARCO: Yes, so higher than the Hydro One five-
16 year system average?

17 MS. BRADLEY: Correct.

18 MS. DeMARCO: And higher than the First Nations five-
19 year system average?

20 MS. BRADLEY: That's correct.

21 MS. DeMARCO: And at page 65, here we've got a metric
22 that you've done, looking at very specifically the Anwaatin
23 feeders compared to the Hydro One system average, the First
24 Nations system average, and your urban and rural customers.
25 Is that a fair characterization of that graph?

26 MS. BRADLEY: Yes, it is.

27 MS. DeMARCO: And fair to say that there again,
28 Anwaatin has the worst reliability when compared to Hydro

1 One system average. Fair?

2 MS. BRADLEY: Fair.

3 MS. DeMARCO: First Nations five-year system average?

4 MS. BRADLEY: Correct.

5 MS. DeMARCO: The rural rates -- this is the turquoise
6 bands?

7 MS. BRADLEY: Correct.

8 MS. DeMARCO: And certainly the urban rates, the
9 orange bands?

10 MS. BRADLEY: Correct.

11 MS. DeMARCO: And would you take, subject to check,
12 that that's the same for SAIFI, each of those elements?
13 Anwaatin has the worst five-year average for frequency?
14 This is figure C2.

15 MS. BRADLEY: Yes, that's correct.

16 MS. DeMARCO: Worse than the Hydro One system average,
17 fair?

18 MS. BRADLEY: Yes.

19 MS. DeMARCO: Worse than the five-year system average
20 for First Nations, fair?

21 MS. BRADLEY: Correct.

22 MS. DeMARCO: Worse than Hydro One rural, fair?

23 MS. BRADLEY: Yes.

24 MS. DeMARCO: And worse than Hydro One urban, fair?

25 MS. BRADLEY: Yes.

26 MS. DeMARCO: I'm asking you to turn to page 66 now,
27 figure D.2. It appears to me that about 31 percent of
28 those outages are due to defective equipment; is that fair?

1 MS. BRADLEY: That's correct, yes.

2 MS. DeMARCO: About 17 percent are unknown cause?

3 MS. BRADLEY: Correct.

4 MS. DeMARCO: And only 12 percent are due to tree
5 contacts?

6 MS. BRADLEY: That's correct.

7 MS. DeMARCO: Thank you. I'm going to ask you to move
8 on to page 69 of our compendium. This is figure G.1 and
9 I'm going across year-by-year, and it appears as though
10 generally tree contact outage are largely the lowest in the
11 province for the Anwaatin communities. Do I have that
12 right?

13 MS. BRADLEY: You are looking at G.1, correct?

14 MS. DeMARCO: That's right.

15 MS. BRADLEY: I would agree with that.

16 MS. DeMARCO: Thank you. And in terms of force
17 majeure generally, you've got a list of all force majeure
18 events that you've included in your evidence, and I'm going
19 to -- I believe that's in or around page 18 of the
20 compendium. It starts at page 18 and continues for a few
21 pages, is that right?

22 MS. BRADLEY: Yes.

23 MS. DeMARCO: And that's an exhaustive list?

24 MS. BRADLEY: A complete list? Yes.

25 MS. DeMARCO: Thank you. And one point of
26 Clarification. I'm at pages 74 to 76 of our compendium,
27 not for the substance, but for my own -- and I believe for
28 potentially the Panel's edification. The asset life; is

1 that exactly the same as the pole age?

2 MR. BOWNESS: We see asset life -- sorry, average pole
3 age in this table. But can you point us to where you're
4 seeing asset life?

5 MS. DeMARCO: Yes. Could I ask you to turn to the
6 interrogatory itself, which was starting at page 60. You
7 will see under interrogatory A you were asked:

8 "Please provide feeders serving the First Nations
9 referenced above, a description of each asset,
10 its age, useful life, and planned replacement
11 date."

12 And you responded with "pole age."

13 MS. GARZOUZI: So the pole age column is the age of
14 the pole, so it is the stamp date on the pole.

15 The expected service life of wood poles is 62 years
16 for all poles that's in the population.

17 MS. DeMARCO: But it's not the same as the asset age.
18 What would be the asset -- it's the pole plus what?

19 MS. GARZOUZI: In this case, it's the pole itself.

20 MS. DeMARCO: So in your response, it's the pole
21 itself. But when you're talking about the asset life, is
22 it the pole plus something, or is it only the pole?

23 MS. GARZOUZI: Okay. So if we go back to, in your
24 compendium, page 74. So what we see is the supply. That's
25 the circuit, so that's a circuit identification -- sorry,
26 it's the distribution station that supplies that community.

27 Next to that is the feeder; that's the circuit
28 identification. So there are multiple poles emanating from

1 that circuit. So in this case, there's 600 -- on the first
2 line, 665 poles. So instead of providing the age of every
3 single pole, what we did is we took the average age of all
4 those poles and that's why it's an average pole age instead
5 of providing every pole age.

6 MS. DeMARCO: So just so that everyone in the room is
7 clear on this point, is the pole the entire asset or is
8 that something else? Do you have to add in something?

9 MS. GARZOUZI: That's the entire asset.

10 MS. DeMARCO: So when I asked for the asset life,
11 giving me the pole age -- or asset age, giving me the pole
12 age is it? That's all the data we need?

13 [Witness panel confers]

14 MS. GARZOUZI: Okay. So in terms of how we manage our
15 assets, we have the age of our transformers at the stations
16 and of our wood poles, and so in the table here it's just
17 an average.

18 On conductors we don't track their age per se, so it
19 is not something that we would manage in that way, nor do
20 we do that for insulators and other components of the
21 distribution system.

22 MR. QUESNELLE: Ms. DeMarco, the original
23 interrogatory that you brought us to asked for the asset
24 age and its use -- or the pole age end-useful life, and I
25 don't think that the response did provide you with that. I
26 think on the record just now it was provided as being 62
27 years of expected useful life; is that correct?

28 MS. GARZOUZI: That's correct.

1 MS. DeMARCO: Mr. Chair, as I understood, that's for
2 the poles; is that correct?

3 MR. QUESNELLE: Yes.

4 MS. GARZOUZI: That's correct.

5 MS. DeMARCO: And so I don't have to consider anything
6 else other than the poles to say the average useful life of
7 the asset of the transmission line distribution system and
8 feeder asset.

9 MS. GARZOUZI: So from a line --

10 MR. QUESNELLE: The line is made up of multiple
11 assets?

12 MS. GARZOUZI: Yeah, the line is made up of multiple
13 assets. That is the dominant and most relevant or most
14 important date.

15 For the station component, the more critical asset is
16 the transformer. The age there is something that we have,
17 and then it would be the recloser at the station. The age
18 is not as relevant.

19 What is more interesting is how many times the
20 recloser has operated, so on our 1005 distribution station
21 we keep track on the recloser account, operation account.
22 And so from, you know, back to the IR question, which is...

23 [Witness panel confers]

24 MS. GARZOUZI: There are many components to the
25 distribution system, and probably the most relevant are the
26 transformer at the distribution station and, from the lines
27 perspective, the wood pole.

28 MS. DeMARCO: I wonder if you can update that response

1 to include the transformer at the distribution station.

2 MS. GARZOUZI: Yes, that could be done.

3 MS. DeMARCO: Thank you. I wonder if we can mark that
4 as an exhibit (sic).

5 MR. SIDLOFSKY: That will be K7.2.

6 MR. QUESNELLE: J?

7 MR. SIDLOFSKY: Sorry, Ms. DeMarco, you asked for an
8 exhibit or an undertaking?

9 MR. QUESNELLE: Undertaking.

10 MS. DeMARCO: Undertaking.

11 MR. SIDLOFSKY: Thank you, J7.2.

12 **UNDERTAKING NO. J7.2: TO UPDATE THE RESPONSE TO**
13 **INCLUDE THE TRANSFORMER AT THE DISTRIBUTION STATION.**

14 MS. DeMARCO: If I misspoke I'm sorry.

15 So let's put that in the bucket of what was current
16 status of the reliability metrics, and now let's move on to
17 what is. And tab 4, at -- starting at page 90, I believe,
18 of our compendium is the settlement agreement entered into
19 between Anwaatin and Hydro One. Sorry, it's page -- the
20 settlement agreement itself starts at page 77 of our
21 compendium, but the substantive data I'm going to take you
22 to is starting at page 95, if you want to go there now.

23 Contextually this is a very novel approach for Hydro
24 One, fair to say?

25 [Witness panel confers]

26 MS. GARZOUZI: Yes.

27 MS. DeMARCO: And it took a fair amount of work
28 internally, fair to say?

1 MS. GARZOUZI: Yes.

2 MS. DeMARCO: And you all had to be quite creative and
3 pull a few all-nighters to get there, or burn the midnight
4 oil anyway, fair to say?

5 MS. GARZOUZI: We did spend a lot of time on this,
6 yes.

7 MS. DeMARCO: And let's look at the outcome of your
8 hard work. If we can turn to page 95, we have a graph
9 showing the current state of affairs at the Nakina feeder
10 stations, feeder station F2.

11 And in general there are, over the five-year period,
12 54 outages, totalling 286 hours; fair to say?

13 MS. GARZOUZI: Yes.

14 MS. DeMARCO: And by my very poor calculations, so
15 correct me if I'm wrong, I've got that as an outage on
16 average every five weeks, all throughout the five-year
17 period.

18 MS. GARZOUZI: Yes. Yes.

19 MS. DeMARCO: And those outages, by this graph, can
20 last over 25 hours per outage; is that fair?

21 MS. BRADLEY: That's.

22 MS. GARZOUZI: That's the most significant outage
23 experienced by that community; that's correct.

24 MS. DeMARCO: And proactively, if you go down to page
25 98, you're considering distributed energy resource
26 solutions that could possibly take those outages down to an
27 average of one outage per year. Is that fair?

28 MS. GARZOUZI: That's correct.

1 MS. DeMARCO: So from one every five weeks to one per
2 year; is that fair?

3 MS. GARZOUZI: Yes.

4 MS. DeMARCO: And the duration of those outages from
5 up to 25 hours down to a total of 35 hours for the whole
6 five-year period; is that fair?

7 MS. GARZOUZI: That's correct.

8 MS. DeMARCO: So significant potential improvement?

9 MS. GARZOUZI: Yes, all things being equal, if we were
10 -- if history reproduced itself with a battery of this
11 size, that is the improvement that we would predict.

12 MS. DeMARCO: And you agree that it's similar for the
13 Moosonee project that you are considering, similar
14 improvements that you are looking at; fair to say?

15 MS. GARZOUZI: The improvements are similar. The
16 difference with Moosonee is there was a transmission
17 investment that will significantly benefit the community,
18 hence the loss of supply that were historically
19 experienced, which were meaningful, are expected to be
20 reduced significantly in the future, and so there is a net
21 improvement immediately. Battery storage or alternative
22 investments would further then benefit the reliability to
23 the community of Moosonee.

24 MS. DeMARCO: That's great. And finally, looking at
25 how you're proceeding, you're not betting the farm on this;
26 fair to say? You are proceeding in a prudent, staged
27 manner; is that fair to say?

28 MS. GARZOUZI: Yes.

1 MS. DeMARCO: And specifically, let's look at what is
2 required and what's not required.

3 You've done technical assessments for Nakina and
4 Moosonee, and you are looking at evaluating other
5 possibilities on how you might implement that with a range
6 of battery storage options; is that fair?

7 MS. GARZOUZI: That's correct.

8 MS. DeMARCO: And there is still some decision-making
9 that has to go on?

10 MS. GARZOUZI: Yes, this package or this undertaking
11 is a projection on what we might expect if we were to
12 install batteries at both Nakina and Moosonee. This would
13 be a first of its kind at Hydro One. These are predicted
14 benefits with preliminary discussions with vendors. We
15 have not done the detailed engineering yet, and once we've
16 completed that and the sizing of the battery is
17 established, that would be weighed against the economical
18 benefit gain, so risk mitigated versus dollars spent. We
19 would then right-size the battery.

20 As you saw, one of the outages was 25 hours. You
21 wouldn't necessarily buy a battery to mitigate that outage,
22 so you would try to capture the most outages possible in
23 the most economical way. Once we with have that, then we
24 would determine if we proceed for investment and then in
25 that case, you know, more concrete predictions would be
26 established.

27 MS. DeMARCO: And moving on to phase 2 of that
28 project, which is focused on the WZI communities, fair to

1 say the commitment of the parties there is to do the
2 technical assessment and that's it at this point; is that
3 fair to say?

4 MS. GARZOUZI: That's fair to say.

5 MS. DeMARCO: And then at that point, both the First
6 Nations communities and Hydro One will take back the
7 outcome of the phase 1 and the technical assessment and
8 determine if it's feasible; fair to say?

9 MS. GARZOUZI: That's correct.

10 MS. DeMARCO: We can both assure each other, fair to
11 say at this point, that there is no firm commitment to go
12 forward unless it's feasible for all parties? Fair to say?

13 MS. GARZOUZI: That's correct.

14 MS. DeMARCO: And those are my questions.

15 MR. QUESNELLE: Thank you, Ms. DeMarco. We will break
16 for lunch and return at 1:20.

17 --- Lunch recess taken at 12:20 p.m.

18 --- On resuming at 1:24 p.m.

19 MR. QUESNELLE: Good afternoon. Please be seated.

20 If there's no other matters to take care of, then Mr.
21 Rubenstein, recommence.

22 **CROSS-EXAMINATION BY MR. RUBENSTEIN: (CONT'D)**

23 MR. RUBENSTEIN: Thank you very much, panel. Good
24 afternoon. I was wondering if we could start at page 46 of
25 the compendium, and this is Board Staff interrogatory 121,
26 and you were asked in part A to "please provide the five-
27 year historical percentage used as project contingency and
28 compare that to the current", and then you provide your

1 response in part A on the next page. Do you see that?

2 MR. BOWNESS: Yes, I do.

3 MR. RUBENSTEIN: And as I understand from the
4 interrogatory response you say that:

5 "Currently, all investments have built-in
6 standard contingency of 10 percent except for
7 projects over \$5 million that have their own
8 contingency allocation and it might vary slightly
9 from the 10 percent."

10 Do I understand that's how you budget?

11 MR. BOWNESS: Yes, that's how we had budgeted the
12 items in the plan.

13 MR. RUBENSTEIN: And you say about halfway through
14 that paragraph:

15 "Since 2012, Hydro One has refined its estimating
16 and field execution such that it has
17 significantly reduced contingency usage over the
18 past six years, reducing our contingency use from
19 75 percent to less than 20 last year."

20 Do you see that?

21 MR. BOWNESS: Yes, I do.

22 MR. RUBENSTEIN: And what you are referring to with
23 the less than 20 is that in 2017 you are using 19 percent
24 of your contingency, correct?

25 MR. BOWNESS: Yes, so the projects that were executed
26 in 2017, we averaged 19 percent contingency.

27 MR. RUBENSTEIN: So now if you are only using 19
28 percent of what is 10 percent of the project that is built

1 into contingency, isn't it time to reduce the contingency
2 amount built in significantly?

3 MR. BOWNESS: So a few aspects. One is the actual
4 costs only include the amount of contingency that's
5 actually spent, so the 81 percent is money that is made
6 available to other investments within the capital envelope.

7 We're constantly looking at refining our percentage of
8 contingency on projects and we're currently going through a
9 process for our projects within the distribution project
10 domain to improve our estimating processes. And we will be
11 looking at contingency percentages going forward.

12 MR. RUBENSTEIN: But currently, based on the
13 information that's in the contingency amount built into the
14 capital plan, aren't you overstating the cost of your
15 investments by including 10 percent contingency for all
16 your assets on average, except you're using much less than
17 that?

18 MR. BOWNESS: So I think if you look on average across
19 the last three years, the average would be in the 40-ish
20 percent range, and I think we also have to put this in
21 context, is out of the work that is under my area of
22 accountability, approximately a billion dollars of
23 expenditure, 82 percent is program-related work, so we're
24 talking about 18 percent of the portfolio, we're talking
25 about 10 percent of that 18 percent, and then we're talking
26 about a variability of a very small percentage point, so
27 we're talking about very small numbers from the big-picture
28 perspective.

1 MR. RUBENSTEIN: Well, let's just say, using your
2 numbers, about 40 percent for the last three years. Let's
3 use that for a second. Doesn't that mean then, if 40
4 percent of 10 percent is really what's being used, you are
5 overstating 6 percent of the cost of every one of your
6 projects and programs? Since you're not using 6 percent,
7 the 60 percent of the 10 percent?

8 MR. BOWNESS: No, I wouldn't characterize it that way.
9 We're looking at approximately 20 percent of the portfolio
10 is project-based, okay, so within that 20 percent, 10
11 percent is contingency, so we're looking at 2 percent of
12 the overall expenditure, and then you would look at, right
13 now, we're using on average only 40 percent of that amount,
14 so we're really talking about a decimal point of cost
15 relative to the overall portfolio.

16 And then I'd go back to my initial comment with
17 respect to any funds that are not spent within a project
18 are made available to other investments within the
19 portfolio.

20 MR. RUBENSTEIN: Does programs have contingency built
21 in?

22 MR. BOWNESS: No, programs are based on unit cost
23 estimates.

24 MR. RUBENSTEIN: And so we're only talking about
25 projects?

26 MR. BOWNESS: That's correct.

27 MR. RUBENSTEIN: And you said -- I'm sorry, how much
28 -- what percentage of the capital plan would you say were

1 projects? I didn't catch what you said.

2 MR. BOWNESS: So that proxy that I used for the
3 portfolio that I directly manage of approximately 20
4 percent would be across the -- would be a similar
5 percentage across the overall capital expenditure.

6 MR. RUBENSTEIN: So then wouldn't you say that if
7 we're using 40 percent as sort of an average over the last
8 three years, then of that 20 percent, 6 percent of that is,
9 you're over-forecasting the cost?

10 MR. BOWNESS: What I would say is that within our
11 project envelope we're using an industry practice of 10
12 percent of the estimates. A number of the estimates that
13 are within -- a number of the projects that are within the
14 five-year plan are planner's estimates, which are still
15 high-level estimates.

16 So we're really -- what I'm struggling with here is
17 we're talking about hundreds of thousands of dollars or --
18 I'd have to do the math on it, subject to check -- less
19 than a million dollars within a portfolio of a billion
20 dollars, so the percentage here, whether we set contingency
21 at 5 percent or 10 percent, doesn't have an impact on the
22 cost to execute the projects, nor does it overstate the
23 ask, because, as we know and we've seen in the evidence, is
24 that, you know, we have more work than we can afford to do
25 if you look at the deltas between Plan A and Plan B
26 modified, and any dollars that we can save within executing
27 work, we're going to reinvest in the assets that need
28 investment.

1 MR. RUBENSTEIN: I understood from the discussion we
2 had on the first day your plan is to spend roughly
3 \$3.5 billion of capital over this five-year plan.

4 MR. BOWNESS: Over the five years, yes.

5 MR. RUBENSTEIN: Yes, so if we take 20 percent of
6 that, which is the projects base, as I understood you're
7 saying, that's -- 20 percent of that is what we're talking
8 about in projects; do I understand that?

9 MR. BOWNESS: Would that be across the --

10 MS. GARZOUZI: Can I just point you to B-1-1, DSP
11 section 3.7, and that summarizes -- here you see a list of
12 the investment summary documents.

13 MR. RUBENSTEIN: Mm-hmm.

14 MS. GARZOUZI: So in the distribution business there
15 is a large number of programs or investments that are
16 demand in nature, and those do not have contingencies built
17 in. Programs would not have contingencies built in, and,
18 you know, you're honing in specifically into projects, but
19 if we look at this here, if you look at the large capital
20 spends, they are mainly demand drivers, which have no
21 contingency built in, or programs.

22 MR. RUBENSTEIN: Well, that's where I go back to the
23 question: What percentage roughly would you say of the
24 roughly \$3.5-billion in capital spending is projects that
25 have contingency built in that we're talking about in the
26 Staff 121? I thought it was 20 percent, but maybe I'm --
27 that was -- we're talking at cross-purposes.

28 [Witness panel confers]

1 MR. BOWNESS: So I want to make sure that we're not
2 mixing up data points across the overall capital
3 expenditure and the expenditure that's under operations,
4 execution, accountability. So the investments that take
5 place in our IT group as an example would have different
6 financials associated with use of contingency. This
7 contingency is specific to distribution, power system,
8 asset projects.

9 So if I look at 2018's expenditure, our overall
10 project budget for this year is \$145 million.

11 MR. RUBENSTEIN: For this year?

12 MR. BOWNESS: For this year. So if we were to take
13 this contingency element, it's with respect to that
14 \$145 million of projects.

15 MR. RUBENSTEIN: Okay.

16 MR. BOWNESS: Okay. So if we were to take 10 percent
17 of that \$145 million of projects, we would be at
18 \$14.5 million that's associated with contingency.

19 On average over the last four years, we've used 40
20 percent as opposed to 100 percent. So 40 percent of
21 14.5 million would be approximately \$6 million, rough math,
22 subject to check.

23 So within a five-year period we could say that there
24 could be upwards of \$30 million of contingency that could
25 be redirected to other investments in order to move back
26 towards our asset needs that are identified under a plan A
27 model.

28 MR. RUBENSTEIN: Sorry, that 30 million you're talking

1 about is the total contingency, or the unused contingency
2 that you would be re-directing?

3 MR. BOWNESS: So the way I did the math was
4 14.5 million annually of contingency, and we said that on
5 average, right now we're having 6 million of unused
6 contingency within the year.

7 So over a five-year filing against the \$3.5 billion of
8 spend, there is a, subject to check, 1 percent variability.

9 MR. RUBENSTEIN: And that one percent over the five
10 years equals about 30 million?

11 MR. JESUS: Yes.

12 MR. RUBENSTEIN: So in essence, you have overstated
13 the overall capital plan based on what is actually likely
14 to occur in terms of how you've costed by \$30 million,
15 correct?

16 MR. BOWNESS: No, what I would say is that it is a
17 best practice to have contingency identified for projects.

18 If I think about our major capital project work
19 program on the transmission side of our business, we use 10
20 percent as an industry standard percentage. And if I look
21 at the distribution side, we're doing something similar.

22 The fact that we're seeing in the last number of years
23 that we're using less contingency is an opportunity for us
24 to refine our estimates as we go into projects, to improve
25 the estimating aspect.

26 However, if you look at years 2, 3, 4 and 5, those
27 projects haven't gone through project estimating yet. So
28 it is a culmination of historical averages of actual spend,

1 that the planning group uses to identify the portfolio of
2 work.

3 So if I think about 2019 through 2022, planning on a
4 project-based item is saying we're going to do X number of
5 units for a historical average of Y dollars.

6 The Y dollars would be based on actuals, so it would
7 be based on actual contingency use. So I don't think it's
8 fair to say that the overall portfolio is over estimated by
9 30 million. What we were purely doing is if we projected a
10 contingency utilization going forward, that would be the
11 rough math that we looked at.

12 MR. RUBENSTEIN: But as of today, when you're
13 forecasting the cost for the next five years, it is based
14 on the costing that you have now.

15 MR. BOWNESS: The forecast for the next five years,
16 for years 2 through 5, are based on planners' estimates
17 which are based on actual expenditure, which would reflect
18 actual contingency utilized, not planned contingency.

19 MR. RUBENSTEIN: So am I then to understand where it
20 says you allocate a standard 10 percent, that's not
21 correct. What you are allocating is 40 percent?

22 MR. BOWNESS: When we get to a project and we develop
23 a new business case, we initiate -- we initially set the
24 contingency at 10 percent. But there's a number of
25 investments that aren't at the business case yet, so they
26 are in macro. The portfolio is assessed based on actual
27 expenditure, which would better reflect actual contingency
28 utilization, which over the last five years, per the

1 exhibit -- where did it go? -- would be closer to, I would
2 say, 65 percent.

3 DR. ELSAYED: I'm not sure if I understand this.
4 You're talking about projects that are lower than -- cost
5 less than \$5 million.

6 MR. BOWNESS: Yes.

7 DR. ELSAYED: And the ones that are greater than
8 \$5 million, you do a best case based contingency
9 evaluation.

10 MR. BOWNESS: Yes, and going forward, we are going to
11 be doing detailed estimates on all our projects.

12 DR. ELSAYED: But right now, you do it for greater
13 than \$5 million projects.

14 So for the less than 5 million, do you allocate the
15 same contingency to projects that are going to be executed
16 in the next month, the same as you would for one that would
17 be executed five years from now?

18 MR. BOWNESS: So the methodology we use around
19 contingency use is as a project gets closer to in-service
20 date, the contingency is released back to the portfolio.

21 DR. ELSAYED: Sorry, I'm not talking about the
22 execution. I'm talking about your plan. You have 100
23 projects planned for the next five years, and each project
24 in your portfolio has a contingency associated with it.

25 Would the contingency associated with a project
26 planned for 2019 be the same as one that's planned for
27 2022?

28 MR. BOWNESS: So a project that would be executed in

1 2019 would be going through, under our new process, an
2 estimate. I would say a project that's under execution
3 right now would have gone through a thumbnail sort of
4 approach of the 10 percent.

5 So if you look at a project that's in 2022, it hasn't
6 gone through an estimate. It is still a planner's
7 estimate, so it's based on -- this is a similar project to
8 what we did in 2016, similar scope, and they would say
9 that, you know, based on that type of project, it's a
10 \$2 million project because that's what the actuals were two
11 years ago with some escalations for inflation.

12 So it wouldn't get down to the level of detail of
13 planning project management, engineering, construction,
14 materials, fleet, equipment, labour contingency. We don't
15 get to that level of detail until we're at the point of
16 triggering the project from an execution perspective.

17 DR. ELSAYED: Would you do the same thing with
18 projects that are over \$5 million?

19 MR. BOWNESS: So right now we only have one project
20 that is over 5 million, the Leamington project that we're
21 working on. So we went through a very detailed bottom-up
22 estimate on all the different activities and we did a -- we
23 do a risk assessment associated with that to figure out
24 what is the likely areas of risk, what's the impact of that
25 risk, the probability of that risk, and then we would set
26 contingency based on the overall risk profile of that
27 project.

28 DR. ELSAYED: Thank you.

1 MR. RUBENSTEIN: May I ask about vegetation
2 management. Obviously we had a lot of discussion on the
3 last panel with Mr. Tankersley, but I'd like to discuss the
4 program from your perspective.

5 If we turn to page 134, as I understand it, the
6 vegetation management budget for 2018 that you are
7 requesting is \$149.6 million. Do I have that correct?

8 MR. BOWNESS: Yes, that's correct.

9 MR. RUBENSTEIN: And that's the largest single OM&A
10 project, correct?

11 MR. BOWNESS: Vegetation management is a program.

12 MR. RUBENSTEIN: Sorry, that's the single largest
13 program that you do?

14 MR. BOWNESS: Yes, that's correct.

15 MR. RUBENSTEIN: As I understand it, based on the
16 evidence when you originally filed, at that point you had
17 already made a number of changes compared to the last
18 proceeding; do I understand that? It's described on page
19 139 if you...

20 MS. GARZOUZI: Yes, just a bit of context on this.

21 The previous method in the last rate filing was more
22 about clearing ground and wall corridor for the right of
23 way, so wider clearing, longer cycle.

24 What was in the pre-filed, I'm going to call it the
25 hybrid approach. So it was keeping some circuits, mainly
26 main trunks, higher criticality segments of the
27 distribution system on circuit to get efficiencies from
28 being on cycle.

1 And then we have what we discussed with Mr. Tankersley
2 in Exhibit Q, which is the optimal cycle protocol, just
3 taking that a step further, and cycling through the
4 province on a three-year cycle and focusing on the high
5 criticality defects, foregoing the low criticality defects.

6 So those are the three -- so in pre-filed, what you
7 read in C11, schedule 2, what's described in that section
8 is that hybrid approach, in Exhibit Q what is described as
9 the optimal cycle protocol.

10 MR. RUBENSTEIN: Well, if we could just go to page
11 139, you actually summarized the prefiled evidence as a
12 lead-up to explaining how you changed to the optimal cycle,
13 and that's what you're talking about at line 16 to 22?
14 That's what you were discussing. That's how you move from
15 the last proceeding, the 416 proceeding approach, to the
16 prefiled evidence, correct? That's just a quick summary, I
17 think, of what you were just discussing; do I have that
18 correct?

19 MS. GARZOUZI: That's correct.

20 MR. RUBENSTEIN: And if we go back to page 134, this
21 is a table, as well, comparing past vegetation management
22 OM&A to the test year, and also versus forecast versus
23 approved, correct? That's what Table 5 is showing us?

24 MR. BOWNESS: Yes.

25 MR. RUBENSTEIN: And when I look at this table, what I
26 see is you spent less than what you were approved every
27 year, is that correct, in the last -- the 2015 to 2017
28 plan?

1 MR. BOWNESS: Yes, that's correct.

2 MR. RUBENSTEIN: In fact, would you take it subject to
3 check that the average -- that you spent on average
4 \$19 million less per year, about 12.5 percent less?

5 MR. BOWNESS: We spent \$11 million less in 2015 and
6 \$22 million less in '16 and 25 less in '17, so if that
7 averages out to the number you mentioned, then, yes.

8 MR. RUBENSTEIN: Now, am I correct that based on your
9 internal numbers in September you actually forecasted not
10 to spend the \$142.9 million on Table 5 for 2017; correct?
11 You can see that on page 138? You actually forecast to
12 spend, in September of that year, \$129.3 million.

13 [Witness panel confers]

14 MR. RUBENSTEIN: I'm looking 2017, year-end actuals,
15 129.3, and the two --

16 MR. BOWNESS: I'm just clarifying timing --

17 MR. RUBENSTEIN: -- services, 2017 forecast --

18 MR. BOWNESS: Yeah, I'm just clarifying timing. My
19 understanding is the timing of the 142.9 million was June's
20 forecast and the 129.3 would have been our September
21 forecast.

22 MR. RUBENSTEIN: Do we know what your actual actuals
23 were for that year, what you ended up spending? I'm not
24 sure I saw that number on the record, actually, for this
25 specific program.

26 [Witness panel confers]

27 MR. BOWNESS: We do have the information in our
28 financial records. I'm just -- we're just trying to find

1 where we have it in evidence. Just give us a moment,
2 please.

3 [Witness panel confers]

4 MR. BOWNESS: So within the evidence update I think we
5 are rolling it in under the sustainment line within I, tab
6 -- Exhibit I, tab 38, SEC 70. However, looking within our
7 financial records, we did end up with our DX forestry OM&A
8 line item coming in at 129.4 million, which is very similar
9 to what was in the September forecast.

10 MR. RUBENSTEIN: Now, if I look at this table I see
11 that for 2016 and 2017 -- so we have an OEB-approved number
12 at the top, that's what the Board approved, then we have
13 the HONI-approved budget. Do you see that? So that's a --
14 you -- the board gave you an amount, and then you revised
15 that amount annually, correct?

16 MR. BOWNESS: Yeah, as a part of our annual budgeting
17 process and business planning process, there are sometimes
18 changes within different work program items, so, yes, there
19 was a change in what was in 2017's plan as compared to the
20 OEB-approved amount.

21 MR. RUBENSTEIN: Same with 2016, correct?
22 164.6 million was approved, but the HONI-approved budget
23 was 145.7?

24 MR. BOWNESS: Yeah, and if we look at the -- Table 1
25 on page 138 of your compendium, there is a footnote down at
26 the bottom with the one asterisk. That's the discrepancy
27 between the OEB-approved amount and the HONI-approved as
28 due to redirection to customer care and trouble calls, so

1 those were the redirection decisions that were made in that
2 year. That's where the dollars were spent.

3 MR. RUBENSTEIN: And yet even with the revised budget,
4 you underspent in 2016 and 2017 versus your own revised
5 approved number, correct?

6 MR. BOWNESS: Umm... Slightly, yes, in 2016, and in
7 2015 it was a more significant underspend. However, we did
8 accomplish all of the units that year, so you will notice
9 that we did accomplish 10,366 kilometres against a planned
10 of the OEB units of 10,200, so we were able to execute the
11 commitment we had from a unit perspective, even though we
12 spent some less money in that calendar year.

13 MR. RUBENSTEIN: And is that why you underspent,
14 because you hit the target and then that was it?

15 MR. BOWNESS: I'm not able to speak to the reasons for
16 that. I wasn't accountable for the team at that time.

17 MR. RUBENSTEIN: Because my understanding as part of
18 the evidence is we can't really compare the units from the
19 last times. It's a different -- you are doing different
20 things.

21 MR. BOWNESS: It is. There is three stages to our
22 maturity with our evolution with respect to the vegetation
23 management strategy. We had a historical approach which
24 was very much corridor clearing, which was the '15 and '16
25 period.

26 In 2017 we made some adjustments to working towards
27 corridor clearing, key feeder clearing, as well as hazard
28 tree identification and clearing with respect to hazard

1 trees.

2 And then in September of 2017 we did make the
3 transition over to our new optimal cycle protocol approach,
4 so 2017 definitely has a few different models that are in
5 place. So it is difficult to compare year-over-year
6 numbers.

7 MR. RUBENSTEIN: Well, that's why I asked about why
8 you underspent, and you said you achieved the -- at least
9 what I heard you see say, and maybe I was incorrect, that
10 you achieved the number of kilometres, but --

11 MR. BOWNESS: That's part of the reason. When we look
12 at redirection we look at the goals and the outcomes and
13 the objectives of what we're accomplishing on a monthly
14 basis. We work with our planning group around variances
15 that we are seeing, and we are also approached with respect
16 to redirection requests for other areas of the business
17 that are dealing with variances, and we make some strategic
18 decisions in a year around how to handle those variances.

19 MR. RUBENSTEIN: I took it you said you weren't
20 responsible, so do you actually know? It's fair if you
21 don't know.

22 MR. BOWNESS: So when I was referring to not knowing I
23 was referring to the 2015 year.

24 MR. RUBENSTEIN: Okay.

25 MR. BOWNESS: I've been a member of the leadership
26 team for the last few years, so I am familiar with the
27 changes specifically in 2017. And I did take over
28 accountability for the distribution group in August 2017.

1 MR. RUBENSTEIN: So then the reason that you
2 underspend compared to your own budget in 2017 was...

3 MR. BOWNESS: So there were a few factors at play
4 within the 2017 year. One factor -- so there's a couple of
5 deltas, right. There is the delta between the OEB-approved
6 amount of the 167.3 and the budget of 138.5; we spoke to
7 that.

8 The delta between the 138.5 and the year-end actuals
9 of 129.3 is driven based on our ability to accomplish the
10 outcomes, i.e. the work units that we wanted to accomplish
11 for lower cost within that year.

12 MR. RUBENSTEIN: I thought on the capital side, you
13 keep saying -- when we were talking about contingency, if
14 there is contingency left over, we do more work. But is
15 that different on the OM&A front? Because here you had
16 less -- you've said you achieved your work, but you didn't
17 do more.

18 MR. BOWNESS: Yes. So when we look at OCPA, in
19 particular in 2017, we didn't have the ability to ramp up
20 and deliver more units under the OCP strategy within the
21 year.

22 We were wanting to make sure we were prudent and we
23 were taking our time to get it right. So we executed a
24 plan between September and December to clear approximately
25 5,000 kilometres under the new OCP strategy, but we wanted
26 to make sure that we were getting it right.

27 If I was to fast forward to where we are now, if we
28 are able to accomplish the work program for less dollars,

1 what we would then do is we would go back to planning and
2 we would say we have an opportunity where we are able to
3 accomplish the outcomes. How would we like to best utilize
4 that additional funds. And it would go into redirection to
5 say one option is to do more units of vegetation
6 management. Another option is to redirect that funds over
7 to other areas of the business.

8 MR. RUBENSTEIN: So at no point, if you have funds
9 left over, do you -- is Hydro One going to keep it for its
10 shareholder?

11 MR. BOWNESS: From the process going forward with the
12 renewed regulatory framework, right, we have the ability to
13 over-earn if we accomplish to the objectives and the
14 outcomes that we have.

15 So if we get to the point where we're able to deliver
16 on our metrics and our outcomes and we earn some additional
17 funds through productivity improvements, we have the
18 ability to over-earn during the rate filing period and then
19 up to a certain percentage of basis points -- I think it's
20 100 if I'm going from memory, subject to check -- that
21 anything beyond that is shared with our customers.

22 MR. RUBENSTEIN: I'd like to move on to the optimal
23 cycle protocol. I think that's the OCP you are speaking
24 of.

25 MR. BOWNESS: There's a few names for it. But sure,
26 optimal cycle protocol is fine.

27 MR. RUBENSTEIN: So as I understand it, after the
28 filing of the application, you continued to work with Clear

1 Path, and you worked with them to come up with a more
2 efficient and better method of vegetation management,
3 correct?

4 MR. BOWNESS: That's correct.

5 MR. RUBENSTEIN: And the new approach is reflected in
6 the findings of the Clear Path 2017 report that Mr.
7 Tankersley spoke of -- spoke to on the previous panel,
8 correct?

9 MR. BOWNESS: Yes, the final report was issued in
10 November of 2017. But we were working with them as we
11 transitioned to this new protocol during the September
12 timeframe. We got into a pilot phase of implementing the
13 new OCP protocol.

14 MR. RUBENSTEIN: And the first time that you provide
15 this new optimal cycle approach to the Board is in the
16 Exhibit Q update, correct?

17 MR. BOWNESS: Yes, we provided an official update and
18 change in program approach in November. We were piloting
19 the work during the September and October timeframe. But
20 until we sought Board approval on the overall program, we
21 weren't able to commit to the full transition to the
22 optimal cycle protocol.

23 MR. RUBENSTEIN: If we turn to page 129 again, this is
24 the section where you start talking about that new proposal
25 over the next couple of pages, and the heading on that page
26 is "changes that do not impact revenue requirement - change
27 in vegetation management strategy". Do you see that?

28 MR. BOWNESS: Yes, I do.

1 MR. RUBENSTEIN: So the change in your vegetation
2 management process, the optimal cycle protocol, had no
3 change in the 2018 vegetation management budget that you
4 are requesting, correct?

5 MR. BOWNESS: So the approach that we took with the
6 optimal cycle protocol was to align -- was to look to
7 target to align the financial costs in line with the as-
8 filed evidence within this proceeding.

9 If you see within the compendium that you have -- you
10 don't appear to have the additional material, so maybe we
11 could pull it up on the screen. Within SEC.4, it has the
12 additional materials that were shared with the Board and
13 there is a visual there that I'd like to draw upon to speak
14 to how we handle the financials.

15 Sorry, did you get that one? It's the attachment and
16 it's slide 5 -- sorry, it's attachment 4. There's a number
17 of attachments.

18 And then if you scroll down to the attachment within
19 this, it's the last page -- keep going, please.

20 So what you'll see here is that this is the overall
21 financial expenditure within the vegetation management
22 program, and you'll see for 2018 through 2021, the
23 financial numbers. They're rounded off, but the 149.6,
24 which I think we referred to in one of the other exhibits,
25 is the \$150 million line item that's flagged in the 2018
26 column.

27 What we did in order to achieve this is we made some
28 strategic shifts in the type of work that we would do in

1 years 1 through 3 versus year 4 and 5.

2 And that's reflected in the increased red bars, which
3 is our high skilled labour with respect to clearing, and
4 the grey bars, which is with respect to our public safety
5 reliability brush work as we've referred to it.

6 We're prioritizing doing the cycle clearing work in
7 years 1, 2, and 3 in order to get control of the overall
8 corridors across the entire province, and then we're
9 planning on catching up on some of the brush work that we
10 deferred for on-road brush work out to years 4 and 5, in
11 order to balance to the approximate \$150 million of annual
12 expenditure.

13 MR. RUBENSTEIN: So you introduced a different
14 vegetation management process that has lots of benefits.
15 And yet you didn't go back and say, well, maybe we can
16 change the budget because of this. Maybe there are
17 different things we can do. There's just not a dollar
18 change in the request for 2018, correct?

19 [Witness panel confers]

20 MR. BOWNESS: So in an ideal scenario from an asset
21 perspective, we he would have come back to ask for more.

22 If you look at the brush work that we're deferring to
23 2021 and 2022, that approximate 10 to \$15 million of brush
24 work that we're deferring to those years, we would have
25 executed that in 2018, 2019 and 2020. So the ask for '18,
26 '19 and '20 would have been higher, and then we would have
27 seen that in 2021, the overall program would be more
28 aligned with the 135 million go forward number that you see

1 in 2023.

2 However, we looked at this from a cost impact and a
3 rate impact perspective, and we didn't feel that it was
4 appropriate to increase our ask and increase rates that
5 would be paid for by the customers. And rather than that,
6 we balanced it with being able to spread the work over a
7 five-year period.

8 MR. RUBENSTEIN: And we're talking about OM&A dollars
9 here, correct?

10 MR. BOWNESS: Yes.

11 MR. RUBENSTEIN: Was there any change in the capital
12 budget over the next five years because of the new optimal
13 cycle protocol?

14 MR. BOWNESS: No.

15 MR. RUBENSTEIN: Now, we had a discussion with Mr.
16 Tankersley and I took him to his report -- sorry, there was
17 discussion -- Mr. Sidlofsky had a conversation with him on
18 Tuesday, and maybe we can just pull up the transcript.
19 This is volume 6, pages 103 and 104.

20 Could we go down to line 20 on page 103 first? Mr.
21 Sidlofsky says:

22 "Thanks, and I apologize, sir, I don't have this
23 in my compendium."

24 But at the bottom of page 12 of your November 10th
25 report, you state that:

26 "Improvements in the tree-related reliability can
27 lead to significant savings in other lines of
28 business. A reduction in the number of outages

1 results in less straight time and overtime
2 payroll for call-centre staff, trouble man, and
3 line crews. Additionally, there are avoided
4 costs associated with the reduced number of
5 damaged facilities. Do you recall that
6 statement?"

7 Mr. Tankersley says: "I do." Mr. Sidlofsky then
8 says:

9 "And based on your experience, I'd like to ask
10 you to describe some typical reductions in
11 damaged facilities, so types of facilities that
12 could be spared as a result of improvements in
13 the tree-related reliability."

14 And Mr. Tankersley said:

15 "Well, this is -- you can look at this in two
16 areas, storm events and non-storm events. They
17 both occur. In storm events you have many more
18 occurrences of this happening. In storm events,
19 particularly, as many as 50 percent of all
20 interruptions may be attributed to vegetation.
21 For a more effective vegetation management
22 program you are going to reduce that
23 significantly, and this would be poles down,
24 wires down, everything from a single customer up
25 to a major customer. It is the response time for
26 the trouble and for the line maintenance and
27 construction. I mean, it can impact a lot of
28 different areas."

1 Do you see that?

2 MR. BOWNESS: Yes, I do.

3 MR. RUBENSTEIN: And so do you not agree with Mr.
4 Tankersley that there would be a reduction in storm damage
5 and trouble calls?

6 MR. BOWNESS: We fully agree with that statement, and
7 maybe we could go back to the cost saving projections that
8 we have in this exhibit that's up right now, if we could
9 just scroll up one page -- sorry, two pages.

10 If you see within this, you will see the cost-savings
11 line item, and we're anticipating once we get through the
12 optimal cycle protocol through cycle and a half, and Mr.
13 Tankersley spoke to this, is that until we get a
14 significant amount of the territory under -- the defects
15 cleaned up and the territory under control, at that point
16 you will start to see incremental benefit.

17 What we have done is we've modelled out what we
18 believe that savings is, and we believe it's somewhere
19 between 6- and \$12 million in annual savings, but that
20 doesn't kick into that level until we're outside of this
21 five-year window because of the time line to implement OCP
22 and get across the territory.

23 We have included some benefits as we're ramping up
24 over the next number of years in our productivity goals and
25 objectives, and what will end up happening with those
26 savings as they ramp up from, I think we have a few hundred
27 thousand dollars this year, is that we'll see that our
28 trouble budget will hopefully come down marginally over

1 this planning period.

2 What we're talking about, a few hundred thousand
3 dollars in the context of an \$80 million line item, so we
4 didn't feel that there was a significant impact on that
5 line item to suggest a budget update, but we are committing
6 down the road to driving the 6 to 12, plus an incremental
7 \$20 million in savings starting in 2023.

8 MR. RUBENSTEIN: Can I turn to you page 137 of the
9 compendium. This is from that same document.

10 So two things I see. First I see a reduction in SAIDI
11 every year. And I see under the first bullet point you
12 say:

13 "Reduced program budgets compared to 2017 OEB-
14 approved budget. A further 20 million reduction
15 starting in 2020 after the strategy has
16 stabilized."

17 I think that's what you just said. Then I read:

18 "Gradual reductions in trouble calls stabilizing
19 in 2023 and resulting in a 6- to \$12 million
20 reduction."

21 So I read that as in of 2023 we could see a 6 to
22 12 million dollar reduction; is that correct?

23 MR. BUCKSTAFF: That's what we're looking to achieve,
24 yes.

25 MR. RUBENSTEIN: Okay. But between the zero, which is
26 now, and the 6- to 12 million in 2023 that just falls
27 outside of this term plan, wouldn't we see a line from zero
28 to 6 to 12 being that gradual reduction in trouble calls

1 and...

2 MR. BOWNESS: Yes, and that's the gradual reduction
3 that I spoke to that is starting with a few hundred
4 thousand dollars this year and will gradually increase to
5 \$6 million by the 2023 period. However, as Mr. Tankersley
6 spoke to, is that we have a significant number of defects
7 that are within the system, so the first cycle is to clean
8 up the defects that we have, as well as handle the items
9 that are becoming defects, and then as we start into year
10 four and five we really start to get control of the
11 corridors, and that's where we're going to see the more
12 significant improvement in reduction in trouble calls.

13 MR. RUBENSTEIN: So in 2021, 2022, we'll have an
14 amount of, you expect something less than \$6 million,
15 correct?

16 MR. BOWNESS: That's correct.

17 MR. RUBENSTEIN: But you have not budgeted that into
18 the -- you have not made an update to the evidence where
19 you have reduced the trouble-call budget, capital budget,
20 for those years?

21 MR. BOWNESS: No, this is very early days with our OPG
22 OCP program. We're six months into the program. We are
23 seeing some early indicators of positive success, but until
24 we have more of the corridor cleaned up and we see the
25 actual results, we don't think it is prudent at this time
26 to forecast a definitive dollar amount out four to five
27 years.

28 MR. RUBENSTEIN: Now, we had -- there was a discussion

1 on panel 1 -- there was a lot of discussion on panel 1
2 about the capital plan being brought to the board of
3 directors with -- originally with a Plan A recommendation,
4 and they sent it back, and you ended up with a Plan B
5 modified; do you recall those discussions? I'm not sure if
6 you generally refer to them.

7 MS. BRADLEY: Yes.

8 MR. RUBENSTEIN: And if we turn to page 145, as I
9 understood at least at the time that it went to the board
10 of directors -- you see this starting at paragraph 6 -- as
11 I understand, it was a rates increase in 2018 of 5.4
12 percent, correct?

13 MS. BRADLEY: Correct.

14 MR. RUBENSTEIN: And what Plan B did is -- was:

15 "It was developed that would maintain overall
16 forecast system reliability at current levels
17 while continuing to offer discrete power quality
18 reliability improvements for certain segments of
19 the network."

20 Do you see that?

21 MS. BRADLEY: Yes, I see that.

22 MR. RUBENSTEIN: So I took it that the board of
23 directors approved a plan that would essentially maintain
24 overall forecast system reliability at current levels while
25 continuing to offer discrete power quality and reliability
26 improvements to certain segments of the network. That was
27 how they landed on a plan and why they supported Plan B
28 modified. That got them the rate increase that, in their

1 view, was reasonable.

2 MS. BRADLEY: The discussions that we had with the
3 board and that are documented in the board documents in the
4 application or in the undertakings talk about the condition
5 of assets and maintaining the condition of assets with Plan
6 B modified. It does talk about maintaining reliability and
7 considering the rate impact to customers, yes, but
8 maintaining the condition of our fleet and not enabling it
9 to deteriorate is a factor as well as the reliability
10 impact.

11 MR. RUBENSTEIN: And the reliability, the sort of zero
12 system impact, was based on the table -- Table 4 on page
13 145 of the compendium and Table 5 on page 146. That's how
14 you got to it, and that's -- you see those tables also in
15 the materials to the board of directors, correct?

16 MS. BRADLEY: Correct.

17 MR. RUBENSTEIN: And you've provided a breakdown of
18 how you calculated those percentages in the programs, and
19 I've included some of that at page 147 through 149,
20 correct? That's what this is supposed to show, you were
21 explaining?

22 MS. BRADLEY: Correct.

23 MR. RUBENSTEIN: Okay. I want to just make sure I
24 understand the table.

25 So if we can go -- if we could look at the table,
26 looking at SAIDI at page 145, it says:

27 "Vegetation management outages contribute 27
28 percent to SAIDI on average between 2013 and

1 2015."

2 Do I have that?

3 MR. JESUS: That's correct, the tables have been --
4 that's correct, the tables have been updated as per the
5 Energy Probe I-18-0-17 and submitted today as part of the
6 undertaking with all the recent updated numbers.

7 MR. RUBENSTEIN: No, I understand, I just want to --
8 these were the ones that went to your board of directors.
9 I just want to use these for the purpose of the discussion.
10 We'll get to the Energy Probe one after.

11 But am I correct, when we talk about vegetation
12 management outages, that's tree contact outages, correct?

13 MR. JESUS: That's correct.

14 MR. RUBENSTEIN: And it says the SAIDI average of 7 --
15 and the total SAIDI average is 7.3 hours, correct? Do you
16 see that at the top? It excludes force majeure and loss
17 of --

18 MR. JESUS: That's correct.

19 MR. RUBENSTEIN: And then the vegetation management
20 portion is 1.8 hours, correct?

21 MR. JESUS: That's correct.

22 MR. RUBENSTEIN: Would you agree with me that 27
23 percent of 7.3 is not 1.8?

24 [Witness panel confers]

25 MS. GARZOUZI: Can you repeat your question?

26 MR. RUBENSTEIN: You would agree with me that 27 per
27 cent of 7.3 is not 1.8?

28 MS. GARZOUZI: That's correct.

1 MR. RUBENSTEIN: Twenty-seven per cent of 7.3 is about
2 1.97; do I have that right?

3 MS. GARZOUZI: That's right.

4 MR. RUBENSTEIN: And I'd ask you if we could bring up
5 -- if we could have this brought up since I accidentally
6 did not include it in my compendium, if we can bring up 24
7 AMPCO 13.

8 If we can go to slide 13 -- sorry, my apologies. If
9 we can move to table 13, that's on page 5. So this was
10 taking a look at the average between 2013 and 2015, the
11 table 4 on the original -- on page 145, correct?

12 MR. JESUS: Yes, that's correct.

13 MR. RUBENSTEIN: And if we look at tree contacts
14 between 2013 and 2015, you'd agree with me that the average
15 is higher than 1.8? That is located in table 4.

16 MR. JESUS: That's correct, except the table -- the
17 table that you keep referring to excludes loss of supply
18 entirely. So the line item as shown in table 3 does have a
19 loss of supply, so when you include the loss of supply, all
20 the numbers come down by about -- loss of supply
21 contributes by approximately 5 per cent.

22 So the tables referred to exclude loss of supply
23 entirely, which would bring up the percentages. So it's
24 not -- you're not comparing like for like in that
25 particular example.

26 MR. RUBENSTEIN: I'm not sure I understand. I
27 understand that table 4 doesn't include loss of supply.
28 This is from the materials you provided to the Board in the

1 pre-filed evidence.

2 MR. JESUS: So table 13 shows a line item. You can
3 see that line item as loss of supply, and that's about .43.

4 In the tree contacts of 2.98, that is true. That is a
5 contribution due to tree contacts, but there may be a
6 portion associated with the loss of supply, if you will.

7 But at the end of the day, these tree contacts --
8 this table that you have in front of us excludes FM, but
9 the loss of supply line item is shown explicitly.

10 MR. RUBENSTEIN: I don't understand. Loss of supply
11 is its own category?

12 MR. JESUS: That's correct.

13 MR. RUBENSTEIN: So it is in the tree contacts. It is
14 in its own category.

15 MR. JESUS: That's correct.

16 MR. RUBENSTEIN: So if I look at just tree contacts
17 and both tables exclude force majeure, your tree -- the
18 average I get is 2.08 over those three years, not the 1.8.

19 MR. NETTLETON: Mr. Rubenstein, I thought we
20 established with the witnesses that the 1.8 was an
21 incorrect error, it was made in error.

22 The 27 per cent of the 7.3, I thought you said was
23 1.9.

24 MR. RUBENSTEIN: So I was --

25 MR. NETTLETON: You kept referring back to the 1.8, so
26 I'm just wanting to make sure what you are referring to.

27 MR. RUBENSTEIN: No, but if we take 27 per cent of the
28 7.3, we get 1.94. And that's also not the same as the

1 difference between 2013 and 2015 average.

2 There are two errors, or at least two different things
3 that are both wrong.

4 MR. JESUS: So as I tried to indicate previously, Mr.
5 Rubenstein, we want -- the table has been updated in Energy
6 Probe 17. So we should be focused in on the correct
7 numbers that are shown there, and those numbers are
8 different from the tables that you are showing in tables --
9 the attached tables that you are referring to.

10 MR. RUBENSTEIN: No, I understand. But I want to --
11 I'm trying to -- this is what you showed to your board of
12 directors, correct, the tables 4 and 5?

13 MR. JESUS: That's correct.

14 MR. RUBENSTEIN: So understanding that there is an
15 error in that table seems to be different, because that's
16 what they had in their materials, correct?

17 MR. JESUS: That's correct.

18 MR. RUBENSTEIN: And if you understate the SAIDI
19 contribution in tables 4 and 5, would you agree with --
20 would that have a positive or a negative impact on the
21 total SAIDI at the end, changes in SAIDI.

22 If the SAIDI contribution was correct and it was
23 higher than 1.8, would that have changed the overall for
24 plan B estimated impact to SAIDI in a positive or negative
25 direction?

26 MR. JESUS: So the overall impact of tree contacts,
27 excluding force majeure over the last five years, without
28 FM, without loss of supply, is actually 25 per cent of the

1 contribution. So right now, we're showing 27 and that's
2 over the period 2013 over to '17, correct?

3 So over that period of time, the tree contacts
4 represent roughly 25 per cent of the related outages
5 contributing to SAIFI, and 47 per cent contributing to
6 SAIDI.

7 So if we were to include 47 per cent in that number
8 from tree contacts alone, it would drive up the number
9 significantly.

10 MR. RUBENSTEIN: The impacts -- sorry, is it -- the
11 overall reliability will increase or decrease?

12 MR. JESUS: If we were to put from a SAIDI point of
13 view, the contributions due to tree contacts, the overall
14 reliability would improve.

15 MR. RUBENSTEIN: All right. So if you had provided
16 what I would posit to you is a corrected version of this
17 table to your board of directors, it would have shown that
18 the work plan that you are proposing would have had a
19 better -- would have not a zero impact, but a positive
20 impact on SAIDI and SAIFI; is that correct?

21 MS. BRADLEY: Mr. Rubenstein, I don't see in our
22 material for our board of directors -- when we talk about
23 plan A, plan B, even plan B modified, there wasn't a lot of
24 focus. We weren't talking about, say, our new vegetation
25 management program. So the numbers would have stayed flat
26 across the board; in plan A, B, and B modified, they stay
27 flat.

28 So it wasn't a significant differentiator in the

1 different plans that we were proposing. If that upfront
2 number, the contribution to SAIDI number changes, it
3 changes the outcome for all plan scenarios.

4 MR. RUBENSTEIN: Yes, and I'm just trying to
5 understand if we put the proper SAIDI contributions in --
6 that's not the 1.8, and we don't change anything else, is
7 that going to show, with respect to plan B modified, an
8 increase compared to the zero per cent in reliability or a
9 decrease in reliability?

10 MR. JESUS: So can we turn to I18, Energy Probe 17, to
11 see the exact, what the -- because we would put the correct
12 number there.

13 So in Energy Probe 17, in I18 Energy Probe 17, the
14 correct number for vegetation-related outages over the
15 period '13 to '16 was approximately 7,000 outages per year,
16 and it contributed to SAIDI 31 per cent.

17 MR. RUBENSTEIN: No, I understand. But you're showing
18 me the update is -- because it updates 2013 to 2016
19 information; we have better information.

20 I'm more interested -- sorry, I'm interested in what
21 you showed the board of directors because I want to
22 understand, at that point in time, what the difference
23 would have made. We're going to get to talk about Energy
24 Probe's --

25 MR. BOWNESS: Sorry, if we could just bring this back.
26 So with the corrected numbers, the estimated impact to
27 SAIDI between plan A, B, C and B modified, if you look at
28 those numbers at 6 per cent, 3 per cent, negative 2 and 2.

1 Even with the numbers presented to the board in the
2 other exhibit, it was 6 per cent, 3 per cent, negative 2
3 and zero. So yes, there was a slight change with respect
4 to the plan B modified that the -- to the positive, is that
5 in plan B modified, there is an improvement to SAIDI based
6 on the updated numbers.

7 But the delta between A, B and C is unchanged, and
8 it's a very small percentage change in B modified.

9 MR. JESUS: Agreed.

10 MR. RUBENSTEIN: Focusing on 2013 and 2015, I'm going
11 to ask this one more time. Instead of 1.8, the
12 contributions were either 1.94 based on what is 27 per
13 cent, a corrected version of 27 per cent of 7.3, or it's
14 the data that I took you to in AMPCO 13 and that impact on
15 SAIDI contributions is an average of 2.08.

16 Is that -- would that have, based on your table and
17 your numbers, would that zero per cent for estimated impact
18 to SAIDI be a positive number or negative number, or would
19 stay the same? That's my question.

20 [Witness panel confers]

21 MR. BOWNESS: So just the summary of our discussion is
22 that, you know, vegetation management didn't have any
23 impact on any change in the estimated impact to SAIDI. If
24 you look at the exhibit with the updated numbers, other
25 items within the plan changed it positively by 2 percent,
26 but vegetation management being off 1.8 versus 1.97, it
27 would have affected all four plans the same way, because
28 there were no changes to vegetation management between the

1 plans.

2 MR. RUBENSTEIN: I accept that. But I'm just asking
3 about Plan B modified. I understand they may all go up or
4 they may all go down, but which direction is it going to
5 have that effect, up or down, positive or negative? Would
6 you agree with me that would have a positive impact if what
7 I would say is the correct SAIDI contribution, it would
8 have shown the board that your plan would have had positive
9 reliability impacts instead of zero.

10 MR. JESUS: So I guess maybe we need to understand how
11 we're arriving at the changes in the SAIDI. And the way
12 this works is you are taking each one of those planned
13 percentages that you see there, multiplying it by the
14 contribution, so the differences between the Plan A, B, C,
15 and B modified, based on what's included in each of those
16 investment plans for each of those plans, so for Plan A,
17 the pole improvement would be 12 percent, for Plan B the
18 improvement would be 9 percent, for Plan C it would degrade
19 by 19 percent, and Plan B modified it would improve by
20 7 percent.

21 So what we did is we looked at all the outages
22 associated with poles, stations, outlying components, and
23 vegetation management, and we multiply the contribution by
24 the improvement for each one of those categories, so you
25 take the 12 percent times the .5, the 9 percent times the
26 .2, the 10 percent multiplied by 1.6, and 8 percent times
27 2-point -- whatever the number is, 2.3, the contribution,
28 to arrive at what the estimated impact to SAIDI is.

1 So in that particular example, the table that you have
2 in front of you, the impact is 6 percent. And we ran the
3 numbers and we submitted the undertaking this morning, that
4 was provided again with complete math that we've provided.
5 The number ends up at being 7. So even with the new
6 tables, the original tables provided to the board show 6.9,
7 the updated tables as of this morning are showing 7, so
8 minuscule changes are being shown using the corrected math
9 based on the latest and greatest information.

10 MR. RUBENSTEIN: Can I ask you now, if we go -- and I
11 think you mentioned this -- we look at page 149, this is
12 the -- how you got the vegetation management in both the
13 Energy Probe interrogatory and Table 4 and 5, and this is
14 based on the prefiled method approach? Is that fair? It's
15 -- you have not updated this for the optimal cycle
16 approach, correct?

17 MR. JESUS: These tables --

18 MR. RUBENSTEIN: Yes.

19 MR. JESUS: -- have not been updated -- these tables
20 have not been updated with the revised optimal cycle;
21 that's correct.

22 MR. RUBENSTEIN: All right, and if we can turn to page
23 -- I'm sorry, I've got two things handy. First if we have
24 AMPCO 13 handy. And if we could have the information on
25 page 137 of the compendium handy.

26 In Energy Probe -- sorry, a few things handy here. If
27 I looked at -- from the evidence that you talk about in the
28 filing of the new information -- or the model, you have for

1 vegetation management from 2013 to 2016 the SAIDI
2 contributions of 2.3; is that correct?

3 MR. JESUS: That's correct.

4 MR. RUBENSTEIN: And if we go to page 137, so this
5 shows the forecast changes you expect over time, correct?

6 MR. BOWNESS: Yes, that's correct.

7 MR. RUBENSTEIN: And what I see is for 2022, which is
8 how you were doing your Table 4 and 5 in the Energy Probe
9 table, you expect to be at 1.39, correct?

10 MR. BOWNESS: With respect to tree-related SAIDI.

11 MR. RUBENSTEIN: And that's the same as the 2.3 we
12 were talking about in the table, correct?

13 MS. GARZOUZI: Yeah, so on that graph that you're
14 looking at, that black line shows the ten-year average,
15 that's correct, and there's two dotted lines, so the lower
16 one is the 40 percent improvement and the higher one, the
17 1.84, moving down to -- you know, it's way down -- is the
18 40 percent -- is the 20 percent, so that's the band in
19 which we expect improvement.

20 MR. RUBENSTEIN: Okay. Well, let's use the 40 percent
21 as an example, correct? And what I'm seeing here -- and
22 well -- I mean, you're -- sorry, the black line -- the
23 black bar is the individual year, that's...

24 MR. BOWNESS: No, the black bar is the ten-year
25 average.

26 MR. RUBENSTEIN: Sorry, I'm not talking about -- the
27 vertical line --

28 MR. BOWNESS: Oh, sorry.

1 MR. RUBENSTEIN: -- the vertical black line is the
2 individual years, correct?

3 MR. BOWNESS: The vertical blue line on the display,
4 yes.

5 MR. RUBENSTEIN: Okay. So let's look at 2022. I see
6 you're forecasting a 1.39.

7 MR. BOWNESS: Based on a 40 percent improvement, yes.

8 MR. RUBENSTEIN: Okay. And so if we were at 2.3 now
9 and you expect to be at 1.39, forecasting that on a 40
10 percent improvement in 2022, you would agree with me that
11 would be -- or would you take it subject to check --

12 MR. BOWNESS: 2.3 at 60 percent is 1.38, so that's how
13 we're getting to that rough number.

14 MR. RUBENSTEIN: It's about a 39.6 --

15 MR. BOWNESS: Rounded off, yes.

16 MR. RUBENSTEIN: -- it's a 40 percent increase, and if
17 we look at the SAIFI numbers that would be -- I understand
18 from Energy Probe 17 it's about 0.47 is -- sorry, 0.51 is
19 the -- or 0.5, I think, but it's -- 0.5 is what you have is
20 the 2013 to 2016 number, correct?

21 MR. BOWNESS: The red line on the display as well as
22 the ten-year average of SAIFI.

23 MR. RUBENSTEIN: Just on SAIFI, my understanding is in
24 the Energy Probe interrogatory your forecast -- you -- the
25 base forecast is 0.5. That's the number in the table.

26 MR. BOWNESS: Sorry, which line item are you pointing
27 to? Can you --

28 MR. RUBENSTEIN: Maybe the best thing is if we could

1 just pull up the Energy Probe interrogatory or best maybe
2 pull up Undertaking 6.1 that was filed today which has the
3 Excel spreadsheet. If we can just see it there.

4 It's my last area.

5 And let's move to part C. So these are the two
6 tables, correct? This is the tables from the Energy Probe
7 interrogatory, correct?

8 MR. JESUS: Yes, that's correct.

9 MR. RUBENSTEIN: Okay. So if we go down to SAIFI --

10 MR. BOWNESS: Yes, that's correct.

11 MR. RUBENSTEIN: -- the base is 0.5. That's the 2013
12 to 2016 average, correct? Vegetation management,
13 contributions to SAIFI?

14 MS. BRADLEY: That's correct.

15 MR. BOWNESS: Yes.

16 MR. RUBENSTEIN: And if we go back to page 137 of the
17 compendium, I'm eyeballing that you are forecasting by 2022
18 about half of that.

19 MR. BOWNESS: We're targeting a similar percentage
20 improvement on SAIFI as we are on SAIDI.

21 MR. RUBENSTEIN: So 40 percent?

22 MR. BOWNESS: Yeah, 20 to 40 percent.

23 MR. RUBENSTEIN: Okay. So let's go back to that Excel
24 spreadsheet. Do you see H -- I'm sorry, H25, the
25 8 percent? That's on the old method, the improvement,
26 right?

27 MR. JESUS: Correct.

28 MR. RUBENSTEIN: Let's change that to 40 percent,

1 because that's what you forecast. Can we do that?

2 MR. BOWNESS: Sorry, change it to?

3 MR. RUBENSTEIN: Forty percent, that's the 40 percent
4 improvement you are forecasting in 2022.

5 MR. JESUS: Maybe to help out...

6 MR. RUBENSTEIN: Sorry, can we change the number in
7 H25 from 8 to 40? Change that to 40.

8 MR. JESUS: 0.4.

9 MR. BOWNESS: Change it to 0.4. And you would have to
10 do that in plan A and B as well.

11 MR. RUBENSTEIN: You can just type it in right there.
12 I recognize that. I just want to understand the effects of
13 modified B.

14 So now the impact in SAIFI is going to be 7 percent,
15 not the zero percent before the board of directors or the
16 2 percent on the updated number. Using this model, your
17 own reliability model, you think the SAAIFI is going to be
18 7 percent, correct?

19 MR. BOWNESS: With our vegetation management strategy,
20 we have a very significant targeted improvement on SAIFI
21 and SAIDI with respect to the vegetation management
22 program. And if you look at how we've positioned the
23 updated scorecard, it is one of the drivers as to why we
24 are targeting to have improved reliability over the five-
25 year period.

26 MR. RUBENSTEIN: Can we move up that table to do the
27 exact same thing with respect to the SAIDI?

28 MR. JESUS: Again, there is an updated undertaking

1 that was submitted this morning that can take you exactly
2 what the improvement is going to be in J1.1.

3 MR. RUBENSTEIN: This is an undertaking.

4 MR. JESUS: This is the Energy Probe. The one we're
5 talking about is the one that we submitted with the rural
6 and the urban updates in J1.11.

7 MR. RUBENSTEIN: Let's just focus on this. Can we
8 change H10 from 8 percent to 40 percent? So now we're
9 going to have a -- based on the plan B modified you are
10 proposing, SAIDI is going to improve by not the zero
11 percent that you provided to your board, or the updated
12 number of 2 percent; it's going to be -- you're forecasting
13 12 percent, correct?

14 MR. BOWNESS: And this would similarly have impacted
15 plan A and plan B, because there were no changes to any of
16 those plans either during the board update. So if we're
17 changing one cell in the spreadsheet, I want to make sure
18 we're comparing apples to apples.

19 MR. RUBENSTEIN: I just want to compare how the -- as
20 the change to the cycle, how that just changed the plan B
21 modified, which is what your proposal is, correct, the plan
22 B modified which you're seeking approval for?

23 [Witness panel confers]

24 MR. BOWNESS: Sorry, can you repeat the question?

25 MR. RUBENSTEIN: It is plan B modified you are seeking
26 approval for in this proceeding? That's the capital plan
27 that underlies this application?

28 MR. BOWNESS: From a total capital envelope

1 perspective and a total OM&A, yes. But there is a
2 significant change in the strategy with veg management as
3 compared to the as-filed, which was the update in
4 Exhibit Q.

5 Sorry, as compared to the pre-filed evidence, and we
6 provided that update in Exhibit Q.

7 MS. BRADLEY: The one thing I would add is this is
8 exactly the direction that we took from the OEB's last
9 decision, where they told us to work to get better outcomes
10 without requiring significantly more money.

11 MR. RUBENSTEIN: My question is this: When you went
12 back to your board of directors showing them the optimal
13 cycle plan, did you not show them as well that actually
14 this is going to have this type of an increase on the
15 overall reliability that underlies this application?

16 [Witness panel confers]

17 MR. BOWNESS: So the board of directors is aware of
18 the impacts of the vegetation management strategy on our
19 reliability outcomes, one through the vegetation management
20 presentation that we're looking at right now, but also
21 through the updated targets that we have within our team
22 scorecard as a part of our corporate performance management
23 processes.

24 Did we go back and update the entire application and
25 every table and every evidence based on this? No, we
26 updated macro-ly with respect to -- we are able to keep
27 costs in line with what was submitted, with a long term
28 goal of \$30 million of savings within our vegetation

1 management strategy, with driving a 20 to 40 percent
2 improvement in reliability.

3 MR. RUBENSTEIN: If the goal from the board of
4 directors improving plan B modified was essentially to have
5 the rate increase that maintains overall forecast system
6 reliability at current levels while continuing to offer
7 discrete power quality and reliability improvements for
8 certain segments of the network. And based on the updated
9 numbers, that's going to have a significant increase in
10 reliability based on that, isn't there now room to adjust
11 the capital program to say we can even do -- we can get
12 more than they originally sought, but we have an ability
13 now to make changes to the overall capital plan to decrease
14 it to lower the initial and ongoing rate impacts?

15 MR. BOWNESS: So I think if you look historically, the
16 perspective was that the amount of dollars that would need
17 to be expended in order to improve reliability was
18 substantial and beyond what customers could afford.

19 We put forward an asset plan that had a capital
20 envelope that was maintaining reliability. Subsequent to
21 that, we came up with a new strategy on one work stream, on
22 veg management, where we were able to really challenge
23 ourselves to drive improved reliability for the same cost.

24 And that's what our board of directors heard through
25 the vegetation management update, and was very pleased that
26 within the same financial envelope, we were able to drive
27 an improved outcome.

28 MR. RUBENSTEIN: Why isn't it fair for this Board to

1 take from this updated evidence and say, well, originally
2 we were going to get -- for a certain rate impact, we were
3 going to have zero system impact. Now with this one
4 change, we're seeing SAIDI going from the zero percent that
5 was before your board of directors, to a 12 percent
6 increase, and SAIFI from a zero to 7 percent increase, why
7 can't there be something in the middle? A lower rate
8 impact adjusted capital plan and still some increase in
9 SAIDI and SAIFI? Why isn't that an appropriate approach
10 that the Board should take in reviewing this application?

11 MS. BRADLEY: In my view, that wouldn't meet the
12 objectives of the renewed regulatory framework where
13 customer focus, operational effectiveness, which includes
14 continuous improvement in productivity and cost performance
15 and delivering on system reliability and quality, public
16 policy responsiveness and financial performance which
17 includes financial viability and sustainable savings from
18 operational effectiveness, the renewed regulatory framework
19 encompasses all of that.

20 And having a degrading system that's going to impact
21 future generations, in my view, doesn't meet what we've
22 been asked to do in the renewed regulatory framework.

23 MR. RUBENSTEIN: I wasn't saying the Board should
24 approve a plan that has a negative reliability. I'm saying
25 now it appears to be that we have some leeway for the Board
26 to say, well, we can make some potential optimized or
27 reduction in the capital plan to lower the rate increases
28 for customers, and they can still get reliability

1 improvements.

2 That's a better deal than the original application you
3 filed.

4 MS. BRADLEY: But, Mr. Rubenstein, the plan that we've
5 put forward, the capital plan is geared to not enabling our
6 capital base or our assets to deteriorate. The vegetation
7 management program is not renewing our pole population, it
8 is not renewing our stations population. The capital
9 investments that are currently in the plan are required to
10 maintain and prevent further deterioration of those assets.

11 The vegetation management program, unfortunately,
12 isn't going to renew those assets.

13 MR. RUBENSTEIN: Thank you very much. Those are my
14 questions.

15 MR. QUESNELLE: Thank you, Mr. Rubenstein. Mr.
16 Stephenson?

17 **CROSS-EXAMINATION BY MR. STEPHENSON:**

18 MR. STEPHENSON: Thank you, Mr. Chairman, thank you,
19 panel. My name is Richard Stevenson, and I'm counsel for
20 the Power Workers' Union.

21 I just want to pick up on an issue that you were just
22 dealing with Mr. Rubenstein about, and this is regarding
23 this vegetation management issue and could you do it in a
24 way where you spent less money and got some, but not all of
25 the reliability improvement.

26 As I understand it, the key objective of your new
27 vegetation management strategy -- obviously, the ultimate
28 objective is about cost and reliability, correct? Those

1 are the key ultimate outputs, fair?

2 MR. BOWNESS: There are three main drivers, making
3 sure we're maintaining a safe environment with respect to
4 electrical hazards and trees, making sure that we have a
5 reliable system and that we're doing it cost-effectively.

6 MR. STEPHENSON: Fair enough. One of the means by
7 which you achieve those outcomes is to reduce the cycle,
8 right? That's a critical component, correct?

9 MR. BOWNESS: Reducing the cycle and changing the
10 approach dramatically to dead, diseased, to dying, decadent
11 trees.

12 MR. STEPHENSON: The change in approach gets you the
13 cycle, but I view that as a means by which you decrease the
14 cycle.

15 MR. BOWNESS: Yeah, they are definitely intertwined.

16 MR. STEPHENSON: So if you are spending less money on
17 your new program, aren't you -- there is a very serious
18 risk that you are not actually going to achieve the desired
19 outcome or what -- a critical part of the outcome, which is
20 to get back on -- to get on a new cycle. I mean, you have
21 to devote a certain amount of resources to break through
22 from your old practice and your old cycle to a new cycle;
23 isn't that fair?

24 MR. BOWNESS: Yes, a couple of drivers. One is to
25 clean up the backlog of defects and getting control of the
26 overall territory, but the other piece that I think is
27 really important is that this is an optimal -- an optimal
28 targeted approach. It is not just a shorter. So if you

1 could just bear with me to pull up one of the exhibits from
2 Mr. Tankersley report, where I would just like to make sure
3 that people understand the impact of growth in the three-
4 to four-year period.

5 So if we could pull up Exhibit Q within the -- let me
6 just make I've got this. So within Exhibit Q-1-1,
7 attachment 2. And it's page -- it's figure 6 on page 9.
8 One more page, sorry.

9 You will see -- what this picture is showing is that
10 this is the number of defects that we see since the circuit
11 was last cleared, and you will see that there is a
12 significant uptick between years three and four, so we
13 believe that if, on average, right, if we deferred work and
14 if we lengthened to the fourth year we would have a -- you
15 know, there is a 35 percent increase in the number of tree
16 contacts that occur between three and four. So this is one
17 of the main drivers we have for picking a three-year cycle.

18 The other piece is that we have to get around the
19 territory. We haven't been to certain areas of our
20 territory in eight, nine, ten years, and we want to get
21 around over a three-year cycle to get there once in the
22 next three years to each feeder, and then we're going to
23 reassess what's optimal going forward.

24 So Mr. Tankersley spoke to tree growth and species and
25 zones and such. We are capturing all this information over
26 the next three-year period so that we can set the optimal
27 cycle for each of the circuits going forward.

28 MR. STEPHENSON: I'm going to move to a different

1 subject. I'm going to spend most of my time in this
2 examination talking about my favourite subject, which is
3 pole replacements.

4 First off, I just want to get some nomenclature
5 straight. Sometimes in your evidence when you are
6 referring to asset condition on poles, you use expressions
7 like "poor" and "very poor", and at other times you use the
8 term "high-risk", and I just want to make sure that I
9 understand.

10 It seems to me you use those terms interchangeably,
11 but if they actually mean something different it's
12 important for me to know that.

13 MS. GARZOUZI: Yes, they are the same.

14 MR. STEPHENSON: Okay. And so, yeah, you say you've
15 got X number that are high-risk, in some places you say X
16 number that are poor. That's just a -- those are
17 synonymous. Okay. Good. So --

18 MR. JESUS: Yeah, just to be clear, poles that are in
19 poor condition have a higher risk of failure, so the high
20 risk comes into poles with poor condition are associated
21 with higher risk of failure.

22 MR. STEPHENSON: I understand that. I'm actually just
23 -- and logically, no one denies that, but when you use
24 those terms you are talking about the same -- very same
25 cohort.

26 MS. GARZOUZI: So --

27 MR. QUESNELLE: Could I just interject on something?

28 MS. GARZOUZI: I'd like to correct too --

1 MR. QUESNELLE: Yes, please.

2 MS. GARZOUZI: When I -- okay. So risk is probability
3 times consequence. When we talk about condition we are
4 actually talking about the probability of failure. When we
5 talk about the consequence, so consider a pole that's
6 supplying, let's say, 10,000 customers versus 200
7 customers, the risky element is the multiplication of the
8 two.

9 So let's separate condition from the probability. So
10 I want to correct what I just said when I said they're the
11 same. They're not. They're correlated, but one is one
12 access, one is the other. So probability times
13 consequence.

14 MR. QUESNELLE: Thank you.

15 MR. STEPHENSON: Can I get you to turn up -- this is
16 part of the distribution system plan. It's something
17 called ISDSR09, page 1 of 5. This is your pole replacement
18 program --

19 MS. GARZOUZI: That's right.

20 MR. STEPHENSON: -- SR09. SR09, yes. Third
21 paragraph. You say:

22 "As outlined in DSP Exhibit 2.3, there are
23 currently 67,000 poles in poor condition that are
24 at high risk of failure. At the end of 2022 it
25 is forecasted that an additional 77,000 poles
26 will be added to this high-risk category due to
27 deteriorating condition."

28 Reading that paragraph, "poor condition" and "high-

1 risk category" appear to be being used synonymously.

2 MS. GARZOUZI: Yes.

3 MR. STEPHENSON: Okay, and so if we could then just go
4 to -- it's AMPCO 23, Exhibit I, tab 24, AMPCO 23, which is
5 your -- there was a great big spreadsheet with asset
6 condition on it. I'm sure you are familiar with this
7 document.

8 MS. GARZOUZI: Yes.

9 MR. STEPHENSON: And I'm looking at attachment 1. And
10 in this document, sort of at the bottom third of the page,
11 there's a section of dealing with poles. Do you see that?
12 It sets out conditions.

13 MS. GARZOUZI: Yes.

14 MR. STEPHENSON: You see that. Okay. And, you know,
15 it's got condition in 2014, '15, and so forth. And the
16 descriptor, if you go to the asset category, the columns
17 are poor, fair, and good. Do you see that?

18 MS. GARZOUZI: Yes.

19 MR. STEPHENSON: Okay, but again, that -- when you use
20 the word "poor" in that column, you mean the same thing as
21 "high risk" when you talk about 67,000 poles at high risk.
22 Correct?

23 [Witness panel confers]

24 MR. STEPHENSON: The math works out, just so you know,
25 if you do 4 percent, 1.6 million poles, you are getting a
26 number in the 65,000 range.

27 MS. GARZOUZI: We can separate high-risk and then high
28 risk of failure, so in that context it is about high risk

1 of failure due to the poor condition, so that's correct.

2 MR. STEPHENSON: Okay.

3 MS. ANDERSON: Mr. Stephenson, just a quick question.

4 My notes from earlier today say that there were 100,000

5 poles that were poor. I don't know if that's an error in

6 my notes, but was that just a rounding up?

7 MS. GARZOUZI: No, it is 106,000 --

8 MR. STEPHENSON: Yeah.

9 MS. GARZOUZI: -- so it is the 67,000 have failed

10 based on testing and there is 39,000 that were discussed in

11 previous applications that are the untreated wood poles, so

12 the red pine issue that we uncovered, so it is the sum of

13 both are in poor condition.

14 MS. ANDERSON: Okay. Good. Thanks.

15 MR. STEPHENSON: And just to deal with the red pine

16 once and for all, just on that, and I know --

17 MS. GARZOUZI: It's in that --

18 MR. STEPHENSON: -- they're listed on this chart as

19 well --

20 MS. GARZOUZI: If you go to AMPCO 23, so the line that

21 you were just at, "wood" --

22 MR. STEPHENSON: Yeah.

23 MS. GARZOUZI: -- is that number that we were just

24 talking about. If you just go a bit lower, the red pine

25 pole that's shown, so that's the 39,000.

26 MR. STEPHENSON: I got it.

27 MS. GARZOUZI: Okay.

28 MR. STEPHENSON: And the issue there -- and I'm going

1 to talk about demographics in a moment, but the red pine is
2 a real exception to the nexus between asset condition and
3 demographics, right? These poles aren't very old in the
4 scheme of things?

5 MS. GARZOUZI: That's right.

6 MR. STEPHENSON: But they are in various degrees of
7 poor condition, fair?

8 MS. GARZOUZI: That's correct.

9 MR. STEPHENSON: All right. They all are poor, some
10 are worse than others?

11 MS. GARZOUZI: The red pine issue, let's separate it
12 from the population. So the red pine, the entire
13 population, is deemed poor. So 39,000, that subset is a
14 subset of our entire population of wood, so the entire
15 population is equally poor.

16 MR. STEPHENSON: Okay. But you have here actually
17 segregated them by risk on AMPCO 23.

18 MS. GARZOUZI: Okay. So let's separate red pine from
19 the rest of the population. For the red pine issue, we had
20 a third-party assessment two filings ago. There was a
21 report that was filed and -- from the expert that was
22 retained. They told us that the expected service life of
23 that population was 25 years.

24 And so what we've done here is we've put them into
25 categories based on their age, because we know the age. So
26 the entire population does not meet CSA standard. However,
27 they are tagged as they get older, they move towards the
28 condition.

1 For the 67,000 poles, they have all failed tests so
2 age is not part of the rest. So the 67,000 is separate
3 from the 39,000.

4 MR. STEPHENSON: Okay. And again, when it comes to
5 the condition, your labels, one of the -- labelling
6 something as being in poor condition from Hydro One's
7 perspective means that it requires replacement in the next
8 five years, right? That is a consequence -- or that's how
9 you define poor condition, right?

10 MS. GARZOUZI: That's correct.

11 MR. STEPHENSON: So the problem that Hydro One has is
12 that it's got 67,000 that have failed, and therefore are
13 poor. And then it's got this red pine cohort, which is
14 just galloping towards poor condition, if they're not
15 already there.

16 But that's just a snapshot in time, right? You will
17 have new poles which become newly in poor condition every
18 year because they have degraded by the passage of time,
19 correct?

20 MS. GARZOUZI: That's correct. We tend to find about
21 9,000 poles in poor condition annually as of year of
22 testing.

23 MR. STEPHENSON: Right, and I just wanted to ask you
24 about that, because we asked you that question. We asked
25 you how many are newly going to be in poor condition for
26 the purpose of -- for the duration of the application. And
27 you gave us an answer to that -- bear with me.

28 MS. GARZOUZI: I29, PWU11. The question here was how

1 many poles did Hydro One forecast as newly becoming in need
2 of replacement.

3 MR. STEPHENSON: Yes.

4 MS. GARZOUZI: So we projected, based on our
5 historical condition assessments, what we would find over
6 the filing period.

7 MR. STEPHENSON: Right, and the number isn't 9; it's
8 13,400, right, per year? That's the answer to
9 interrogatory 11.

10 MS. GARZOUZI: Yes, that's the answer.

11 MR. STEPHENSON: And I take it you have no reason to
12 quarrel with that?

13 MS. GARZOUZI: No, there's two things. There's
14 expected service life and then there is condition testing.
15 So I just want to distinguish that we replace things based
16 on condition tests that have failed.

17 MR. STEPHENSON: But I mean, by definition, you are
18 predicting here, because of course you can't -- you are
19 going to do the testing three years from now, or four years
20 from now.

21 MS. GARZOUZI: Yes, so it's a hypothetical number.

22 MR. STEPHENSON: So we've already got this cohort of
23 more than 67,000 poles that need to be replaced in the next
24 five years, right? That's a point in time measure?

25 MS. GARZOUZI: That's correct.

26 MR. STEPHENSON: Then you are forecasting an
27 additional 13,000 a year that will newly become in need of
28 replacement within five years, right?

1 MS. GARZOUZI: That's correct.

2 MR. STEPHENSON: Okay. So that's your challenge if
3 you're focusing on your immediate replacement needs, right?
4 That's your pole replacement program; that's what you have
5 to manage?

6 MS. GARZOUZI: Can you repeat your question, please?

7 MR. STEPHENSON: Right, okay. If we're looking at
8 what you actually have to manage in terms of your pole
9 replacement program, we know that there is a number in
10 excess of 67,000 right off the bat, correct?

11 MS. GARZOUZI: Correct.

12 MR. STEPHENSON: It is the 67 plus some proportion of
13 the red pine.

14 MS. GARZOUZI: Thirty-nine, plus what you find every
15 year.

16 MR. STEPHENSON: Plus the 13.4 coming in every year.

17 MS. GARZOUZI: And then you are looking at a five-year
18 window and you are shifting in time, so keep that in mind,
19 right, so you're --

20 MR. STEPHENSON: I understand. But the 13,400 poles
21 that go bad on you in year 1, right, you are not going to
22 wait around until the end of year 5 to deal with those.
23 That's a very risky strategy, right?

24 MS. GARZOUZI: We don't like to maintain assets that
25 we know are in poor condition and at risk of failing.

26 Ideally, a planner's dream is replace the asset just
27 before it fails. The minute before would be the optimal time.

28 MR. STEPHENSON: In addition, here we're not talking

1 at all about all of the other poles that fail. You have a
2 whole other gang of poles that fail over the year, for
3 reasons that are unrelated to their obviously poor
4 condition.

5 These are ones that fall down in storms or they get
6 hit by trucks, whatever. There is a whole whack of them
7 that don't fail because of obviously poor condition, right?

8 MS. GARZOUZI: That's correct.

9 MR. STEPHENSON: And in fact, you do about 12,000
10 poles a year, outside of your pole replacement plan?

11 MS. GARZOUZI: Yes.

12 MR. STEPHENSON: And some of those will be poles that
13 are in poor condition, and would have been replaced as part
14 of your pole replacement plan, but they fell down before
15 you got to them, right?

16 MS. GARZOUZI: Yes.

17 MR. STEPHENSON: And a whole other bunch of them have
18 nothing to do with this category at all, right?

19 MS. GARZOUZI: That's right.

20 MR. STEPHENSON: They're young. They just happen to
21 be unlucky, right? That's what the 12,000 is mostly about,
22 right?

23 MS. GARZOUZI: That's correct.

24 MR. STEPHENSON: Okay.

25 MR. QUESNELLE: Mr. Stephenson, I don't want to cut
26 you off right in the middle of the question, but we'd like
27 to take a break shortly if there's a decent spot.

28 MR. STEPHENSON: This is perfect, thank you.

1 MS. ANDERSON: Just before -- sorry, you didn't turn
2 us off yet. Before you leave, I guess I would like to make
3 sure, is it the 9,000 or the 13,400 that are poles that
4 become poor during the period. And you can maybe come back
5 with that after the break. I just want to make sure which
6 number we're using. It's just the 67,000 divided by five
7 years gives you 13,400 poles, but that's the same -- is
8 that the same 67,000 that are currently poor, I guess.

9 MS. GARZOUZI: I have 9,000, but let me check at the
10 break and I'll give you the number.

11 MR. QUESNELLE: Okay, we'll return at 3:20.

12 --- Recess taken at 3:04 p.m.

13 --- On resuming at 3:24 p.m.

14 MR. QUESNELLE: Mr. Stephenson, resume when you're
15 ready.

16 MR. STEPHENSON: Why don't we start with the
17 outstanding question, if you've got an answer.

18 MR. QUESNELLE: Thanks for the reminder. Yes, let's
19 do that.

20 MS. GARZOUZI: So in the ISD, so SR09, we describe how
21 many poles we'll be replacing, so we show the 67,000 poles.
22 We talk about the 39,000 poles that are red pine, and then
23 here we talk about, we're forecasting that we'll find an
24 additional 77,000 poles that would be added to the high-
25 risk category.

26 At that point in time that was based on an assumption
27 of finding 9,000 poles in poor condition per year. Since
28 then the trend has increased based on our condition

1 testing, and so now it is closer to 34,400 (sic). That's a
2 forecasted trend based on what we're finding.

3 MS. ANDERSON: Sorry, you said 34,000?

4 MS. GARZOUZI: 13,400. It is a strange coincidence
5 that the numbers are matching here.

6 MS. GARZOUZI: Also, if I may add, so if -- you know,
7 adding up those numbers, this means that, you know, despite
8 the high-volume of wood poles being proposed for
9 replacement over the planning period, we are not really
10 keeping up with the maintenance of the population, so we're
11 maintaining the population, or it would be deteriorating
12 based on what we're finding, if the trend continued.

13 MR. STEPHENSON: And just to be clear, the coincidence
14 in the numbers is the 67,000 number; that is, your current
15 cohort of 67,000 and the five-year new cohort also turns
16 out to be coincidentally the same number.

17 MS. GARZOUZI: Yeah, and I and want to add the 39,000
18 poles, I just want to make sure that they are in the number
19 of poles that need to be addressed, because the expected
20 service life is 25, unlike the other poles that are 62.

21 MR. STEPHENSON: Viewed through one lens, you are
22 making positive progress with respect to your population of
23 poles over the course of this application, and specifically
24 what I'm referring to is that if you take your high-risk or
25 poor-condition number, currently you're at 106, right?

26 MS. GARZOUZI: That's right.

27 MR. STEPHENSON: And you are forecasting to actually
28 reduce that number to 99 by -- 99,000 by the end of the

1 application, right?

2 MS. GARZOUZI: That's correct.

3 MR. STEPHENSON: And so --

4 MS. GARZOUZI: But again, there is a hypothetical
5 element here, which is the replacement rate that you're
6 finding, so depending on the points in time, our projected
7 number would then shift our forecast. It would be slightly
8 improving or slightly deteriorating based on what we find.

9 MR. STEPHENSON: All right. And I'm going to suggest
10 to you that directionally it is probable that the number of
11 poles that are newly in poor condition each year is going
12 to be trending upward. You'd agree with me about that?

13 MS. GARZOUZI: I think due to the aging demographic
14 it's reasonable to assume that the trend will slightly
15 increase.

16 MR. STEPHENSON: And there is a strong correlation
17 between your demographics and pole condition, correct?

18 MS. GARZOUZI: Yeah, so the expected service life is
19 the population view and the failure rate analysis on that
20 population, so there is a correlation between age and
21 failure rate.

22 MR. STEPHENSON: Well, if we looked at your 67,000
23 poles currently in poor condition, again, excluding the red
24 pine, that population would be very substantially
25 disproportionately skewed toward poles that are at or after
26 the end of their service life, correct?

27 MS. GARZOUZI: Umm... So not necessarily, but I would
28 say that that population would be older than the average

1 population.

2 MR. STEPHENSON: Well --

3 MS. GARZOUZI: So the average population of our wood
4 poles is now 38 years. It's a year older than last year,
5 if you take the whole demographic chart and you do an
6 average, and so I would say that the 67,000, their average
7 age is older than the population average age.

8 MR. STEPHENSON: But surely you must know the answer
9 to that, don't you? You must know if you strictly went by
10 your 67,000 poles in need of replacement, you will have a
11 demographic profile of that 67,000, won't you?

12 MS. GARZOUZI: We have a demographic profile of
13 that --

14 MR. STEPHENSON: And can you tell us what -- this is
15 by way of undertaking -- but what the demographic profile
16 of that 67,000 is?

17 MS. GARZOUZI: Yeah, we can provide that. The average
18 age is closer to 45.

19 MR. STEPHENSON: Yeah, I'm not just looking for
20 average. I want to know --

21 MS. GARZOUZI: Where they are.

22 MR. STEPHENSON: -- where they are. Okay?

23 MS. GARZOUZI: Yeah.

24 MR. STEPHENSON: You'll tell us, you'll find out what
25 you got, and you'll give us what you have. I appreciate --

26 MS. GARZOUZI: So if I understand correctly, you'd
27 like to see the age profile of the poles that have failed
28 tests; is that correct?

1 MR. STEPHENSON: Exactly.

2 MS. GARZOUZI: Yes, I will undertake to provide that.

3 MR. QUESNELLE: Thank you.

4 MR. SIDLOFSKY: That will be J7.3.

5 **UNDERTAKING NO. J7.3: TO PROVIDE THE AGE PROFILE OF**
6 **THE POLES THAT HAVE FAILED TESTS.**

7 MR. STEPHENSON: And then similarly on that front,
8 with respect to poles that are at or after the end of
9 service life, do you have a forecast life expectancy of
10 those poles on the average?

11 [Witness panel confers]

12 MS. GARZOUZI: Okay, so we're talking about projecting
13 again, so our replacement rate suggests that the expected
14 service life of wood poles would be 72. So from 62 to 72,
15 if we move forward based on the projections, and that could
16 be found in BOMA 31C, where we project our expected service
17 life, looking forward.

18 So when we talk about 62, that's a historical view,
19 and when we talk about projecting forward, that's 72. If
20 we assume -- if I may just clarify how we did that
21 analysis, we made assumptions around, many programs replace
22 poles, so we made average age assumptions on those poles,
23 and then we took that the wood pole replacement would
24 target end-of-life poles, and we projected that forward,
25 and that's how we came up with the number 72.

26 MR. STEPHENSON: I just want to make sure I've got
27 that point. And so the cohort that you are saying is a 72-
28 year expected life, is that of all poles or just the ones

1 that are 62 and older?

2 MS. GARZOUZI: What we're saying is that with the
3 proposed replacement rate that's in the current application
4 the expected service life of wood poles would have to be
5 72, because of the rate, so if we consider that Hydro One
6 in one year may replace 27 poles -- 20,000 in total,
7 22,000, 25,000, we took our historical numbers, and on
8 everything that was outside of our control, we applied an
9 average number, and what was within our control, we took
10 the end-of-life numbers that we had, and we projected that
11 forward, with the assumed replacement rate that is in the
12 current plan.

13 MR. STEPHENSON: Okay, that's interesting, but that's
14 actually not what I was asking. And let me tell you what
15 I'm asking, and maybe you don't have this stat, but I would
16 have thought you did. Okay? Here's the analogy. Turns
17 out that because of when I was born and a bunch of other
18 factors, the insurance companies say that I have a life
19 expectancy of 82, which is a great thing. It's terrific.
20 My father is 91, so I probably think I'm going to do better
21 than that. But when I get to 82, if I'm lucky enough to do
22 that, I will then have a new life expectancy, okay, and
23 unfortunately it's not going to be all that long. You
24 know, maybe it's five years, maybe it's eight years, maybe
25 it's ten years or whatever, but I'll have a life
26 expectancy.

27 Somebody that is 82 does have a life expectancy, and
28 what I want to know is, if I'm a pole, and not me, what's

1 my life expectancy? Is it three years? Is it five years?
2 How long do you have to get these things out of your
3 system? That's what I want to know.

4 [Witness panel confers]

5 MR. JESUS: Sorry, sir. So the mean failure rate of
6 our wood poles is 62 right now. As Lyla indicated, we are
7 projecting that forward and that will become 72 years at
8 the end of at the end of the period.

9 What that means is the probability of failure for
10 those remaining poles is significantly higher, so it
11 becomes a conditional probability or a hazard curve, if you
12 will, which says given that you are 82 years old, how much
13 more life do you have to live?

14 That's -- from a risk analysis point of view, it's
15 called the decay rate or the hazard curve and I can
16 guarantee you if I ever live to 82, I probably hope to live
17 to 100. But at the end of the day, no one really knows.
18 But certainly the rate is much, much higher once you reach
19 the age of 82 of failing later on.

20 Does that make sense?

21 MR. STEPHENSON: Well, I mean, you know as a
22 qualitative statement, yes, it makes sense. But if you
23 don't have the number, you don't have the number.

24 But I would have thought, you know, you're in the
25 demographic business. You've got hundreds and thousands of
26 poles and you have a giant demographic problem, and I
27 thought that might be something that you calculated.

28 MR. QUESNELLE: Mr. Jesus, you mentioned a mean

1 failure rate, and that's the 62?

2 MR. JESUS: The 62 is the average rate or the average
3 life is effectively the mean life of the pole is how it's
4 taken, so it's the mean life.

5 MR. QUESNELLE: And what's that calculation look like?

6 MR. JESUS: So it's based on all of the failures on
7 the system that have occurred in the past, and we look at
8 that and the average rate that the 50 percent of the
9 population survives to be 62 years old. The other 52
10 percent lives beyond 62 years old, so it's the mean.

11 But failure rate would increase significantly based on
12 the conditional probability of failure, the rate -- the
13 risk or failure rate would increase by -- we can get you
14 that number.

15 MR. QUESNELLE: I'm missing the connection then with
16 how -- if 62 is a derivation of an analysis of failure
17 rates and age being the 50 percent percentile -- 50 percent
18 live longer, 50 percent go before -- how do you project
19 that it will go out to 72 on a replacement rate? Isn't it
20 still -- isn't that number always an empirical number? How
21 do you project a future mean failure rate?

22 MR. JESUS: We have all of the demographics of when
23 poles fail, so we're able to say at 72 years, when poles
24 have failed, this is the survival rate. This is the rate
25 the hazard or the decay rate, so we have those hazard
26 curves for wood poles.

27 MR. QUESNELLE: So you are projecting the mean failure
28 rate to increase by ten years based on your current

1 replacement rates.

2 MR. JESUS: That's right.

3 MR. QUESNELLE: Thank you.

4 DR. ELSAYED: I'm not clear now. You have a normal
5 distribution, based on my understanding.

6 MR. JESUS: Yes.

7 DR. ELSAYED: With a 62 mean, which means 50 percent
8 of your poles would fail before 62, and another 50 would
9 fail after 62. And now you're saying going forward that
10 mean will increase to 72.

11 My first question is why? What is the reason for that
12 increase?

13 [Witness panel confers]

14 MR. QUESNELLE: We've stopped your clock, Mr.
15 Stephenson.

16 MR. JESUS: So the 72 years is based on the
17 replacement rate that Lyla indicated, that in ten years or
18 after the end of this period, that the replacement rate
19 would be effectively equivalent to 72 years.

20 So the poles on the system, because they're not
21 getting replaced fast enough, effectively we're going to
22 move the age from 62 to 72 years based on the replacement
23 rate. So if we have to replace all the poles on the system
24 based on 1.6 million, you would divide that by the
25 replacement rate and you would end up with what is the
26 number of poles you would have to replace.

27 Based on the replacement rate that we are indicating
28 here, based on the process that Lyla has indicated, that

1 replacement is rate is equivalent to 72 years.

2 DR. ELSAYED: Is that good or bad, to go from 62 to
3 72.

4 MR. JESUS: That's bad. Given the benchmark study
5 already indicated that we have one of the oldest
6 populations in the system compared to our peers, going to
7 72 means that it would be twenty years beyond what our
8 peers are doing.

9 MR. BOWNESS: I think what's really key here is that
10 62 years is where we want to be. If we were replacing --
11 we're comfortable with from a risk perspective. If we were
12 staying at 62 years, that's where we feel the expected
13 service life is in line with the replacement rate.

14 We know that we can't afford, our customers can't
15 afford to keep the average age at 62. Based on what's in
16 plan B modified, our average age will have to be 72. That
17 means that there is more risk within the portfolio, which
18 means more poles are going to fail. We are not in the spot
19 where we want to be from a risk perspective.

20 MR. QUESNELLE: I just heard you separate those two
21 numbers; they are not the same.

22 MR. BOWNESS: Yes.

23 MR. QUESNELLE: We're not going to a new mean
24 projected rate of 72.

25 MR. BOWNESS: No. And I think what would be helpful
26 from a visual is if we could just pull up BOMA 31 for a
27 moment again; Exhibit I, tab 35, BOMA 31, and it's page 3
28 of 7.

1 Where you'll see in this chart is that with plan B
2 modified, our age our poles will need to be 72 years.

3 If we went all the way to plan C, which was a
4 significant reduction, the age would have to be 107 years
5 and that's why we're not as willing to move as far to the
6 extreme of plan C, and that's what we presented to our
7 board, that it's way outside the risk paradigm.

8 From a risk perspective, from a pure asset
9 perspective, we don't want to be at plan B modified; we
10 want to be at plan A. We want to be at the replacement
11 volumes that were suggested in plan A.

12 And those volumes, if we want to see that, are in
13 AMPCO 27, if we could just pull that up for a second.

14 MR. STEPHENSON: Plan A only gets you 6,000 more
15 poles, right? It's not a giant different between what you
16 are planning now.

17 MR. BOWNESS: So within AMPCO 27, which is tab 29 --
18 sorry, Exhibit I, tab 29, AMPCO 27.

19 So plan A totals 77,400 poles over the five-year
20 period. Plan B modified totals 72,000. And then if you go
21 as far as plan C, which would be 45,000, that's where we
22 get into that extreme situation of the expected service
23 life would have to be 107 years.

24 DR. ELSAYED: So the...

25 MR. STEPHENSON: Sorry, go ahead, please.

26 DR. ELSAYED: I think at least my confusion is the --
27 that the use of the two terms "average age" versus
28 "expected service life" -- and I think that's where the

1 confusion is.

2 Today, what is the average age of the poles?

3 MS. GARZOUZI: The average age of our wood pole
4 population is 38 years.

5 DR. ELSAYED: And what is the expected service life?

6 MS. GARZOUZI: Sixty-two years.

7 DR. ELSAYED: Sixty-two. And with the program that
8 you have in place, you are saying the expected -- what
9 would be the average age over -- like, I mean, it would
10 increase slightly, I'm assuming.

11 MS. GARZOUZI: It would probably increase by five
12 years.

13 DR. ELSAYED: Yes.

14 MS. GARZOUZI: There is a spike, though, because all
15 things being equal, it would be that way. But we have a
16 bow wave. There's a demographic chart and maybe that's
17 what's influencing the numbers here.

18 But if you look at B11, DSP section 2.3, the age
19 demographic of the wood pole, there's two big spikes post
20 World War I and II, and those are skewing the numbers.

21 DR. ELSAYED: So the increase from 62 to 72 is in the
22 expected service life, not in the average age?

23 MS. GARZOUZI: Correct.

24 MR. STEPHENSON: Actually, if I can -- I think I can
25 fix this.

26 The 72 has got nothing to do with the organic or --
27 what is the plan -- the pole is actually going to live.

28 The 72 is entirely driven by their replacement rate.

1 72 is what they need the pole to last, not how long the
2 pole is actually going to last, right?

3 MS. GARZOUZI: That's correct. That's what I heard
4 you say, Mr. Elsayed, but maybe I misheard you, but that's
5 exactly right.

6 MR. STEPHENSON: If you --

7 MS. GARZOUZI: It is what you have to believe. It is
8 what would have to happen given your current replacement
9 rate and given the other demand investments, so we didn't
10 pretend like nothing else was helping on the system. What
11 we said is we know we also replace other poles for other
12 reasons, so if we take that pool and replace it as well at
13 the average age and we age that over the five-year term,
14 that's how we came up with 72.

15 DR. ELSAYED: Okay. So you are hoping it will last
16 for 72 years, and that's why --

17 MS. GARZOUZI: That's correct.

18 DR. ELSAYED: That risk would be higher.

19 MS. GARZOUZI: You would have to believe that for the
20 replacement rate to be adequate.

21 DR. ELSAYED: Okay. Thank you.

22 MR. STEPHENSON: Now --

23 MS. ANDERSON: Mr. Stephenson --

24 MR. STEPHENSON: Oh, sorry.

25 MS. ANDERSON: -- just before you go on. There is
26 another matter on this, and I guess I've been wanting to
27 ask, and I don't know if you are the right panel, but is
28 there a relationship between this expected service life of

1 62 years and your accounting depreciation for poles? Do
2 you know what the average accounting -- the -- I guess what
3 the accounting depreciation would be?

4 MS. GARZOUZI: Yes, it's 59.

5 MS. ANDERSON: So the accounting depreciation for your
6 current population of poles is 59 years?

7 MS. GARZOUZI: That's correct.

8 MR. STEPHENSON: Okay, Mr. Jesus, you made reference
9 to, I think it was a hazard curve a little earlier? Okay.

10 MR. JESUS: Correct.

11 MR. STEPHENSON: I'd like you to undertake to produce
12 that; is that a problem?

13 MR. JESUS: No, it's not a problem at all.

14 MR. STEPHENSON: Okay, great. Could I get a number
15 for that?

16 MR. SIDLOFSKY: J7.4.

17 **UNDERTAKING NO. J7.4: TO PRODUCE THE HAZARD CURVE.**

18 MR. STEPHENSON: Thank you. And then just talking
19 about, you touched a moment ago about the data regarding
20 your -- the other utilities and the other poles' average
21 life is 52, I believe was the number; have I got that
22 right? I think it was something like that.

23 MR. JESUS: So based on the comparison in the
24 benchmark study --

25 MR. STEPHENSON: In Navigant, yeah.

26 MR. JESUS: In Navigant, they indicate that we have
27 the oldest -- one of the oldest populations compared to our
28 peers, yes.

1 MR. STEPHENSON: Both in terms of their current
2 average life and in terms of expected service life, right?

3 MR. JESUS: The finding was about ten years greater
4 than our peer utilities.

5 MR. STEPHENSON: And are you aware of any exogenous
6 factors which would account for that differential in the
7 sense of, that your poles are of higher quality or that
8 there is a more benign environment or whatever? Like, is
9 there some -- is there something that explains that, or is
10 it simply that you guys replace your poles less frequently?

11 [Witness panel confers]

12 MS. GARZOUZI: It is certainly a question we've asked
13 ourselves, but I don't believe we have enough information
14 to explain that difference.

15 MR. STEPHENSON: You know, and intuitively it would be
16 hard to imagine that there is something like that. I mean,
17 it seems counterintuitive that you guys have found the
18 world's best poles or that the environment in northern
19 Ontario is somehow less problematic than elsewhere in North
20 America.

21 MR. QUESNELLE: Mr. Stephenson, can I just understand
22 your question? It is not just the -- you're asking about
23 -- to go back to the mean failure rate -- is the finding of
24 the study that the mean failure rate is about ten years'
25 difference, your mean failure rate is about ten years
26 older, longer, than your cohort?

27 [Witness panel confers]

28 MR. JESUS: No, it's not. It's only about when we

1 replace our poles, so the expected service life of our peer
2 utilities is 50 and we are using 62.

3 MS. LONG: You say you are using 52. I thought that
4 that was an --

5 MR. JESUS: 62.

6 MR. QUESNELLE: 62. But when you say you're using
7 that, isn't that a derivative of actual -- determining
8 where the mean is?

9 MR. JESUS: That's correct.

10 MR. QUESNELLE: And so the cohort comparison isn't
11 derived the same way, like -- one's a targeted exchange age
12 or replacement age, the other is a factor of when poles are
13 failing and what age they are, they go off. You are
14 looking for the 50 percent, you are looking for the mean,
15 so I'm just -- because to your point, Mr. Stephenson, if
16 the numbers are derived the same fashion, it is not a
17 matter of management choice, I wouldn't think. I'm trying
18 to understand the question. It's not whether or not you've
19 got a higher replacement rate irrespective of what your
20 conditions are or what your program's about, if 50 percent
21 are failing above -- around that number, higher or lower --

22 MR. JESUS: So in the utility industry the mean is
23 actually the 50 percent for the survival curve is how they
24 determine that, so the expected service life, and so if
25 utilities are saying 50, that's how they're deriving it,
26 they're saying the average life is 50 years, so 50 percent
27 would fail before 50 years and 50 percent would fail after
28 the 50-year mark, so if they're using 50 years, we're using

1 62, it is a difference between the geography and the
2 utility.

3 MR. STEPHENSON: Okay, just coming back to Plan A and
4 Plan B modified and its effect on demographics, I think we
5 indicated that it was about 6,000 poles different between
6 those two in terms of replacement lights.

7 Just to be clear, Plan A, if you had gone to that
8 plan, you would still have worsening demographics. That
9 6,000 pole difference doesn't get you -- it would get you
10 better than 72, but it's still going to be worse than 62,
11 right?

12 MS. GARZOUZI: That's correct.

13 MR. STEPHENSON: Okay. I just want to deal with
14 demographics now. I gave -- I created a little bundle. To
15 call it a compendium would be to glorify it. But I wonder
16 if we could just mark that as the next exhibit. It is
17 excerpts of prior cases plus a spreadsheet.

18 MR. SIDLOFSKY: That will be K7.2.

19 **EXHIBIT NO. K7.2: PWU CROSS-EXAMINATION BOOKLET FOR**
20 **HONI PANEL 5 COMPRISED OF EXCERPTS OF PRIOR CASES AND**
21 **SPREADSHEET.**

22 MR. STEPHENSON: Okay. Here I just want to go through
23 some evidence from your prior cases to show what's happened
24 with your demographics, and frankly, it's -- they're going
25 in the wrong direction, if you bear with me.

26 The first place I want to go to is on the third page
27 of the exhibit. It is page 16 of 26. And you will see
28 here it's a chart, and if we just look at the bar on the

1 extreme right-hand side, you will see the 60-plus, and at
2 that point in time you were reporting -- that is ten years
3 ago -- about 90,000 poles in that category; do you see
4 that?

5 MS. GARZOUZI: Yes.

6 MR. STEPHENSON: Okay, and we can take that -- there
7 is no reason to doubt the accuracy of this, correct?

8 MS. GARZOUZI: That's correct.

9 MR. STEPHENSON: Okay, just skipping ahead about four
10 pages, we're now in the 2013 case, page 20 of 35, so this
11 was filed in January of '14, so it would be '13
12 information. And so five years later, from 2008 to 2013,
13 there is a heading, "demographics", and it says that
14 180,000 poles are at least 62 years old; do you see that?

15 MS. GARZOUZI: Yes.

16 MR. STEPHENSON: Okay, so in five years you went from
17 90,000 to 180,000, so that was -- those are worsening
18 demographics, right?

19 MS. GARZOUZI: Yes, aging demographic.

20 MR. STEPHENSON: And it's all because your replacement
21 rate isn't keeping up with your demographic curve, right?

22 MS. GARZOUZI: That's correct. So if we move on into
23 your package -- and I know you're going there -- but it
24 shows you more granular asset demographic of our wood-pole
25 population, which is at page 21.

26 MR. STEPHENSON: Yeah. Of 35, yes.

27 MS. GARZOUZI: Of 35, figure 12, right? So if you go
28 up a little bit -- oh. Okay. So if you go to D-1-1, DSP

1 section 2.3, figure 17.

2 MR. STEPHENSON: This is the update of the same chart,
3 right?

4 MS. GARZOUZI: The updated, yes, 2.3, page 11. So
5 this shows you how many poles are past expected --

6 MR. STEPHENSON: This is actually transformers, what
7 we see on the screen.

8 MS. GARZOUZI: Oh, sorry.

9 MR. STEPHENSON: I'm told it's page 38 of the same
10 document.

11 MS. GARZOUZI: Page 38. So we've colour-coded it
12 here. Past expected service life is in red on the chart.
13 In orange is what we'll reach expected service life within
14 the planning period, the five-year period, and then within
15 the expected service life is in blue on the graph.

16 And so every year, this entire graph is shifting by a
17 year, less what's been replaced in the system.

18 MR. STEPHENSON: Right. And so and we now know that
19 the total number at or -- at 62 years has gone from 180 in
20 2013. It's now up to -- what's the current number?

21 MS. GARZOUZI: 280,000 and over the plan it's going to
22 go up to 400,000.

23 MR. STEPHENSON: Right, so it's -- you're adding about
24 20,000 net new at end of service life per year over the
25 last period of time?

26 MS. GARZOUZI: That's correct.

27 MR. STEPHENSON: And just to be clear, that's net.
28 That's after you've taken a bunch out and replaced them,

1 right?

2 MS. GARZOUZI: That's correct.

3 MR. STEPHENSON: And let's just talk about what the
4 impact of that is. You've already said there is a
5 correlation between age and replacement, that poles that
6 are over 62 are disproportionately the ones in poor
7 condition, right?

8 MS. GARZOUZI: I didn't say that. I think that
9 there's a correlation between age and failure rate. I
10 think failure rate increases with age. I don't know that
11 there's a -- by the definition of the mean or failure
12 curve, that's what we're saying.

13 MR. STEPHENSON: Maybe -- just let me go to the last
14 page of my exhibit, which is the spreadsheet. And the
15 first thing I just want to do is to check the arithmetic so
16 that we're not fighting about math.

17 I don't know how much you've had a chance to look at
18 all this, but it's not terribly complicated.

19 Were you able to understand what I was trying to do
20 and confirm the numbers? They are all out of the evidence.

21 MS. GARZOUZI: Yes.

22 MR. STEPHENSON: Okay. So if we can, the first line
23 is the current number of poles that -- end of service life
24 280,000, okay. So, if you use 280,000 versus 1.6 million,
25 which is your total population, that's about 17.5 percent
26 of the total; does that make sense to you?

27 MS. GARZOUZI: Yes.

28 MR. STEPHENSON: Okay Then let's look at how you're

1 replacing poles, okay? And, you know, there's two
2 categories of pole replacements, right. You've got the
3 ones that you are replacing as part of pole replacement,
4 and then you've got the ones that you do because of other
5 reasons, right?

6 MS. GARZOUZI: That's right.

7 MR. STEPHENSON: So what I did was I then looked at --
8 so line 4 is your five-year incremental end of service life
9 poles. That's simply you've indicated that if you do your
10 program, those -- you are going to be adding incrementally
11 54,000 by the end of the term, right?

12 MS. GARZOUZI: That's correct.

13 MR. STEPHENSON: So at the end of the term, you've got
14 the 334,000 number, right?

15 MS. GARZOUZI: That's correct.

16 MR. STEPHENSON: And then you've told us also in the
17 evidence that you are expecting 120,000 new poles at the
18 end of service life over the next five years.

19 MS. GARZOUZI: You're looking at line 6 now?

20 MR. STEPHENSON: Yes, line 6; that's straight out
21 of your evidence.

22 MS. GARZOUZI: Okay.

23 MR. STEPHENSON: And what I just then did was a little
24 bit of math, and I said if you didn't do the replacements,
25 you'd be 400. So by definition, of the poles you forecast
26 to replace over the next five years, 66,000 of those are
27 going to be at ESL on your replacements. Do you agree with
28 me on that?

1 MS. GARZOUZI: Okay, what's -- this is based on the
2 hypothetical scenario, right? When we do our analysis we
3 use our actual demographic and our actual condition
4 information. So that's the difference between may be the
5 numbers, or the way we're describing it and the way you're
6 looking at. But this is...

7 MR. STEPHENSON: This is your forecasting.

8 MS. GARZOUZI: This is based on a hypothetical
9 forecast, that's correct.

10 MR. STEPHENSON: This whole case is a forecast; this
11 is your forecast, right?

12 MS. GARZOUZI: Yes.

13 MR. STEVENSON: Okay. So you look at that line,
14 66,000, and it turns out that I also went back and I looked
15 at the numbers of the non-extended end of service life
16 poles. And I went down and, if you look at line 14, I
17 added up the total pole replacements that you are
18 forecasting to do over the period, which is 132,000,
19 right, because I've added basically 67,000, you say --
20 sorry, the 12,000 you replace every year, so five times 12
21 is 60,000. Do you see that? That's line 13. And then
22 I've just added that to your planned pole replacement,
23 which is the 72,000. Do you see that?

24 MS. GARZOUZI: Yes.

25 MR. STEPHENSON: And I get 132,000. So then I
26 subtract the 66,000 of end of service life poles and you
27 get another number, it turns out it is almost exactly the
28 same, 66,000. But half of the poles you replace are end of

1 service life poles and the other half aren't, it turns out.

2 You don't have any quarrel with that, do you? That's
3 forecast.

4 MS. GARZOUZI: Okay.

5 MR. STEPHENSON: So it turns out that even though you
6 are replacing -- or sorry, that your end of service life
7 poles are 17.5 percent of your total poles, you wind up --
8 half of the poles you replace are end of service life
9 poles.

10 MS. GARZOUZI: Yes.

11 MR. STEPHENSON: Yes, and so like -- your replacement
12 program is not surprisingly very heavily skewed to end of
13 service life, right? It's not -- if it was -- if this was
14 even, it would be 17.5 percent of your poles you would be
15 replacing those that were end of service life. But it's
16 not; it's half of them.

17 [Witness panel confers]

18 MS. GARZOUZI: The only nuance I want to make here is
19 that everything that is not replaced in the pole
20 replacement program is more or less random. So it is not a
21 targeted replacement.

22 It's replaced whether a car hits a pole, or it fails
23 during a storm, or it fails in other circumstances, it's --
24 it's out of our control and for those, we assume average
25 ages in our analysis and for replacements, we assume failed
26 condition tests. So we use condition information.

27 So expected service life is a proxy, and it helps us
28 project and understand what's happening. But we don't

1 replace based on age.

2 MR. STEPHENSON: I get all of that. But all I'm
3 saying is your actual numbers reflect what is intuitively
4 true, which is your end of service life poles are the ones
5 that need replacing. I mean, this shouldn't be that hard.

6 Like, you know, people that are over 80 years old die
7 at a rate much more frequently than people that are
8 20. What's so hard about that? I mean, isn't that right?

9 [Witness panel confers]

10 MR. NETTLETON: Mr. Stephenson, I'm just wondering if
11 you could rephrase the question so that it relates to the
12 evidence in this proceeding.

13 MR. STEPHENSON: No, sorry, all I'm saying is that
14 your forecast is that you're disproportionately replacing
15 poles that are at the end of their service life, and I'm
16 just saying, isn't that consistent with the fact that poles
17 at the end of service life are, in fact, in need of
18 replacement disproportionately?

19 [Witness panel confers]

20 MR. STEPHENSON: Panel, if it's not true, you are
21 doing something very wrong.

22 MS. BRADLEY: I don't know if I understand the
23 question. Our end-of-life replacement program, which is
24 the one that, you know, we have been talking about in the
25 plan, is to replace poles that have been tested and deemed
26 in poor condition, right? That's what that program focuses
27 on.

28 A pole that fails and needs to be replaced because a

1 car hit it is replaced under "trouble", so the entire end-
2 of-life pole replacement program is focused on end-of-life
3 poles, yes.

4 MR. STEPHENSON: And I started this whole point with
5 this -- which I thought was a rather uncontroversial
6 statement, which the witness disagreed with, was that there
7 was a strong correlation between end of service life and
8 the need for replacement, ESL being 62. There is a strong
9 correlation.

10 MS. GARZOUZI: I agree with that.

11 MR. STEPHENSON: Okay. Now, over the last ten years
12 you've allowed your end-of-service-life population to go
13 from 90,000 to 280,000. It's triple -- it is more than
14 triple. You know that.

15 MS. GARZOUZI: Yes.

16 MR. STEPHENSON: Okay. So your problem has more than
17 tripled, right?

18 [Witness panel confers]

19 MR. STEPHENSON: Who's going to pay for this problem
20 that you've created for yourself over the last ten years?
21 Like, today's ratepayers are much, much worse off than
22 people ten years ago, because you kicked the can down the
23 road, and when is it -- when are we -- who's going to pay
24 for this? What year? When are you going to get back to
25 90,000 poles over end of service life? Let me ask you
26 that.

27 MS. BRADLEY: Mr. Stephenson, we did state at the
28 beginning that we know that we have a significantly higher

1 number of assets that we need to replace than we can
2 currently fund through the rates, and that we are doing
3 everything we can to do more with less, so the number in
4 this plan is what we are proposing is a reasonable level
5 for today, and we have the governance and reporting in
6 place to manage to that number, but absolutely, we have a
7 problem with a high number of end-of-life assets, and we
8 are doing everything we can to address those.

9 MR. STEPHENSON: Okay, I'm going to finish this
10 quickly, but just to be clear, I think three things are
11 going to be -- are true about this.

12 Number one, these costs aren't going away, they are
13 just being deferred. There is -- and the costs of --
14 right? This is not something going away.

15 MS. GARZOUZI: That's correct.

16 MR. STEPHENSON: Number two is, one of the
17 consequences of the deferral is that some of the poles that
18 you would have replaced under a planned program are going
19 to wind up failing unexpectedly, correct?

20 MS. GARZOUZI: That's a fair assumption.

21 MR. STEPHENSON: And the unit costs for replacing
22 those poles in an unexpected failure is much higher than it
23 is under a planned program; correct?

24 MS. GARZOUZI: Slightly higher, and I think that, more
25 importantly, it is the duration of the interruption. It is
26 nine hours instead of two hours.

27 MR. STEPHENSON: I was about to get to that, yeah, and
28 it's got a customer impact, right?

1 MS. GARZOUZI: That's correct.

2 MR. STEPHENSON: And your system is going to have
3 worse reliability, generally speaking, by having more old
4 poles in the ground longer?

5 MS. GARZOUZI: Yes, if the poles fail on trouble calls
6 or if they failed -- if they weren't caught in time from a
7 planned perspective, it increases the reliability risk, and
8 so there's longer duration, hence impacting our customers.

9 MR. STEPHENSON: Right. But, I mean, you -- this is
10 part of a SAIDI impact that, you know, you replace -- if
11 you get your -- if you replace more poles you would have
12 had better reliability stats, right? That was part of your
13 analysis for your board, right? I'm not going to get into
14 the numbers, but directionally, correct?

15 MS. GARZOUZI: That's correct.

16 MR. STEPHENSON: Okay, and -- but the net effect is
17 these costs are being shifted from today's ratepayers to
18 somebody else down the road, right?

19 MS. BRADLEY: The intent in the plan that we've put
20 forward is to maintain the existing level of our assets
21 overall.

22 MR. STEPHENSON: But you're not, but the demographics
23 are getting worse. They are getting worse at a slower
24 rate, but they're getting worse, right?

25 MS. BRADLEY: The plan right now with the latest
26 condition information and how that plan -- the test results
27 have changed in time, that it would be hard to keep up that
28 demographic, with this plan, but the intent is to not let

1 the fleet deteriorate.

2 MR. STEPHENSON: Sorry, but your plan is to have
3 54,000 incremental end-of-life poles. You're planning on
4 doing that. That's deliberate. That's the intention,
5 right?

6 [Witness panel confers]

7 MR. BOWNESS: I think macro-ly your assessment is
8 correct. You know, there has been a history of under-
9 investment in the electricity grid, as we've seen that
10 noted across the sector for a while now. What we're trying
11 to do with this plan is make sure that we balance the asset
12 needs with customer preferences and cost, and recognizing
13 that cost is a significant dimension right now, there's
14 only so much we can do within this planning period. I know
15 we are focused in on productivity. We're looking at
16 driving improved unit costs, trying to improve the way we
17 execute work using our mobile technology. We also have to
18 look at, I think, demographics from a long-term horizon,
19 and if we could -- you know, using age as a proxy for the
20 age of the fleet, if we could just pull up the -- which was
21 the exhibit that we had up?

22 MS. BRADLEY: B-1-1-1.

23 MR. BOWNESS: B-1-1-1.

24 MS. BRADLEY: DSP 2.3.

25 MR. BOWNESS: DSP 2.3.

26 MS. BRADLEY: Page 38.

27 MR. BOWNESS: Page 38. Yeah, I think from a pure age
28 perspective, there is a bow wave, there is a bow wave of

1 the red, right, and that's based on the significant amount
2 of the grid that was built, you know, 60 or 70 years ago,
3 but then if you look at the demographic for the next 15
4 years, it comes down. I think you could agree that the
5 blue bars from an overall count perspective are lower, so
6 at some point here, you know, yes, we need to catch up,
7 yes, there are going to need to be more poles replaced. We
8 hope to do that through productivity, we hope to do that
9 through efficiency, but we also have to look at the long-
10 term horizon when it comes to replacements.

11 MR. STEPHENSON: But just hang on a second there,
12 because you helpfully colour-coded this chart, and as I
13 recollect what you said, that the orange bars are the bars
14 that represent the period of the application, right?

15 MS. GARZOUZI: That's correct.

16 MR. STEPHENSON: Okay, so it turns out, as I read this
17 chart -- you tell me I'm wrong -- we're actually at the
18 trough right now. This chart is getting worse, not better,
19 because basically the way this chart works is that you just
20 move everything to the right every year, right? We're
21 on -- we're headed back up the curve. Every year it's
22 getting worse in the increment, not better, right?

23 MS. GARZOUZI: Everything is getting older every year,
24 so we're shifting the graph by year.

25 MR. STEPHENSON: It's not that it's everything getting
26 older; it is getting older at a faster rate than it is.

27 MS. GARZOUZI: There is a demographic boom, so
28 certainly there is a cohort where there is a higher volume

1 of poles, that's correct.

2 MR. STEPHENSON: One last thing, okay. We asked you
3 specifically what it would cost you to get back on track,
4 which is at Exhibit I, tab 29, PWU 13.

5 And just -- this was about two questions and this
6 wasn't actually about getting back on track. This was
7 about not getting any worse than you are presently.

8 One was to keep the ESL poles at the same number and
9 not increasing, and the other one was to keep the average
10 age of the ESL poles the same. And you will see it was
11 about 400 million doing the first thing, that's A, and
12 about 680 million to do the second thing, and you see
13 that's B. Do you see those two things?

14 MS. GARZOUZI: Yes.

15 MR. STEPHENSON: I take it those numbers are just
16 complete non-starters for the purposes of this application.
17 That wasn't even considered as a possibility, right? Is
18 that fair?

19 MS. GARZOUZI: That's correct.

20 MR. STEPHENSON: But if you don't do that now and you
21 continue doing what you're doing now, and we're back here
22 in five years -- God forbid if I'm back here in five years
23 -- these numbers are not going down. They are going to be
24 a lot bigger to do the same thing we were asking then,
25 right? Those numbers are just going to get bigger and
26 bigger and bigger, right?

27 MS. GARZOUZI: Yes.

28 MR. STEPHENSON: Okay, those are my questions. Thank

1 you.

2 **QUESTIONS BY THE BOARD:**

3 DR. ELSAYED: Can I ask a question? Do you track life
4 to failure of the poles, how long your poles actually last
5 until they fail for those poles who do fail?

6 MR. JESUS: Yes, we track the age when it fails.

7 DR. ELSAYED: Do you have some statistics on that?

8 MR. JESUS: Based on the derivation of the hazard
9 curve, we have -- we can provide the hazard curve.

10 DR. ELSAYED: I'm trying to figure out. We talked
11 about the expected service life and average age, so I am
12 assuming the age to failure is higher than those two.

13 [Witness panel confers]

14 MS. BRADLEY: I think our hesitation right now is some
15 fail because they were hit by a car, or because...

16 DR. ELSAYED: No, I'm talking about age.

17 MS. BRADLEY: And that's why I'm not sure if we would
18 have this specifically failed strictly because of age.

19 MR. QUESNELLE: Maybe I can...

20 DR. ELSAYED: The reason I'm asking the question is my
21 concern is you can develop hypothetical expected service
22 life based on parameters. And what I'm thinking is in
23 reality, how long do these poles survive under normal
24 operating conditions.

25 Do these estimates -- are these estimates of expected
26 service life which you used to plan your program over-
27 estimated, possibly? Or under-estimated?

28 MS. GARZOUZI: So a lot of these numbers are

1 hypothetical, and so we never replace based on expected
2 service life. We actually replace based on end of life.
3 It has to fail a test for us to replace it.

4 DR. ELSAYED: That's precisely why I'm asking the
5 question. So if you replace based on the actual -- on
6 failure of the pole, I'm asking what is the average age of
7 those poles that you have replaced because they failed?

8 MS. GARZOUZI: This is why I was hesitant to agree
9 with my friend here earlier on. Of the 67,000 poles that
10 have failed based on our testing, their average age is 45
11 years.

12 DR. ELSAYED: So 67,000 poles that failed and the
13 average age is?

14 MS. GARZOUZI: Forty-five years.

15 DR. ELSAYED: So why would that happen at such a low
16 average age? What do -- did you analyze the reasons for
17 that?

18 MS. GARZOUZI: No.

19 DR. ELSAYED: I mean obviously there's something wrong
20 if they fail at that age, which is considerably shorter
21 than your expected service life. They are failing
22 prematurely; do you know why?

23 [Witness panel confers]

24 MS. GARZOUZI: Let's distinguish failure, like the
25 pole broke, or it succumbed to mechanical stress or other
26 things versus it failed a test. It could have failed a
27 test for -- you know, the hammer test, the shell thickness
28 test. It could have exhibited significant woodpecker decay

1 or woodpecker activity. So there are various factors that
2 go into failing poles, and so I'm just distinguishing those
3 two things.

4 MS. BRADLEY: So the number of the 45 years -- sorry,
5 the 45 years that Ms. Garzouzi mentioned is the average age
6 at which we get a poor condition pole through our testing;
7 it's not when it physically failed.

8 DR. ELSAYED: Okay, thank you.

9 MR. QUESNELLE: And just to be clear, so that the
10 poles that do fail at this point in time, 50 percent of
11 that happens over 62 and 50 percent of that happens under
12 62; is that right?

13 MR. JESUS: That's correct, that's the survival curve,
14 that's what the numbers show.

15 MR. NETTLETON: Mr. Chairman, just -- I don't know,
16 Dr. Elsayed, if this was the question that I thought you
17 asked, and that was when a pole fails -- not when it
18 reaches a poor condition state, but when it actually has
19 failed, do you track the age of the pole that's down on the
20 ground?

21 MS. BRADLEY: I would say that right now, if a pole
22 fails, it could have been a car hit a tree, it could have
23 been a storm, and if during trouble call situations or
24 storm restoration, I would say that we don't have the exact
25 date and the exact failure.

26 Was it due to pole thickness, was it due to a tree
27 falling on the pole. There are so many factors that to
28 have a significant history with that level of detail

1 recorded, given the systems we had, say, yen years ago, we
2 wouldn't have data on that level of detail.

3 MR. QUESNELLE: I think we're still at a bit of a loss
4 here as to the connection between the 45 years being the
5 average age of the poles that have been identified in that
6 67,000 and what goes into the derivation of the mean
7 failure rate of 62. Because if we don't have details on
8 when a pole falls down, what's that type of -- I'm taking
9 the difference between failure of a test versus a pole
10 failing in the field and I think, maybe by way of
11 undertaking, if we could have an undertaking that responds
12 to the distinction between the two, and a little more --
13 maybe it's an addition to the provision of the hazard
14 curve, as to what that means and how that differs from the
15 other numbers that we're talking about today.

16 DR. ELSAYED: Another way to ask the question is: If
17 you -- similarly to other assets that you've said you run
18 to failure, if you were running your poles to failure, if
19 you were waiting until the poles fail, how many would you
20 replace every year?

21 MR. JESUS: We'll take that undertaking.

22 MR. SIDLOFSKY: That will be J7.5.

23 **UNDERTAKING NO. J7.5: TO PROVIDE A RESPONSE TO DR.**

24 **ELSAIED'S QUESTION: SIMILARLY TO OTHER ASSETS THAT**

25 **YOU'VE SAID YOU RUN TO FAILURE, IF HONI WERE RUNNING**

26 **POLES TO FAILURE, IF HONI WERE WAITING UNTIL THE POLES**

27 **FAIL, HOW MANY WOULD HONI REPLACE EVERY YEAR**

28 MR. QUESNELLE: Mr. Pollock?

1 MR. POLLOCK: Hello, everyone. Thank you, Mr. Chair.
2 I guess as a preliminary matter we had a compendium, so I
3 was wondering if we could get that marked as an exhibit.

4 MR. SIDLOFSKY: J7.3.

5 **EXHIBIT NO. J7.3: CME CROSS-EXAMINATION COMPENDIUM**
6 **FOR HONI PANEL 5**

7 MR. POLLOCK: And I guess before I begin, how long did
8 you want to go today, Mr. Chair?

9 MR. QUESNELLE: Quarter to five.

10 MR. POLLOCK: Okay.

11 MR. QUESNELLE: I take it that will split your -- you
12 will be starting again tomorrow morning?

13 MR. POLLOCK: Yeah. Absolutely.

14 MR. QUESNELLE: Okay.

15 **CROSS-EXAMINATION BY MR. POLLOCK:**

16 MR. POLLOCK: So thank you for your time, panel. It
17 has been a long day, so hopefully I will be able to get
18 through this.

19 I thought I would begin with questions that were asked
20 by a colleague of mine for panel 1 that were deferred to
21 you, and essentially if we could go to page 1 of the
22 compendium, this is just the title page of the Hydro One
23 distribution business plan that was from December 2nd,
24 2016; correct?

25 MS. BRADLEY: Correct.

26 MR. POLLOCK: And it was updated on December 8th,
27 2017, and that's at page 5, the title page is at page 5 of
28 our compendium.

1 Is it correct that that's the date of the update for
2 2017?

3 MS. BRADLEY: Correct.

4 MR. POLLOCK: Okay. So we have two years' worth of
5 distribution business plans, and I guess since my questions
6 will sort of focus on this, I wonder if you could just give
7 me an outline of what the distribution business plan is and
8 how it relates to the distribution system plan and the
9 application as a whole.

10 MS. BRADLEY: So the distribution business plan is,
11 annually we go through an investment planning process.

12 MR. POLLOCK: Um-hmm.

13 MS. BRADLEY: And this is the summary of the
14 investment plan that we do in that annual process that is
15 provided to our board of directors to summarize as a
16 business where we're going and what that five-year plan
17 looks like.

18 MR. POLLOCK: Okay, and how does it relate to the
19 distribution system plan and the application that's before
20 the board?

21 MS. BRADLEY: When we're filing an application, this
22 would contain the investment plan that is submitted to the
23 board, so it is the basis of the distribution system plan.

24 On the in-between years it's not obviously used for
25 that, but what the years we filed it is summarizing the
26 investment plan that forms the DSP.

27 MR. POLLOCK: Okay, so it would be fair to categorize
28 it as sort of a foundational document, so other things are

1 built on this foundation?

2 MS. BRADLEY: That would be fair.

3 MR. POLLOCK: Okay. So if we could go to page 3 of
4 the compendium. So here, as I understand it, this is the
5 beginning of the 2016 distribution plan, and you're sort of
6 giving a 10,000-foot view of Hydro One and various
7 attributes of the utility; is that fair?

8 MS. BRADLEY: That's fair.

9 MR. POLLOCK: So I just wanted to take you to, under
10 the heading "geography", four lines down, where it starts
11 "Hydro One maintains", do you have that?

12 MS. BRADLEY: I do.

13 MR. POLLOCK: So it says: "Hydro One maintains over
14 100,000 kilometres of rights-of-way."

15 So let's just stop there, and if would turn to page 7
16 of the compendium. This is the 2017 version, and it has
17 got the same paragraph here, "geography", and if you go
18 four line lines down we have:

19 "Hydro One maintains over 104,000 kilometres of
20 rights-of-way."

21 So you would agree with me that there was a 4,000-
22 kilometre increase in the amount of rights-of-way just to
23 start, right?

24 MS. BRADLEY: That are reflected in this document,
25 yes.

26 MR. POLLOCK: So can you tell me why it is -- is it a
27 dud issue, is there something going on with the business
28 that has increased your rights-of-way over the year?

1 MS. GARZOUZI: No, one was just a round number, the
2 other one -- the 104 is the data from our GIS, our
3 geospatial enterprise system, which is an accurate
4 kilometre view. It is not exactly 104. There are decimals
5 after that, but we rounded that number as well.

6 MR. POLLOCK: Okay. So in the 2016 one you didn't use
7 the GIC, you sort of gave it a rough estimate that was
8 close, and then you got the GIS and you gave it a more --

9 MS. GARZOUZI: We had GIS. It was just --

10 MR. POLLOCK: Okay.

11 MS. GARZOUZI: -- it was rounded to 100,000, and then
12 in the update -- I was there for the update, so I went to
13 GIS and pulled the values from the system.

14 MR. POLLOCK: Okay. So it was a more stylistic choice
15 than anything else.

16 MS. GARZOUZI: Yes.

17 MR. POLLOCK: Okay. And then -- so if we are back on
18 page 3, please, the second half of that same sentence says:

19 "And although the majority of the company's
20 distribution power lines are along roadways, one-
21 third of the lines are off-road, requiring the
22 use of special equipment for access and
23 maintenance."

24 Do you see that?

25 MS. GARZOUZI: Yes.

26 MR. POLLOCK: And if we flip back to page 7 of the
27 compendium, please. And so the same sentence the next year
28 says:

1 "The majority of the company's distribution power
2 lines are located along roadways and about one-
3 quarter of the lines are off-road, requiring the
4 use of special equipment access and maintenance."

5 So that seems to be a fairly significant jump between
6 one-third and one-quarter. Can you explain the drivers for
7 that change?

8 MS. GARZOUZI: The difference is in the year before
9 there was blank data, and so the way that that was assumed
10 was different. Again, the latest number that you see is
11 just pulled from GIS, and the most accurate data at that
12 point in time.

13 MR. POLLOCK: Okay. So as opposed to the first one,
14 which is stylistic, this actually is a data issue that you
15 have better or more accurate data to go with? Because it
16 seems like a very significant one just to be stylistic in
17 terms of how you come about it.

18 MS. GARZOUZI: I think it's how you would deal with
19 blank information in the system and how you would derive
20 from your GIS.

21 MR. POLLOCK: Okay, so continuing with the theme, if
22 we could go back to number 3 -- or page 3, sorry. And
23 we're going to go to a different paragraph, "aging and
24 deteriorating infrastructure", and I want to go to the
25 fourth line, where it says "for example, Hydro One". Do
26 you have that? Fourth line down on the right-hand side,
27 "for example, Hydro One"?

28 MS. GARZOUZI: Yes.

1 MR. POLLOCK: Okay. You got that? So it says:

2 "For example, Hydro One currently has 240,000
3 wood poles, 15 percent of the fleet, that are
4 beyond their expected service life of 60 years."

5 So let's hold there, and if we flip back to page 7,
6 under the heading "aging and deteriorating infrastructure",
7 we have three lines down this time, just at the right-hand
8 side, "for example", and it says:

9 "For example, currently has 280,000 wood poles,
10 17 percent of the fleet, that are beyond their
11 expected service life of 60 years."

12 So once again I think you will agree with me that
13 there is a 40,000 wood-pole difference between the two
14 documents?

15 MS. GARZOUZI: So the demographic track that we are
16 just looking at, it's the shifting of a bar for one year.

17 MR. POLLOCK: Right. So can we actually pull that up?
18 Thank you. I apologize. It is not my compendium, but if
19 we could go to B1-1-1, DSP section 2.3, page 38.

20 Hopefully we still have that handy, since you were
21 discussing it just a little bit ago. All right.

22 So I don't see between the orange and the red there
23 being a cohort as high as 40,000. So I was hoping that you
24 could help me with that.

25 [Witness panel confers]

26 MS. GARZOUZI: I'm not sure why that is. I can
27 confirm.

28 MR. POLLOCK: Yes, if you could undertake to confirm

1 that for me.

2 MS. GARZOUZI: Yes.

3 MR. POLLOCK: And I suspect since it's related I might
4 also need an undertaking for this, but if we go back to
5 page 3 of my compendium.

6 MR. QUESNELLE: Just mark the undertaking first.

7 MR. POLLOCK: Oh, sorry.

8 MR. SIDLOFSKY: J7.6.

9 **UNDERTAKING NO. J7.6: WITH REFERENCE TO B1-1-1, DSP**
10 **SECTION 2.3, PAGE 38, TO EXPLAIN BETWEEN THE ORANGE**
11 **AND THE RED, WHETHER THERE IS A COHORT AS HIGH AS**
12 **40,000.**

13 MR. POLLOCK: Thank you.

14 So if we go "aging and deteriorating infrastructure",
15 and we have line 1, 2, 3, 4, 5 -- the fifth line down,
16 right at the end, "if no replacements are made". Do you
17 see that?

18 MS. GARZOUZI: Yes.

19 MR. POLLOCK: So it says:

20 "If no replacements are made in the next five
21 years, the number of wood poles beyond their
22 expected service life rises to 400,000."

23 And if we turn to page 7 of the compendium again, and
24 we go down to aging and deteriorating infrastructure, and I
25 think six lines -- at least six lines down, just off the
26 left-hand side:

27 "If no replacements are made in the next five
28 years, the number of wood poles beyond their

1 expected service life rises to 400,000."

2 So interestingly, the number of poles at the end of
3 the period seem to between both documents, despite the fact
4 that you have found 40,000 new ones that have reached their
5 expected service life. So I'm wondering if you could also
6 help me determine why that is.

7 MS. GARZOUZI: I'm familiar with the more recent
8 document, so I can explain to you how I derived the number
9 in the more recent document. I am having trouble with the
10 older document and explaining why the numbers are such in
11 the older document.

12 MR. POLLOCK: I guess -- so from your answer, can I
13 take it that the way you derived the numbers in the new one
14 didn't really have any relationship to the way that whoever
15 did the 2016 derived their numbers. Is that fair?

16 MS. GARZOUZI: I can't comment on how they did it. I
17 just know that I pulled the most recent information that I
18 had available at that time in our enterprise system.

19 MR. POLLOCK: You didn't look at what they did and try
20 to copy it. You just sort of took the information that you
21 had from a source that you knew, and it was sort of without
22 any relationship to the one previous; is that fair?

23 MS. GARZOUZI: That's correct, I used our enterprise
24 system and I updated the numbers in the documents based on
25 the enterprise system. I didn't look at the methodology
26 that was used before.

27 MR. POLLOCK: Would you be willing to undertake to see
28 why the number of poles at the end of the period is the

1 same between the two, given that the previous document had
2 40,000 fewer at the beginning of the period?

3 MS. GARZOUZI: I could try to -- I could see what I
4 can find, certainly.

5 MR. POLLOCK: Thanks.

6 MR. SIDLOFSKY: J7.7.

7 **UNDERTAKING NO. J7.7: TO EXPLAIN THE DIFFERENCE IN**
8 **THE NUMBER OF POLES CALCULATED TO BE AT END OF LIFE IN**
9 **THE TWO DOCUMENTS**

10 MR. POLLOCK: And I guess we'll make a clean sweep of
11 it and if we could go back to page 3 -- so finally, I think
12 it's six lines down, I guess starting five lines down. So
13 after 15 percent of the fleet in brackets, do you have that
14 reference?

15 MS. GARZOUZI: Yes.

16 MR. POLLOCK: You've got it? Okay.

17 MS. GARZOUZI: Yes.

18 MR. POLLOCK: So we've got 15 percent of the fleet
19 that are beyond their expected service life of 60 years,
20 and 144 station transformers, 12 percent of the fleet.

21 So if we go four pages on to page 7 under the same
22 heading, and for this one it says there are -- sorry,
23 there's 17 percent of the fleets for wood poles that are
24 beyond their expected life of 60 years and 279 station
25 transformers, 23 percent of the fleet, that are beyond
26 their expected service life of 50 years. So that's nearly
27 double, correct?

28 MS. GARZOUZI: So this one stood out for me when I was

1 updating the numbers, and we restated it again based on
2 best data that we had available. But we tried to recreate
3 the 144 because it did stand out as different, and I was
4 unable to.

5 When I went back at that point in time, the data for
6 that point in time, I would have said 236 in 2016 using the
7 same system. And so based on that, that would have been
8 consistent with what we had filed in 2014, which coincides
9 with the 19 percent of the station transformers that are
10 beyond their expected service life.

11 So I would correct that. In 2016, I would have said
12 236 versus 144, and I stand by the 279.

13 MR. POLLOCK: Understood. So am I right in thinking
14 that the lion's share of the application is based on the
15 2016 distribution business plan -- and I'll explain to you
16 what I mean.

17 So the 2016 distribution business plan came out. You
18 formulated the application, or you were in the process of
19 formulating the application, and you filed the application
20 in March of 2017, is that correct?

21 MS. GARZOUZI: That's correct.

22 MR. POLLOCK: And so as it was going along, in
23 December of 2017, you updated the distribution business
24 plan and you also updated your filed evidence with Exhibit
25 Q, correct? That was also December of 2017?

26 MS. GARZOUZI: That's correct.

27 MR. POLLOCK: And Exhibit Q specifies what it's
28 changing, so all the differences, I think, specifically

1 general plant spending was a big one in terms of the
2 change. But it specifies in Exhibit Q everything that
3 you're updating and changing, right?

4 MS. GARZOUZI: Yes.

5 MR. POLLOCK: So everything that you haven't updated
6 was based on the 2016 distribution business plan, correct?

7 MS. BRADLEY: The one thing with the numbers you just
8 had stated before, I know that in our evidence, in the
9 distribution system plan under the wood pole section, it
10 does state that there are 280,000 poles at least 62 years
11 old, which is what it says in the most recent business plan
12 that you've pointed to.

13 We can follow up. I don't know if somebody maybe
14 didn't update those numbers or something in the last time
15 they did them, but the evidence is aligned with the more
16 recent numbers that Ms. Garzouzi said she is familiar with.

17 MR. POLLOCK: Thank you for that. But the
18 distribution business plan is the document that went to
19 your board, right?

20 So the way I understood the sort of relationship was
21 the business plan was the foundation and the application
22 was built on that foundation. And so this is the document
23 that went to your board, rather than the evidence, correct?

24 MS. BRADLEY: Correct.

25 MR. POLLOCK: Okay. So I guess to circle back to the
26 question before that one is everything that wasn't updated
27 in Exhibit Q was based on the distribution business plan
28 from 2016, correct?

1 MS. BRADLEY: Correct.

2 MR. POLLOCK: Okay. Am I right in thinking that as a
3 result of all of these differences in information, that
4 there were no updates to your proposal before this Board?
5 I appreciate that your update had general plant
6 differences, but these numbers didn't drive -- or these
7 deltas didn't drive any new investment decisions. Is that
8 correct?

9 MS. GARZOUZI: That's correct.

10 MR. POLLOCK: Okay. I'm at a natural breaking point,
11 so I wonder if the Board would like to break now.

12 MR. QUESNELLE: That's fine, Mr. Pollock. We will
13 resume tomorrow morning at 9:30, and we are adjourned for
14 the day.

15 --- Whereupon the hearing adjourned at 4:41 p.m.

16

17

18

19

20

21

22

23

24

25

26

27

28