



ONTARIO ENERGY BOARD

FILE NO.: EB-2021-0243

Uniform Transmission Rates

VOLUME: Technical Conference

DATE: July 29, 2022

EB-2021-0243

THE ONTARIO ENERGY BOARD

Generic Hearing on Uniform Transmission Rates-Related
Issues and the Export Transmission Service
Rate

Technical Conference held by videoconference
from 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Friday, July 29, 2022
commencing at 9:30 a.m.

TECHNICAL CONFERENCE

A P P E A R A N C E S

JAMES SIDLOFSKY	Board Counsel
MICHAEL PRICE	Board Staff
ANDREW PIETREWICZ	
TRACY GARNER	
DAVID BROWN	
ASHLEY SANASIE	
JONATHAN MYERS	Hydro One Networks Inc. (HONI)
HELOISE APESTEGUY-REUX	
PATRICK DUFFY	Independent Electricity System
TOM CHAPMAN	Operator (IESO)
JASON KWOK	
GEORGE DIMITROPOULOS	
JONATHAN MCGILLIVRAY	Anwaatin
SHELLEY GRICE	Association of Major Power
	Consumers in Ontario (AMPCO)
JOHN VELLONE	Association of Power Producers of
DAVID BUTTERS	Ontario (APPrO)
BRADY YAUCH	
TRAVIS LUSNEY	
SCOTT POLLOCK	Canadian Manufacturers & Exporters
	(CME)
JULIE GIRVAN	Consumers Council of Canada (CCC)
TOM LADANYI	Energy Probe Research Foundation
ROGER HIGGIN	
DWAYNE QUINN	Federation of Rental-housing
	Providers of Ontario (FRPO)
RANDY AIKEN	London Property Management
	Association (LPMA)
NAREN PATTANI	
MICHAEL BROPHY	Pollution Probe
JOHN DeVENZ	

A P P E A R A N C E S

RICHARD STEPHENSON	Power Workers' Union (PWU)
MARK RUBENSTEIN	School Energy Coalition (SEC)
BILL HARPER	Vulnerable Energy Consumers Coalition (VECC)

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:30 a.m.	1
ASSOCIATION OF POWER PRODUCERS OF ONTARIO - PANEL 5	2
T. Lusney, B. Yauch	
Examination by Mr. Harper	2
Examination by Mr. Rubenstein	32
--- Recess taken at 10:47 a.m.	50
--- On resuming at 11:06 a.m.	50
Examination by Mr. Myers	56
Examination by Mr. Ladanyi	60
Examination by Ms. Grice	69
Examination by Mr. Pietrewicz	74
--- Luncheon recess taken at 12:24 p.m.	98
--- On resuming at 1:15 p.m.	98
ELENCHUS - PANEL 3	99
A. Blair	
Examination by Mr. Vellone	99
Examination by Mr. Rubenstein	119
Examination by Mr. Harper	131
Examination by Dr. Higgin	138
--- Recess taken at 2:31 p.m.	142
--- On resuming at 2:50 p.m.	142
Examination by Mr. Pattani	143
Examination by Mr. Pietrewicz	147
Re-Direct Examination by Mr. Myers	159
--- Whereupon the hearing concluded at 3:21 p.m.	161

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT NO. KT 2.1: HYDRO ONE COMPENDIUM FOR APPRO PANEL 5	50

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING NO. JT2.1: APPRO TO PROVIDE THE UNDERLYING STATISTICS OF THE TREND LINE PROVIDED IN FIGURE 14.	44
UNDERTAKING NO. JT2.2: APPRO TO TAKE UNDER ADVISEMENT THE REQUEST FOR THE MODEL ON WHICH POWER ADVISORY'S CALCULATIONS ARE BASED.	54
UNDERTAKING NO. JT2.3: ELENCHUS TO RUN A SCENARIO TO EXPLORE THE IMPACT ON THE ETS RATE OF ALLOCATING 20 PERCENT OF SHARED NETWORK COSTS TO EXPORTERS.	100
UNDERTAKING NO. JT2.4: ELENCHUS TO MODEL THE IMPACTS ON ITS COST ALLOCATION STUDY FILED IN THIS PROCEEDING OF CHANGE THAT WOULD RESULT IN CONGESTION RENTS BEING REIMBURSED FROM THE IESO DIRECTLY TO HYDRO ONE, IN THE SAME WAY THAT THE ETS RATES ARE COLLECTED BY THE IESO AND REMITTED TO HYDRO ONE; TO MODEL THE IMPACT OF THAT ON THE STUDY.	106
UNDERTAKING NO. JT2.5: ELENCHUS TO MODEL THE IMPACTS ON THE ELENCHUS COST ALLOCATION STUDY OF AN ASSUMED CHANGE THAT WOULD HAVE THE BALANCES OF THE TRANSMISSION RIGHTS CLEARING ACCOUNT REMITTED DIRECTLY TO HYDRO ONE TRANSMISSION, AS OPPOSED TO JUST DISBURSED TO THE BENEFIT OF RATEPAYERS THE WAY IT CURRENTLY IS.	115

1 Friday, July 29, 2022

2 --- On commencing at 9:30 a.m.

3 MR. SIDLOFSKY: It is 9:30. Why don't we get started.

4 Good morning. Welcome to day 2 of the technical
5 conference to deal with clarifications of interrogatories
6 related to the export transmission rate -- export
7 transmission service rate component of the uniform
8 transmission rate proceeding.

9 My name is James Sidlofsky. I am with the Ontario
10 Energy Board.

11 I won't repeat appearances from yesterday, but if
12 there is anyone on the line today who wants to identify
13 themselves and make an appearance, and enter an appearance,
14 that would be great. If you could please do that now I
15 would appreciate it.

16 MR. VELLONE: Mr. Sidlofsky, I have an associate of
17 mine that's joined me today, Colin Boyle, just for the
18 purposes of putting the evidence up on the screen and
19 facilitating questioning.

20 MR. SIDLOFSKY: Okay. That's great. Thanks. Thanks,
21 Mr. Vellone. Good morning, Mr. Boyle.

22 MR. BOYLE: Good morning.

23 MR. SIDLOFSKY: Not hearing from anyone else, we will
24 move on to you, Mr. Vellone. This is your panel this
25 morning. So if you could introduce them, that would be
26 great.

27 MR. VELLONE: Thank you very much, Mr. Sidlofsky.
28 With us today we have Travis Lusney and Brady Yauch, both

1 from Power Advisory. Their CVs are attached to the
2 evidence that they filed, so I am not going to spend too
3 much time introducing them and instead open it up for
4 questioning.

5 **ASSOCIATION OF POWER PRODUCERS OF ONTARIO - PANEL 5**

6 **Travis Lusney**

7 **Brady Yauch**

8 MR. SIDLOFSKY: Okay. And with that, we have VECC
9 first up. Mr. Harper.

10 **EXAMINATION BY MR. HARPER:**

11 MR. HARPER: All right then. Again, my name is Bill
12 Harper. I am a consultant on behalf of VECC, and maybe if
13 I can start off with some good news. I went through my
14 notes last night and reflected somewhat on what was said
15 yesterday, and with any luck I think I will be considerably
16 under my time estimate, which means we will move through it
17 more quickly today than originally anticipated.

18 With that, could we turn up Power Advisory response to
19 LPMA 2A.

20 MR. BOYLE: Let me just share my screen here. LPMA 2.

21 MR. HARPER: 2. And it is part A. That's great.

22 Now, I just want to look at the third sentence there.
23 Here in the third sentence you state:

24 "There does appear to be any market failure that
25 a regulatory process must address."

26 Now, would I be correct in saying there is a "not"
27 missing from that sentence, such that it should read:

28 "There does not appear to be any market failure

1 that a regulatory process must address."

2 MR. YAUCH: That's correct, yes, it should say there
3 does not appear to be any market failure.

4 MR. HARPER: Okay. I just wanted to make that clear
5 for the record. Thank you.

6 Now if we can maybe turn to Power Advisory's responses
7 to VECC 5.1 and VECC 5.2.

8 MR. BOYLE: 5.1 and 5.2?

9 MR. HARPER: Yes. Now, based on your responses to
10 these two questions, I take it Power Advisory is not
11 recommending or advocating any specific ETS rate; is that
12 correct?

13 MR. YAUCH: That's correct.

14 MR. LUSNEY: That's correct.

15 MR. YAUCH: Yes, we were asked to look at a change
16 from, you know, 185 up or 185 down, so we looked at the
17 impact of the change, but we didn't settle on what is the
18 correct rate.

19 MR. HARPER: But based on your response to this IR and
20 other IRs as well, would I be correct to conclude that for
21 reasons of system efficiency and system-wide benefits you
22 would favour a lower, as opposed to higher, ETS rate?

23 MR. YAUCH: The evidence shows a lower rate has
24 potential to provide system-wide benefits, both financial
25 and from an operational point of view for Ontario, but we
26 are not advocating the Board settle on one number in
27 particular.

28 MR. HARPER: All right. And also, I guess, and also

1 within these responses, I think, given that context, I
2 think you also recognize that there are a number of other
3 considerations of putting fairness and transparency that
4 need to be balanced eventually by the regulator in making
5 any decision on the ETS rate?

6 MR. YAUCH: That's right. Rate-setting, as you know,
7 is a very complex endeavour, and regulators can include a
8 number of variables when they go to set rates, and so we
9 say straight-up economic efficiency may not have to be the
10 only consideration the OEB would consider, but -- so it
11 opens it up to a variety of other rates and the options.

12 MR. HARPER: Great. Maybe we could turn now to your
13 response to Energy Probe 2A. Yeah, I just want to -- yeah,
14 and here you were asked for Power Advisory's view as to
15 what was meant by cost causality principles, and you
16 responded:

17 "At a high level, cost causation means that
18 someone who causes a cost to be incurred is
19 required to pay for it, essentially that any
20 party that imposes a system-wide cost is
21 allocated that cost."

22 Then you go on after that.

23 In terms of cost allocation principles, are you aware
24 of regulators adopting an approach that considers not only
25 parties who cause the cost but also considers parties that
26 benefit from those costs?

27 MR. YAUCH: We didn't do a detailed review of the
28 jurisdictions on all of the rates and options that someone

1 might consider when setting rates. That was just our view
2 of what cost causation is, but agreed that regulators could
3 take a variety of different approaches in doing it.

4 MR. HARPER: And would you view that some regulators
5 have a particular approach that includes, when considering
6 cost allocation, considering those who benefit from the
7 costs that have been incurred?

8 MR. YAUCH: I mean, I don't think we will agree to
9 what other regulators have done without pointing us to a
10 particular situation. I mean, there are many different
11 rates set in many different jurisdictions, so I'm assuming
12 somewhere out there possibly, but, you know, we can't agree
13 to that.

14 MR. HARPER: Well, maybe Mr. Lusney would like to
15 comment on that.

16 MR. LUSNEY: I think linking back to the earlier
17 response to your previous question, that, you know, there
18 are other considerations that have come in with rate
19 decisions from a regulatory panel, such as the OEB. There
20 is going to be principles as you go forward, but they're
21 not hard set rules, and you have to make decisions based on
22 all facts, but what we're kind of describing here in this
23 answer is related to cost causation, and we believe, you
24 know, it's costs incurred, should be required to pay for
25 it.

26 MR. HARPER: I guess the reason I was struggling with
27 this was, I guess in response to VECC 10.3 you filed the
28 evidence that Mr. Lusney had provided in an IESO proceeding

1 a number of years ago, and I really didn't want to go to
2 it, but within that proceeding, Mr. Lusney's evidence made
3 reference to the concept of system benefits being a
4 principle that could be used in cost allocation, and
5 actually made reference to a couple of regulators, FERC and
6 California, that had employed that principle.

7 Maybe without going to the evidence, can you generally
8 agree that those topics were covered within the evidence of
9 that point, that you provided in the attachment?

10 MR. LUSNEY: I think in any decision within a
11 jurisdiction it's important to recognize the uniqueness in
12 that jurisdiction and what is relatable to that
13 jurisdiction when doing other alternative jurisdictional
14 reviews and relationships.

15 So in the IESO 2013 tariff where we filed evidence on
16 behalf of the UCA, we were looking at a unique Alberta
17 construct, which is a no-congestion system, and trying to
18 understand the rate-making processes that were being driven
19 there both from reliability principles, but also policy
20 drivers.

21 And so that was trying to relate directly to the
22 Alberta construct and that things, and then that is kind of
23 back to the point of, there are other considerations that
24 have to be unique within the regulatory framework for that
25 jurisdiction.

26 MR. HARPER: Okay. That's fine. Can we go to your
27 response to Energy Probe 3C. I guess, and maybe this goes
28 to the same topic, because here you were asked whether you

1 were opposed to a user pay principle, which to some extent
2 is a benefit paid principle, because users benefit from the
3 system, and you say, no, but then you list a number of
4 specific caveats that you think should be taken into
5 account if you actually apply that principle.

6 I guess what I see is the clear distinction,
7 specifically when I come to points B and C in your
8 response, between incorporating those elements specifically
9 in the cost allocation model itself, as opposed to
10 considering them in conjunction with the results of a cost
11 allocation model.

12 And I guess within the context of your caveat there,
13 were you proposing that they should be specifically
14 incorporated into the cost allocation model? Or at the end
15 of the day they should be considered -- it is important to
16 have them considered in conjunction with the results of the
17 cost allocation model?

18 MR. LUSNEY: Our view, it is considered. I mean,
19 these are aspects that need to be weighed as part of any
20 decision-making process.

21 And there are core principles that you can go down to
22 that might help you divide and come to conclusions. But at
23 the end of the day, I mean this is a complex cost
24 allocation requirement and build-out and you are trying to
25 at least make sense of it from a principles point of view,
26 but it is not hard rules.

27 MR. HARPER: Fine. Thank you very much. Can we go
28 to -- I guess it is back to LPMA 2A.

1 Here you state at the last -- it is the last part of
2 that first paragraph there, where you state:

3 "Export customers more than cover the cost of
4 operating and maintaining the inter-ties, which
5 is the only infrastructure explicitly used by
6 export market participants."

7 Now, and you specifically use the word "use", so I
8 guess I would ask don't market participants also use Hydro
9 One's new network, in terms of getting that power they've
10 purchased to the inter-ties?

11 MR. LUSNEY: So one back to our cost causation, you
12 know, what is the driver to build out the system? What is
13 important to recognize is just from a core principles point
14 of view, generation does not pay to use the transmission
15 system.

16 It is primarily a customer-based driver. And you
17 build out the system to meet loads and loads are the
18 ultimate funder of the system.

19 Use of the system also differs between different --
20 what you could call classes. It is not clearly defined
21 whether it is a firm delivery or an interruptible delivery
22 as, you know, roughly defined by ourselves.

23 So I think it is important to recognize, you know,
24 some of this comes from principles and how you allocate
25 costs and determine build-out of the system. And others
26 come from, okay, we have a certain set up. What is an
27 appropriate sharing of those costs, if it is appropriate in
28 one way or another, and when is the system being used and

1 what is it being used for and what are the added benefits.

2 I think that is where our evidence is trying to come
3 from is recognize it is not a narrow aspect. It is a much
4 more broader impact to customers and this is the impact of
5 a lower ETS.

6 MR. HARPER: I understand. I was just focussing on
7 specifically on what seemed to be the specific statement
8 here which was that they only use the inter-ties. I take
9 it you would acknowledge that they used more than just the
10 inter-ties, but because of issues like interruptible, et
11 cetera, maybe their use isn't the same as it would be for a
12 load customer.

13 MR. LUSNEY: I think what is unique and should be
14 recognized in the Ontario system is you don't have firm
15 transmission rights through the Ontario system.

16 So if you are an exporter, you don't know exactly what
17 generation output you are moving out, and it could be a
18 generator at a tie which you are not using the network, or
19 it could be a generator buried deep inside, and that is
20 really not -- there is no capability of assigning that in
21 one way.

22 MR. HARPER: I guess that kind of applies to any load
23 in the province.

24 MR. LUSNEY: Yes.

25 MR. HARPER: Yes, okay, fine. I think that is clear.
26 Can we go to Power Advisory's response to Energy Probe 6B?

27 Here you cite the export opportunity service XOS, and
28 the demand opportunity service DOS, under the Alberta

1 electric system operator's transmission tariff as examples
2 of where economic opportunity was used by utilities
3 separately that were accrued by regulators.

4 There wasn't a lot of detail here, so I was just
5 curious. What is the economic opportunity in this
6 particular case that was being used in setting the export
7 tariff?

8 MR. LUSNEY: So again back to different jurisdictions,
9 so different unique circumstances, and the evolution of
10 tariff designs is an organic thing, not a full reset; you
11 build on it.

12 In the Alberta aspect and for a system that is
13 designed to have no congestion under normal circumstances
14 -- or more accurately put, a hundred percent of energy must
15 flow when normal operating circumstances exist in the
16 transmission system.

17 So the economic opportunity in that in this case is
18 when there is, for lack of a better term, available
19 capacity on the system that can be used by opportunistic
20 users, whether it is export or demand, that would not be
21 economic under a firm transmission set up.

22 So for demand, this would be demand transmission
23 service, DTS, verses demand opportunity service that would
24 only use it when there is slack capacity on the system.
25 And there is a whole rate design and cost allocation
26 principles that sit behind them.

27 MR. HARPER: I am familiar with that concept. I think
28 BCU used a similar concept for a while as well, actually.

1 Can we turn now to the CRA study that was filed as
2 part of the Hydro One IESO submission, specifically
3 attachment C, where it starts at page 23 of 24.

4 MR. BOYLE: Sorry, which one was that?

5 MR. HARPER: The joint Hydro One IESO submission at
6 the start of this process effectively, and the CRA study
7 which I believe is attachment 2 to that report. And as
8 part of the CRA study, there is an attachment C which is
9 found at page 23 of 24 of the CRA report. I know there's
10 so many attachments here, it gets a bit confusing in terms
11 of how to refer to them.

12 Actually, right. You are right there, right there. I
13 want to ask are you familiar at all with this attachment or
14 have you gone over it at all?

15 MR. YAUCH: We reviewed it at a high level, but we
16 didn't take a detailed review of it.

17 MR. HARPER: If you can't answer this, that's fine.
18 But what I was struggling with was the fact when I read
19 this attachment, in particular the three paragraphs, it
20 suggested to me that the AESO export tariffs were based on
21 -- essentially on a cost allocation study.

22 I was trying to square this with your statement that
23 economic opportunity is used in setting the rates.

24 Maybe if I understand Mr. Lusney's response -- and I
25 don't want to put words in your mouth, but maybe as a basic
26 first step cost allocation is used and that is how the
27 basic rates are set. But then these opportunity rates are
28 set sort of as a -- to address unique circumstances.

1 Would that be a fair -- I am just trying to square
2 your comments and what I see here.

3 MR. LUSNEY: Part of our comments in responses -- and
4 maybe we should have clarified it as the ongoing current
5 IESO tariff discussion that is happening in Alberta, which
6 is contemplating changes on how these preferred rate
7 designs using the a -- preferred rate design and then the
8 propagated impacts down on XOS and modernized DOS and for
9 certain consultants' avocation for a new storage
10 opportunity service and similar.

11 So it is a mixture. But I think going back to part of
12 this is also the unique circumstance of what Alberta is,
13 which is a very unique market, being energy-only design and
14 a no-congested transmission system.

15 MR. HARPER: Okay, fine. Thank you. Like I said, I
16 was just trying to square those two points in my mind.

17 Can we turn up your response to VECC 17.1? Here we
18 asked about the derivation of the average export line in
19 figure 13 of your evidence.

20 You stated that the average exports in every hour were
21 predefined by predefined HOEP ranges.

22 To understand that a bit more given that statement,
23 could we maybe go to figure 13 in your evidence. So that
24 would be in the Power Advisory evidence itself, figure 13.

25 Now, just looking at this figure, I noticed that -- I
26 am going to approximate the numbers, but I noticed that a
27 HOEP value of zero dollars there seems to be an associated
28 export megawatt value of just over 2500 megawatts per hour.

1 I don't need any precision on the number. I was just
2 wondering can you tell me what the predefined HOEP range
3 was that was used to calculate that roughly 2500 megawatts?

4 I'm sorry, Brady, I don't think your mic is on.

5 MR. YAUCH: Sorry about that. Zero dollars and below.

6 MR. HARPER: And similarly, I notice that at the five
7 dollar per megawatt, there seems to be an associated export
8 value of roughly 2300 megawatts per hour. Again, what HOEP
9 range did you use there?

10 MR. YAUCH: Zero to five.

11 MR. HARPER: Zero to five. Okay, fine, thank you very
12 much.

13 Now, in your analysis, you have used the change in
14 HOEP as a proxy for the change in ETS rates to estimate the
15 impact of a change in the ETS rate on both export volumes
16 and on the ICP. Is that correct?

17 MR. YAUCH: That's correct.

18 MR. HARPER: Would it be fair to say that these
19 relationships you have used between HOEP and exports and
20 HOEP and ICP are really a key part of your analysis?

21 MR. YAUCH: They form the basis of it, yes.

22 MR. HARPER: Now, in your evidence, you indicate that
23 an increase in ETS rate of 4.69 per megawatt-hour would
24 reduce export volumes by 17 terawatt-hours. And that is on
25 page 38; you don't have to turn it up.

26 But maybe if we can go to VECC 19.1, then. Here we
27 asked you to provide a schedule setting out the calculation
28 of the 17 terawatt-hours and the data used, and you

1 provided the data used in an Excel attachment.

2 But really, in terms of the explanation, it was really
3 in my mind a high-level explanation of how the calculation
4 was done. And I must admit, while I think I understand how
5 it was done, I am not precisely certain. What I would like
6 to do, if you would be patient with me, is walk through to
7 some extent my understanding of what the -- how the
8 calculation was done, and you can -- and if I am right then
9 or if I am pretty close we're all happy. If I'm wrong
10 we'll have to take this somewhere.

11 MR. YAUCH: Okay.

12 MR. HARPER: And I think, you know, your high-level
13 attachment is provided -- your high-level explanation,
14 excuse me, and maybe we want to go there -- is provide an
15 attachment A to your -- to the Power Advisory IR responses.
16 I mean, that is really the last two pages in the IR
17 response document that you filed.

18 Now, if we gowm to step 6, because I think this is
19 really where you describe what you have done. And in
20 scenario A you describe how you calculated the impact of
21 the \$4.69 per megawatt-hour increase in ETS, and as I
22 understand it, what you did was you calculated the average
23 exports per hour over a range of HOEP intervals, where the
24 first interval was minus ten cents to \$4.69, and as I
25 understand it correctly, the next interval would have been
26 4.70 to sum value. Maybe you can just let me know what the
27 upper end of the second range was.

28 MR. YAUCH: You add 4.69 to 4.69. I think it is 9 --

1 MR. HARPER: Right. And then similarly, you had
2 equally, you know, wide intervals of HOEP. You --
3 progressively going up after that, and you calculated the
4 average exports per hour in each of those intervals. That
5 would be what you have done; is that correct?

6 MR. YAUCH: That's correct.

7 MR. HARPER: Yes. And then really, in order to get
8 the change, what you did is, let's say if you wanted to
9 understand what the change was in HOEP in that first
10 interval, minus ten cents to 4.69, you would have looked at
11 the next interval up and compared the average exports there
12 with the average exports in that minus ten cents to 4.69
13 interval, and that change would have been what you had
14 assumed for that first interval was the change in average
15 exports that would take place if you increased the ETS with
16 \$4.69.

17 MR. YAUCH: That's right. The only -- it's not an
18 average, so you look at total exports --

19 MR. HARPER: Right. But as we say, that is the change
20 in the average, and then to get the total you multiple that
21 average by the number of hours in that interval covered.

22 MR. YAUCH: No. For the numbers in the report that
23 underpin, let's call it the \$42 million net increase in
24 cost, it is the sum. So there is a total --

25 MR. HARPER: Right. Right. Sum. For each of those
26 intervals you calculate the total number of -- the total
27 change in export volumes in that interval by the average
28 change multiplied by the number of hours, then you'd sum

1 that up over all of the intervals in order to get the total
2 for the whole thing, right?

3 MR. YAUCH: It's not -- there's no -- like, you don't
4 average in the analysis, right? So let's say there is 10
5 terawatt-hours of exports in zero to 4.69, and then there
6 is 7 terawatt-hours in 4.69 to 9.38. Well, there is a 3
7 terawatt-hour difference. So it's just the sum -- the
8 difference between those two, the total amount of exports
9 that flow to different buckets.

10 MR. HARPER: Right. But those intervals are going to
11 have different number of hours. Each interval is not -- is
12 not -- each interval is not going to cover the same number
13 of hours, correct?

14 MR. YAUCH: Based on prices, not hours.

15 MR. HARPER: Right. No. I know. Because it is based
16 on prices, I thought what you did was you calculated the
17 average export per -- average exports per hour in each
18 interval, compared that change in average, and then
19 multiplied that by the number of hours in the interval to
20 get the total change.

21 MR. YAUCH: No. We took -- if you're looking at just
22 the exports, there is a total amount of exports in a
23 certain price bucket. That is called the first -- zero to
24 4.69. Let's say it is 10 terawatt-hours.

25 MR. HARPER: Right.

26 MR. YAUCH: Then the next price bucket there is a
27 certain number of total terawatt-hours of exports, and the
28 idea is to say you're using HOEP as a proxy to see how

1 export volumes respond to different price levels.

2 MR. HARPER: Right. But let's say that first bucket
3 of terawatt-hours, you know, because of the range of HOEP
4 it covered, covered 1,000 hours -- covered 1,000 hours of
5 the total period and the second bucket only covered 500
6 hours. Don't you have to somehow take that difference into
7 account when you are doing your calculation?

8 MR. YAUCH: I don't think so, because you're trying to
9 show that export volumes will increase when prices are
10 lower. Like, it's intuitively sensible, because as prices
11 are lower you're going to have more hours or more total
12 volumes of exports, and because Ontario is a low-priced
13 environment over the last four years, particularly when
14 this analysis was done, you're going to likely have more
15 hours that are lower price than higher price.

16 MR. HARPER: No, I understand the principle of that.
17 It was actually the mechanics of the calculation that I was
18 struggling with, and rather than going through this I think
19 I understand what you have done. To be quite honest, I
20 don't agree with it, but that is another -- that is another
21 problem. We will take that up a little bit later on sort
22 of thing.

23 Now, can we go to VECC 19.2. And here we asked how
24 Power Advisory's calculation of the decrease in export
25 volumes due to an increase in the ETS rates accounted for
26 the fact that an increase in the ETS rate will not impact
27 export flows in hours where the ICP is greater than the ETS
28 rate increase. And this is something that we discussed

1 with the IESO panel yesterday.

2 In your response you basically refer to that
3 attachment we just have been looking at and said this
4 answers your question, and I am not too sure if it does,
5 and I was wondering if you could provide me a specific
6 answer to that question in VECC 19.2. And if you want to
7 think about it, take it as an undertaking, that is fine by
8 me as well.

9 MR. LUSNEY: Give us -- if it's okay, can we have a
10 minute for a breakout room to chat?

11 MR. HARPER: Sure.

12 MR. LUSNEY: We're -- just for everyone, we're in the
13 same room together, so we will just turn our cameras off.
14 We won't need -- Ashley, we won't need an actual breakout
15 room, thank you.

16 [Witness panel confers]

17 MR. YAUCH: Thanks for that. I mean, our response is
18 really the same. You know, we walked through the
19 methodology. We looked at export volumes by price buckets
20 using HOEP increases as a change to the ETS and then look
21 at the increase in -- increase or decrease in export
22 volumes, as well as increase or decrease in congestion
23 rents.

24 So it is the same exact process that we described,
25 that we just walked through five minutes ago.

26 MR. HARPER: Yeah, no, I understand the process that
27 you went through. I was trying to understand where the
28 process specifically -- how the process specifically

1 addressed the situation that I set out in that question.

2 And --

3 MR. LUSNEY: Can I --

4 MR. HARPER: And I guess what you are telling me, it
5 does, and that is the end of the answer, that's fine, I
6 will take the answer you are giving me.

7 MR. LUSNEY: I think -- go ahead, John.

8 MR. VELLONE: Bill, I don't understand the premise of
9 the question, and maybe you can explain that to me.

10 MR. HARPER: Well --

11 MR. VELLONE: Exporters pay ICP and ETS --

12 MR. HARPER: Right.

13 MR. VELLONE: -- so if ETS just -- if ICP just happens
14 to be higher than ETS, that doesn't matter.

15 MR. HARPER: No. But the discussion we had with the
16 IESO yesterday, and we went through the things, was
17 specifically if the ICP happens to be higher than the
18 contemplated increase in the ETS rate, then what will
19 happen is there will be a one-to-one trade-off between the
20 ICP and the ETS rate, but there will be no impact on export
21 volumes. That was the -- that was -- that was part of the
22 IESO's evidence and part of their attachment to the
23 original submission. That was what I went over with them
24 yesterday.

25 And so I was asking, there appear to be situations
26 where an increase in HOEP or, you know, or an increase in
27 the ETS rate would not change the export volumes, because
28 the ICP at the start of the process was higher than the

1 anticipated increase in the ETS rate.

2 And I just wanted to know, how does the methodology
3 take into account or capture that particular circumstance?

4 MR. YAUCH: I can answer this. The analysis doesn't
5 do an hour to hour look at every single hour which has
6 happened.

7 So there could be times in which that happens. But
8 there could be times in which the ICP and export volumes
9 both decrease. And we walked you through a very high level
10 example in response to one of your questions, I believe,
11 that both could happen at the same time.

12 So I know the IESO said it is just a straight one for
13 one, but it is not clear that every single hour is going to
14 be straight one for one. And you wouldn't be able to
15 answer that unless you look at the actual bids of every
16 single export in every single hour.

17 MR. HARPER: That goes to your point that I think you
18 acknowledged a number of times maybe -- I won't say
19 complain, but you said that, you know, the data you had was
20 not as quite as much as would have been ideal in doing your
21 analysis.

22 MR. YAUCH: That's correct. And I think this is a
23 good time to sort of lay that out that, you know, when you
24 look at the data available that the IESO publishes compared
25 to other wholesale markets, it is severely lacking,
26 frankly, in our opinion. If you had the proper data to
27 look at export bids, you could look back on a historical
28 basis and see exactly what would have happened if you

1 lowered or increased the export bids to a certain amount.

2 So the lack of data does limit the accuracy of the
3 study in our opinion. And as you noted, we were very clear
4 about that throughout.

5 MR. HARPER: No, that's fair. Maybe we can just
6 quickly go back to step 6 in your methodology. So that
7 would begin going back to attachment A at the very end of
8 the IR responses in step 6.

9 Here you also set out a scenario B, which is really
10 where the ETS would decrease from \$1.85 down to zero.

11 Would I be correct to say that the methodology you
12 used was exactly the same, except the intervals were now
13 \$1.85 applied going through the process?

14 MR. YAUCH: Yes, it's just the reverse.

15 MR. HARPER: Right, it is the reverse and you changed
16 the width the of the intervals. That's fine, I think I
17 understand that.

18 At a high level, would you agree that export volumes
19 are influenced by more than just the value of the HOEP,
20 that they're also influenced by limits on the inter-ties
21 that could change, and influenced by the temperature of the
22 day and capability of an inter-tie on a particular day?

23 MR. LUSNEY: As we noted in our evidence, the reason
24 why export volumes occur are multiples, and can be driven
25 by a whole bunch of different aspects. And similar to
26 questions from other intervenors, you know, the reason why
27 something trades is not always a real time decision; it can
28 be days ahead, months ahead.

1 MR. HARPER: Right. So also influenced not by that,
2 but also -- not only by what is going on in Ontario, but
3 also by the prices in the neighbouring jurisdictions. I
4 think that is something you pointed out in your own
5 evidence as well.

6 MR. LUSNEY: That's correct. That is one of the
7 aspects.

8 MR. HARPER: Those prices in neighbouring
9 jurisdictions, they vary hourly as well.

10 MR. LUSNEY: Right. And while it is just -- we have
11 used neighbouring as part of our analysis, or looked at it,
12 I mean you can make the argument that you need to look at
13 the next neighbour and next neighbour, and all the way down
14 to Florida.

15 MR. HARPER: Right.

16 MR. YAUCH: Bill, if I could just add. In our report,
17 there is a graph where we look at prices in zone A, which
18 is right across the river from Quebec in New York, and the
19 exports flow into zone A even when the price spread doesn't
20 appear obvious, right, and it looks like you are losing
21 money. That is why we're pointing out trades can happen
22 for a variety of reasons.

23 So we don't know what every single decision-making
24 process is happening for every single trade. But there
25 could be times -- it is not just pure price spread in real
26 time that is driving it.

27 MR. HARPER: Okay. So maybe I will put this to you.
28 So what I have been struggling with is that -- so why it is

1 reasonable to assume that the change in export volumes that
2 would occur in a given hour if the HOEP or ETS were changed
3 by 4.69 in that particular hour, can be estimated by
4 looking at export volumes in a different hour when the HOEP
5 is 4.69 higher, but when system conditions are going to be
6 totally different.

7 I guess that is -- there is a fundamental difference
8 between changing the ETS in a particular hour in that hour
9 and looking at it, which I guess is what you would do if
10 you knew the bids in every hour, as opposed to looking at a
11 different hour where the HOEP was 4.69 different in looking
12 at the export volumes there, but also you acknowledged a
13 whole bunch of other things have also changed in that hour
14 as well, whether it be neighbouring prices, capability on
15 the export ties, temperatures, that would also impact the
16 export volumes.

17 So to some extent, that seems to me that sort of
18 muddies the analysis, if I can put it that way. I don't
19 know whether you would like to comment on that or not.

20 MR. LUSNEY: I think one of the core -- our objective
21 and why we were retained was to provide help to the panel
22 in making the decision, and provide an analysis on what an
23 impact of a higher ETS or lower ETS.

24 As we state throughout our evidence, you know, this is
25 a very complex, convoluted, real time impacted, month ahead
26 impacted.

27 So what we've attempted to do, and we believe we have
28 achieved in our analysis, is providing a clear and

1 transparent and simplistic at times analysis to provide
2 guidance to the panel, so that they can come to their own
3 appropriate decision when looking at our evidence and other
4 information that's been filed by all other participants in
5 this proceeding.

6 So we recognize there is a lot more complexity, but
7 back to the part of the issue, without more firm data
8 points to allow us to dig deeper, there is a risk that the
9 analysis becomes less, much less helpful.

10 So we wanted to be grounded in a foundation that is
11 fruitful for the panel to consider.

12 MR. HARPER: Okay, fine, that's fair. Can we turn up
13 VECC 17.2? Here we asked you for an analysis of the
14 relationship between HOEP and exports, and you declined to
15 provide it. That's fine. I am not going to pursue that.

16 I would just like to confirm whether you have actually
17 done any statistical analysis to determine whether there is
18 a statistically significant relationship between the HOEP
19 values in your analysis and the export volumes in your
20 analysis.

21 MR. YAUCH: Our methodology -- you know, as we weighed
22 out as the methodology is we use actual data to look at the
23 actual changes in export volumes, congestion rents, based
24 on changes in HOEP. So that was how the methodology was
25 used.

26 MR. HARPER: But you didn't do any statistical
27 analysis to see whether it was noise or whether it was a --
28 whether there was -- whether there was a statistically

1 significant relationship between the two?

2 MR. YAUCH: No. We just used the HOEP value as a
3 change in the ETS as a proxy for the change in the ETS.

4 MR. HARPER: That's fine. Similarly, can we turn to
5 18.3 and 18.4, your responses to VECC.

6 I guess maybe before I get into this, I understand
7 your analysis of how congestion rents change when you
8 change the ETS rate really follows -- you really followed
9 exactly the same approach as you did with the export
10 volumes. Except this time, instead of looking at export
11 volumes within each of those price buckets, you looked at
12 ICP revenues within each of those buckets. Would that be a
13 fair comment?

14 MR. YAUCH: That's right. I think this term
15 statistically significant keeps on getting thrown out, and
16 the point was to look at historical actuals.

17 Like you didn't need to do a statistical regression
18 analysis because you could look at exactly what happened
19 with the change in HOEP, and the HOEP is the driving factor
20 in exports. So as HOEP changes, exports change and it is
21 very clear that they change quite significantly based on
22 HOEP, because that is the only thing that is driving them
23 in a --

24 MR. HARPER: Maybe I can stop you -- sorry if I
25 interrupted you. If I could stop you there.

26 MR. YAUCH: That's okay.

27 MR. HARPER: Your comment it's clear that they change.
28 I think I would ask you to qualify that term

1 "significantly", because again that has connotations as to
2 what you mean by significantly.

3 Maybe say materially, that might be a fair comment to
4 make.

5 MR. YAUCH: We can settle on materially.

6 MR. HARPER: Okay, that's fine. Again, you just use
7 the data that was there. You didn't do any more analysis
8 than what you presented in your report?

9 MR. YAUCH: No. And to another comment, like so we do
10 a lot of price forecasts. We have a market simulation
11 model very similar to what the IESO uses. Underpinning
12 those models are vast assumptions.

13 For the benefit of the panel and other parties, we try
14 to say what's the easiest and most transparent way to look
15 at this, and that is how we settle on this methodology. We
16 do have a lot experience with market simulation models, but
17 we wanted to strip out all of the problems that come with
18 the assumptions. And the fighting we would have over
19 assumptions -- which is fair fighting, but it would be
20 there and we think it would distract the issue.

21 MR. HARPER: Okay. That's fine. I think with that, I
22 think I can actually skip a couple of my next questions and
23 maybe move on.

24 Can we go to VECC 21.3? Here we asked for details
25 supporting the 17.9 million for increases to curtailment
26 costs due to -- curtailment costs of wind due to a
27 4.69 increase in ETS.

28 Your response was that it would require a significant

1 amount of work. I was wondering if you could explain to me
2 why would it require a significant amount of work, when you
3 must have done the calculation to actually put your report
4 together in the first place.

5 MR. YAUCH: We didn't know if you were asking to
6 provide the whole models and all of that, but I can tell
7 you -- explain to you how we do it, and maybe this will
8 answer your question.

9 So you take the change in export volumes when you
10 change the ETS, and the zero to 4.69, and that export
11 volume, we're assuming that would get curtailed for wind,
12 and then we cut it in half, because we don't know -- you
13 know, we don't know which would actually be curtailed,
14 because we have no access to hourly data, bids and offers,
15 so we assume, we halved it, would be curtailed, and it's
16 just the market -- the lost market revenue, which, half of
17 it is 17.9 million.

18 MR. HARPER: Right. And if I understand your -- I
19 mean, you didn't do that over the full range of HOEP
20 prices. As I understand your sort of explanation, you did
21 it by looking more specifically at the change between the
22 minus ten cents to 4.69 interval and the interval up, and
23 the interval went up from that, and it was just a change --
24 it was just that interval that you looked at.

25 MR. YAUCH: That's right. That's right. We assumed
26 wind wouldn't be curtailed beyond that.

27 MR. HARPER: Right. Okay, fine. I think your
28 explanation is -- I was going to walk through a bit of my

1 understanding, but I think your explanation matches my
2 understanding exactly, so I think we are good to go on
3 that.

4 I'm just trying to think. I think I can probably skip
5 the next one. Yes.

6 Can we go to VECC 27.1. And just to confirm,
7 similarly here, this was for the decrease in ETS rates from
8 the \$1.85 to zero. And again -- again, you would have just
9 done the reverse and done the reverse analysis?

10 MR. YAUCH: That's right, yes.

11 MR. HARPER: And in this case, since you did the
12 reverse analysis and your analysis started with that first
13 interval, minus ten cents to 4.69, what two intervals did
14 you compare, you know, what was -- I was trying to figure
15 out what you would have compared to come up with the 5.8
16 terawatt-hours in this case.

17 MR. YAUCH: Sorry. Zero to 1.85. So it seems bigger
18 -- or quite large, because there's a smaller range. It is
19 because exports are very price-sensitive in that zero to
20 \$1.85 range.

21 MR. HARPER: And it was zero to \$1.85 and then
22 compared that range with the \$1.85 to 3.70? Would that
23 be --

24 MR. YAUCH: Yeah, exactly.

25 MR. HARPER: Okay, fine. Thank you. Thank you very
26 much.

27 Now, can we go to your response to Staff 20C. And
28 this deals with the curtailment of hydro -- hydroelectric

1 facilities. Here staff asked you about the basis for the
2 \$14.40 you used as the cost of hydro curtailment, and you
3 stated:

4 "It is based on the assumed highest marginal cost
5 of hydroelectric facilities."

6 And I guess -- so what -- I guess what was your source
7 or basis for the 14 -- maybe just to start off, what was
8 your source or basis for the 14.44?

9 MR. YAUCH: Yes, so --

10 MR. HARPER: 14.40, I apologize.

11 MR. YAUCH: 14.40. So in OPG's last rate application
12 they had to file evidence related to SBG and hydro. And in
13 that evidence they lay out 14.40. So we used that -- you
14 can calculate marginal cost using gross revenue charge and
15 go through how it is calculated. The province tells you
16 how it is charged --

17 MR. HARPER: Right.

18 MR. YAUCH: -- but we use that because it's publicly
19 available.

20 MR. HARPER: And when you say it is the highest, I
21 mean, that suggests there is a range of values.

22 MR. YAUCH: There is, yeah. So the gross revenue
23 charge will change on the size of your facility,
24 essentially the property taxes you pay to the province. So
25 it will -- there is lower and higher. So smaller
26 facilities have lower marginal costs than higher
27 facilities, so if you look at Beck and Saunders, the two
28 big ones, they tend to have the higher marginal costs,

1 according to our reading of it.

2 MR. HARPER: Excuse me. I am having some tree work
3 done. I'm going to go close my window, hoping that will
4 cut down on the background noise. I will be back in just a
5 second.

6 MR. YAUCH: Okay.

7 MR. HARPER: Sorry, I am getting some clean-up done
8 from that 24th of May windstorm. This is the only day the
9 arborist would come, and I wasn't going to say no.

10 MR. YAUCH: You and Hydro One.

11 [Laughter]

12 MR. HARPER: Right. Okay. Let me get myself back on
13 track. So -- and I'm sorry, Brady, I will just have to
14 read the transcript, because I didn't catch that last
15 response, but I will go back and read it.

16 MR. YAUCH: I can say it again. I mean --

17 MR. HARPER: Okay. Thank you.

18 MR. YAUCH: -- the 14.40, there is a range of marginal
19 costs, right? We assume 14.40 is the highest because the
20 way you calculate your gross revenue charge changes on the
21 size -- the output of your facility, so bigger facilities
22 will have a higher marginal cost. That is a publicly
23 available number. We use that because it is publicly
24 available. Marginal costs will change even at the same
25 plant, over the same hour and the same -- you know, their
26 price quantity pair offers will change quite a bit, so we
27 just use access publicly available.

28 MR. HARPER: Okay. And staying with Staff 20, the

1 response to 20A states:

2 "Power Advisory analyzed exports when prices were
3 between 13 to \$14 per megawatt-hour and 17 to \$19
4 per megawatt-hour, and the decline in exports in
5 those ranges was used as a proxy for potential
6 for curtailment."

7 However, maybe we can turn back to your evidence, page
8 41 of your evidence. And here you state:

9 "Power Advisory assumes that a decrease in
10 exports when HOEP increases from 15 to 20
11 dollars."

12 You seem to use a different range here. I was just
13 wondering if maybe you could clarify what ranges or values
14 you used in the analysis, because there seemed to be some
15 confusion here.

16 MR. YAUCH: Yeah, it used -- it is a 13 to 15, the one
17 in the IR response, and we just -- it was for simplicity
18 purposes we did 15 to 20, so -- but the exact range is
19 described in the IR.

20 MR. HARPER: Okay. And listen, I couldn't find
21 anywhere in the evidence what the dollar value -- what the
22 assumed reduction in -- you know, what assumed change in
23 curtailment was because of this increase, like the
24 terawatt-hour value associated with it. Maybe you can just
25 let me know what that was.

26 MR. YAUCH: Yes. I can probably provide it now, but
27 we can also do an undertaking.

28 MR. HARPER: Whichever is easiest. I just, I couldn't

1 find that number anywhere in the evidence.

2 MR. YAUCH: After the break we can probably just
3 provide you the answer so we don't have to do the
4 undertaking if you are okay with that.

5 MR. HARPER: I am perfectly fine with that.

6 MR. YAUCH: Okay.

7 MR. HARPER: And actually, to be quite honest with
8 you, this is my last question, so that if I am not still
9 here after the break if somebody else is questioning and
10 you can just give the answer, that would be great.

11 MR. YAUCH: That would be great, okay.

12 MR. HARPER: With that, I am all done. Thank you very
13 much for your patience.

14 MR. YAUCH: Thanks.

15 MR. SIDLOFSKY: Mr. Harper, thanks very much. The
16 morning break was scheduled for after your questions, but
17 you have been very economical, so I think what I would like
18 to do is move on to Mr. Rubenstein for Schools, and then I
19 expect we will probably take the break after that.

20 So if the panel could just remember that they do owe
21 an answer, I am not going to mark anything as an
22 undertaking at this point, but if you find you can't come
23 up with an answer during the break, then we will take an
24 undertaking from you.

25 MR. YAUCH: Okay.

26 **EXAMINATION BY MR. RUBENSTEIN:**

27 MR. RUBENSTEIN: Good morning. I am wondering if we
28 can start at Power Advisory response to SEC number 1. So

1 in this interrogatory we asked you to confirm that Power
2 Advisory's quantitative analysis is based on 2018 to 2021
3 supply and demand conditions and market data. And if
4 confirmed, please confirm that insofar as the conditions
5 change in the future, Power Advisory's analysis will be
6 impacted.

7 In your response you say:

8 "Power Advisory confirms the first question."

9 Which I take to be that the quantitative analysis is
10 between the 2018 to 2021 supply and demand conditions and
11 market data.

12 With respect -- but then you also go on to say:

13 "Power Advisory does not confirm the second
14 question."

15 And then you provide some comments.

16 I just want to make sure I understand what you are
17 saying. Do I take it it is your view that if the supply
18 and demand in market conditions are different in the future
19 as compared to 2018 to 2021, you're saying that they will
20 not impact your analysis? It seems to be obvious. I take
21 it you may not know how it will impact your analysis, but
22 there will be an impact. Correct?

23 MR. YAUCH: If supply conditions change in the future,
24 as they will, both in Ontario and in neighbouring
25 jurisdictions, there will be some impact.

26 The overall value that exports provide and the way in
27 which they provide it that we laid out in our evidence, we
28 don't think that will change. But the numbers will

1 certainly -- will certainly change, because the numbers
2 will inherently be different.

3 MR. RUBENSTEIN: But you would agree with me that the
4 value could either be -- depending on what the conditions
5 are, they could be -- exports could become more valuable or
6 they could become less valuable?

7 MR. YAUCH: The future is inherently uncertain, and it
8 depends what happens in Ontario and what happens in
9 neighbouring jurisdictions.

10 MR. RUBENSTEIN: So I take it that is a yes to my
11 question?

12 MR. YAUCH: I mean, things will change, yes.

13 MR. RUBENSTEIN: And so then the value of exports can
14 -- may increase or may decrease, depending on the
15 situation.

16 MR. YAUCH: That's correct.

17 MR. RUBENSTEIN: Okay, thanks. Can we now go to Power
18 Advisory's response to Staff 11B?

19 Maybe I am going to ask a question and you may have
20 sort of addressed this in some of your questions from Mr.
21 Harper, but it will help me better understand it.

22 So the question that you were asked -- the preamble to
23 the question was from OEB Staff, and they were referencing
24 a reference in your report that says a cost benefit
25 analysis should be assessed when determining cost
26 allocation to secondary users of the transmission system.

27 Then in part B, they asked you:

28 "Please explain what Power Advisory considers to

1 be an appropriate cost-benefit analysis
2 methodology to determine cost allocation to the
3 secondary users of the transmission system."

4 In your response, you reference the current
5 opportunity service modernization underway in Alberta is a
6 good example of reassessing the appropriate tariff of
7 exports.

8 Can you discuss what exactly you are referencing?
9 What exactly is going on in Alberta?

10 MR. LUSNEY: So as I mentioned earlier in responses to
11 VECC, the Alberta electricity system operator is proposing
12 an overhaul of their whole tariff design, and changing to a
13 different -- what they're calling a preferred rate design.
14 And then the impact of that is they're also looking to
15 modernize and update their opportunity services and the
16 underpinnings to that.

17 So in coming to all of those changes, that system
18 operator is putting forward, well, what other cost changes
19 and what are the potential benefits, and how is the system
20 being used differently and supply mixes and customers, and
21 everything like that.

22 So it is just recognizing that when you do major
23 overhauls like that, you can't be too narrowly focussed on
24 just the costs. You have to look at the total system.

25 So I think to maybe expand on that a little bit, I
26 mean, Ontario's system, there is certain uniquenesses to
27 it. The supply-side is a fixed -- primarily a fixed cost
28 system. We have almost all supply contracted or rate

1 regulated. And you need to understand not just the real
2 time market prices that is reflected by HOEP, but the other
3 costs to customers related to global adjustment uplifts,
4 along with the delivery costs that will change
5 transmission, distribution. You want to try to be as
6 holistic as you can when making adjustments.

7 MR. RUBENSTEIN: And I think this was part of that
8 process is part of what you were talking about with Mr.
9 Harper. My understanding -- there's a proceeding going on
10 in respect to this, I believe, the procedural difference in
11 Ontario, and the ASO has to get their approval by their
12 regulator, correct?

13 MR. LUSNEY: That is correct. So any changes to the
14 tariff design must be filed with the Alberta Utilities
15 Commission, AUC, for approval of which multiple
16 stakeholders and intervenors have intervened. And for
17 disclosure, myself and my consulting resources are an
18 expert in that proceeding related to the modernized demand
19 opportunity service and the preferred rate design on behalf
20 of Energy Storage Canada.

21 MR. RUBENSTEIN: Just at a high level, my
22 understanding is it's quite a contentious proceeding.
23 There are a lot of different views and the ASO's proposed
24 approach is being highly contested by certain parties.
25 Correct?

26 MR. LUSNEY: I don't believe I would be stretching
27 when I say yes, it is highly contentious and there is a
28 significant volume of alternative evidence being brought

1 forward to argue a multitude of changes that are being
2 considered by the ASO, or being proposed by the ASO.

3 MR. RUBENSTEIN: Okay. Can I ask you to go to Power
4 Advisory's response to Staff 14? So Staff asked you in
5 part A:

6 "Please provide Power Advisory's comments on the
7 expected impacts of market renewal program on
8 congestion rents received by the market, TR
9 auction revenue, TR payments to right holders and
10 avoided congestion rents."

11 And in your response, you say:

12 "MRP is expected to result in both a more
13 efficient commitment of thermal units, as well as
14 the introduction of locational marginal pricing.
15 To the extent MRP will address this over
16 commitment, the need to export energy over
17 commitment resources of the client, LMPs will,
18 all else being Equal, ensure the investment
19 occurs in parts of the grid where it is most
20 needed. In doing so, it should reduce
21 curtailment of unnecessary exports."

22 Can I ask you to explain what you mean by unnecessary
23 exports in this context?

24 MR. LUSNEY: So, from a -- if you have an over
25 commitment of generation due to the algorithm that
26 determines scheduling and dispatching, and you have this
27 over commitment of generation in real time, you need to
28 push that generation somewhere.

1 So you can either curtail it, or you might export it.

2 MR. YAUCH: If I can just follow up on that. The
3 market sales panel has extensively looked at the over
4 commitment through what is known as the real time GCG
5 generator cost guarantee program.

6 When you over commit gas resources that you have to
7 run at a certain point, you may end up exporting when you
8 don't actually have to have them running because you have
9 overcommitted. So that is kind of what we're getting at
10 with that comment.

11 MR. RUBENSTEIN: Let me understand. MRP, let me take
12 that and understand. MRP's impact on your analysis
13 recognizing that there is a delay in the implementation of
14 MRP?

15 I take it in your view, MRP is likely to reduce
16 exports, all else being equal?

17 MR. YAUCH: In cases where there has been particularly
18 severe over commitment of certain thermal resources, yes.
19 But that is not the main driver of exports in any way,
20 shape, or form in Ontario.

21 So we think even that impact would be pretty small.

22 MR. RUBENSTEIN: Okay. Insofar as the analysis in
23 your report, what type of analysis -- if this was in place,
24 for example -- and I recognize this is hypothetical and you
25 are using actual data. But if this was in place between
26 2018 and 2021, what type of impact would that have on the
27 analysis you provided?

28 MR. YAUCH: I can't give a number, to be honest. But I

1 don't think it would be material.

2 MR. RUBENSTEIN: Okay. Can I ask you to go to Power
3 Advisory's response to SEC 2 -- no, sorry, I apologize.
4 It's SEC 3.

5 So we asked you in this interrogatory that Power
6 Advisory notes with respect to hydro electric generation
7 that it is selling -- selling supply at a loss reduces
8 economic efficiency of the wholesale market, but occurs
9 often in Ontario, the combination of the hybrid design and
10 surplus base load generation.

11 "Please provide Power Advisory's opinion on how
12 much of this is caused by incentives of OPG's
13 hydro electric incentive mechanism and the
14 existence of this surplus base load deferral and
15 variance account as opposed to operational
16 features of hydro electric generation."

17 In your response, you say:

18 "Power Advisory was not retained to analyze the
19 role of the hydro electric incentive mechanism or
20 deferral accounts as part of this proceeding."

21 I understand that. I don't dispute that is not -- I
22 was wondering if you do have any views on this, and I will
23 give you the background of why I am asking.

24 I am trying to separate the benefits of exports as set
25 out in your report and their impact on say reducing hydro
26 spill, that is a function of elements that are within the
27 OEB's control. As you know, the OEB approves the hydro
28 electric incentive mechanism and approves surplus base load

1 generation, and what is not in their control.

2 As you -- just for the background, as you may be aware
3 or may not be aware, in previous Ontario power generation
4 settlement -- approved settlement agreement in EB-2020-
5 0290, there was an agreement that for a certain amounts of
6 the SBG, balances will be deferred under the premise that
7 potentially maybe some of that is not prudent -- or at
8 least my take on that is maybe some of that -- the OPG's
9 use of the account is has not being prudent, as well as the
10 hydro electric incentive mechanism will be dealt with and
11 there may be a reconsideration of that at the time before
12 MRP needs to be implemented.

13 Do you have any views on this?

14 MR. VELLONE: I am going to cut in, Mark. I think the
15 witnesses answered the question that was asked in the IRs
16 the way they did because they weren't retained as part of
17 this proceeding to look at that.

18 If you want to conduct discovery on the HIM mechanism,
19 then I think the proper forum to do that is in an OPG
20 proceeding, not here.

21 MR. RUBENSTEIN: So you won't let your witnesses
22 provide an opinion?

23 MR. VELLONE: The original stands -- the original
24 response stands.

25 MR. RUBENSTEIN: Okay. Well, maybe I will put the
26 question like this, as not an opinion but much more of a
27 factual question about their analysis.

28 Would the -- the economic analysis that you provided

1 about exports, the reduction in the export transmission
2 service or the increase in the ETS rates, impact on -- the
3 system benefit from reduced hydro spill, would that -- is
4 that impacted by the design of OPG's hydroelectric
5 incentive mechanism, the existence of the surplus baseload,
6 DVA?

7 MR. LUSNEY: I think simplistic and straightforward
8 answer, as we have noted, the system is a fixed-cost
9 system, primarily.

10 So for all intents and purposes, yes, because it is
11 rate-regulated, along with contracted. So that uniqueness
12 to Ontario impacts -- has an influence on -- or ETS would
13 have an influence because of that fixed-cost system.

14 And the second part is, we have a significant amount
15 -- a large amount of baseload generation in this province
16 compared to neighbouring jurisdictions.

17 MR. RUBENSTEIN: And so insofar as those mechanisms
18 change, they may have an impact -- all else being equal,
19 they would have an impact on the benefits of exports, as
20 you quantified them in your evidence?

21 MR. LUSNEY: Yes.

22 MR. RUBENSTEIN: Okay. Thank you very much. Can I
23 ask you to go to SEC -- your response to SEC 12. And so we
24 had asked you to -- assuming that IESO's surplus baseload
25 generation forecast is accurate, please discuss how it
26 would impact Power Advisory's analysis, and you provide a
27 response there.

28 I just want to clarify and ask maybe if you can

1 confirm at least one part of my understanding of that.

2 Would you agree there will be less exports than there
3 would otherwise be if there is less SBG?

4 MR. LUSNEY: I think the core of the answer is, if
5 there's less lower-price hours -- which are reflective of
6 SBG -- or is related to SBG events -- we would expect less
7 exports because of the price arbitrage with neighbouring
8 jurisdictions.

9 MR. YAUCH: We should add to that, because the IESO
10 talked about this a lot yesterday, that there is a yin and
11 yang to this, that what happens in Ontario SBG is also what
12 is happening, let's say in New York and Michigan, that if
13 they suddenly become a very high-priced jurisdiction, it
14 doesn't matter if we have SBG. It will start flowing there
15 anyways, because that is the economic opportunity.

16 MR. RUBENSTEIN: Fair enough. So all else being
17 equal, less SBG in Ontario will involve less exports,
18 correct?

19 MR. YAUCH: Yes.

20 MR. RUBENSTEIN: Can I ask you to go to your response
21 to VECC 17. This is really just following up on, sort of
22 to cut this short and follow up on a question in your
23 discussion with Mr. Harper earlier.

24 So in 17 -- so if you just scroll up to the question.
25 So this -- you were asked about a -- you were asked in your
26 discussion with Mr. Harper about figure 14, that shows
27 essentially the sensitivity between HOEP and exports in
28 your evidence.

1 And the question asks about, have you done a sort of a
2 statistical FIT analysis, such as a regression. And in
3 your response -- go down -- you say:

4 "It is a linear trend line and is simply there to
5 show a high level of relationship between HOEP
6 and exports at one inter-tie."

7 So I take it you -- so I took it from your response
8 and your discussion you didn't do any statistical FIT
9 analysis.

10 MR. YAUCH: Not as part of this evidence that is
11 included here, so -- but our evidence was based on the
12 methodology described. We do a lot of other analysis on
13 our own, but in the context of this evidence it was the
14 methodology we walked through with Bill Harper.

15 MR. RUBENSTEIN: And I was a bit unclear. Can you do
16 the analysis? Because the figure shows a trend line, and
17 presumably you just did this in Excel, the trend line?

18 MR. YAUCH: Yeah --

19 MR. RUBENSTEIN: And then it will give you the, for
20 example, the R-squared statistical fit of that trend line.

21 MR. YAUCH: You can, yes. We can do the regression
22 analysis. We just, we thought our methodology was much
23 more transparent and easy to follow than just throwing up,
24 you know, regression analysis to parties in the proceeding
25 and the panel.

26 MR. RUBENSTEIN: Well, can you provide the trend line
27 -- the statistical just [audio dropout] to the trend line
28 you provided in figure 14?

1 MR. YAUCH: Yes. Yes. I don't know if that is an
2 undertaking or --

3 MR. RUBENSTEIN: I am waiting for Mr. Sidlofsky there.
4 It was magic, but...

5 MR. SIDLOFSKY: Sorry about that. Just a small
6 technical problem there. Yes, we will give that an
7 undertaking number, JT2.1.

8 **UNDERTAKING NO. JT2.1: APPRO TO PROVIDE THE**
9 **UNDERLYING STATISTICS OF THE TREND LINE PROVIDED IN**
10 **FIGURE 14.**

11 MR. RUBENSTEIN: All right. I am almost done. Can we
12 go to attachment --

13 MR. SIDLOFSKY: I'm sorry. Just for the benefit of
14 the reporter, I just want to make sure that everyone
15 understands the undertaking. Mr. Lusney or Mr. Yauch, what
16 are you prepared to do.

17 MR. YAUCH: I believe it is to provide the underlying
18 statistics of the trend line. Is that correct?

19 MR. RUBENSTEIN: Yes. So figure 14 in your report.

20 MR. YAUCH: Yes.

21 MR. SIDLOFSKY: Thank you.

22 MR. RUBENSTEIN: Can I ask you to go to attachment A
23 to your interrogatory responses. This is the detailed
24 methodology. And some of your discussion with Mr. Harper
25 was clarifying to me, so I have some less questions, but I
26 do have a couple.

27 Can we go to step 8 and 9. And it is really step 9
28 where you assume the cost of curtailments applied to be 50

1 percent of curtailment. Do you see that?

2 MR. YAUCH: Yes.

3 MR. RUBENSTEIN: And you were asked in VECC 27.2
4 about, similarly, where does the 50 percent come from.
5 Maybe we can pull that up. And to be honest, I still don't
6 know why you chose 50 percent and not any other number.

7 MR. YAUCH: It is very simple. It was a simple
8 average, because we don't have access to hourly data in
9 curtailment, so we can't -- any other number would just be
10 us guessing as well. So we sort of took the King Solomon
11 approach and cut the baby in half.

12 MR. RUBENSTEIN: So maybe you can just help me
13 understand why -- so first of all, what was the basis of
14 the discount, of having a discount? In your view it is
15 clearly not 100 percent and it is obviously not zero. So
16 maybe you can just talk about the need for some discount.

17 MR. YAUCH: I will go first, and then I will let -- I
18 think Travis has comments too. Throughout our whole
19 analysis -- and I think the IESO mentioned this yesterday
20 as well -- we tried to be very conservative. We didn't
21 want to overcount. So this is one of the areas where we
22 said, well, we don't have the hourly curtailment data. We
23 asked for it in the IESO. They didn't provide it. They
24 don't provide it publicly.

25 So we said, how are we going to discount it, because
26 we can't just make up all of these numbers that are going
27 to be lost because you change to ETS, so we came up with
28 what we thought was a compromise. But throughout the

1 report we had to do that, right, so we didn't look at
2 nuclear curtailments, even though they're wildly expensive.
3 Nuclear plants would cost a lot more money. We didn't
4 count that.

5 So we tried to pull back and be as cautious or
6 conservative as we thought was, you know, methodologically
7 sound.

8 MR. RUBENSTEIN: Okay. Can we go back to Appendix A.
9 No, actually, no. I think we're okay. You've answered a
10 number of other questions I had in your discussion with Mr.
11 Harper.

12 Can we go to page 46 of the report. And in 45 and 46
13 you provide, I guess, the table of your analysis of what
14 happens if the ETS rate goes to zero, and there is a
15 similar table that shows what happens if the ETS rate goes
16 to the higher end.

17 I just want to ask about the allocation of the
18 benefits or if it goes higher, the allocation of the costs,
19 you know, for a second.

20 So am I correct that the financial benefits in this
21 table as it relates to reduced spill and curtailed wind for
22 a customer, they see that as a reduced global adjustment.

23 MR. LUSNEY: Yes, I believe that's correct.

24 MR. YAUCH: The 33 million dollars, there's a bunch of
25 stuff in there. There is the ICP which yesterday I think
26 the IESO and Hydro One agreed to provide a detailed
27 accounting, so you will see where the ICP revenue flows to.

28 MR. RUBENSTEIN: Let me just pause you. I was

1 actually looking at two specific lines here, that is the
2 reduced curtailed wind and the financial benefits of
3 reduced hydro sales.

4 I am just talking about those two lines. And am I
5 correct that those benefits, because of the ICI program,
6 have a greater benefit on class B customers as opposed to
7 class A customers?

8 MR. LUSNEY: We haven't done -- as part of this
9 evidence, we haven't done analysis to look back at the
10 split between GA payments to class A and class B as defined
11 in the regulation.

12 So our answer is, qualitatively class B pays more on
13 an energy basis than class A, due to the current capability
14 of many class A customers to manoeuvre through -- manoeuvre
15 down during the 5 [audio dropout] peak.

16 So I can generally agree, but that is based off of,
17 you know, a qualitative understanding of what's going on.
18 We haven't done any analysis to underpin that. And again,
19 that is from an energy basis, not necessarily a demand
20 consumption basis for global adjustment charges.

21 MR. RUBENSTEIN: And the reason I ask this is I am
22 just trying to understand, assuming that the net impact to
23 ratepayers was zero, right. It had no impact, right. Just
24 the way the math worked, it had no direct impact.

25 I want to understand the different allocation to
26 customers of, for example, an ETS rate that flows through,
27 you know, that flows through the UTRs, that flows through
28 the customers to their retail transmission rates verses

1 what I would call supply benefits which will flow up on a
2 different basis.

3 So do you have any views on that?

4 MR. LUSNEY: I think back to earlier comments we made
5 to Mr. Bill Harper, that these are all considerations the
6 panel needs to look into in terms of how the whole
7 structure holds together, and therefore, in making any
8 changes to design a rate, you know, how -- which subset of
9 customers are going to be impacted and the magnitude.

10 MR. RUBENSTEIN: In your report and in your discussion
11 with Mr. Harper today and some of the IR responses, I think
12 you fairly -- to be fair to you, you recognize there are
13 limitations in your analysis due to the information that
14 you have as compared to the IESO. Correct?

15 MR. YAUCH: That's correct.

16 MR. RUBENSTEIN: But would you agree, or do you agree
17 that the IESO has the information to do a much more
18 rigorous analysis to provide -- to be able to determine
19 with much greater precision what are the benefits or the
20 harms to changes in the ETS rate?

21 MR. YAUCH: They should be able to. As we highlight
22 many times, if you had the export bids, you would very
23 clearly see what a near five dollar increase in the
24 transactional costs of moving energy would be.

25 So in the -- and the IESO would clearly have access to
26 that data.

27 MR. RUBENSTEIN: In your view, having that information
28 would have allowed for a much more precise analysis?

1 MR. YAUCH: Yes. You would have been able to narrow
2 the quantity impact. Additionally, the IESO has much
3 greater insight into the operational impact, having to run
4 the control room and everything like that. So they would
5 be able to isolate some of those more operational impacts
6 that we avoided in our study.

7 MR. RUBENSTEIN: And by precise, it would really be a
8 much more accurate impact analysis. Correct?

9 MR. YAUCH: Yes. I know the IESO yesterday said
10 directionally they agree with us. But, yes, I am assuming
11 their number would be more accurate.

12 MR. RUBENSTEIN: Okay. Thank you very much. Thank
13 you very much for your answers.

14 I don't know, Mr. Sidlofsky, if you want to take a
15 break now. I may have one more question, but I would just
16 like the break to confer with someone. But I believe that
17 is all.

18 MR. SIDLOFSKY: Why don't we take the break now, then,
19 Mr. Rubenstein. That will give you a chance to think about
20 that. And for the panel, you have also got to think about
21 Mr. Harper's question.

22 So I think what I will do is, let's say we will come
23 back at 11:05. That will give you a few more minutes.

24 Panel, do you think you need any more time than that
25 to consider Mr. Harper's issue?

26 MR. YAUCH: No. No, it will be pretty easy.

27 MR. SIDLOFSKY: Sorry, Mr. Rubenstein?

28 MR. RUBENSTEIN: No, go ahead.

1 MR. SIDLOFSKY: We will reconvene at 11:05. Just one
2 reminder to Hydro One. I guess, Mr. Myers, you are up
3 next. I believe you circulated a compendium, correct?

4 MR. MYERS: That's right.

5 MR. SIDLOFSKY: So I'll tell you what, why don't we
6 mark that now, just so we don't lose track of that. The
7 Hydro One compendium will be Exhibit KT 2.1.

8 **EXHIBIT NO. KT 2.1: HYDRO ONE COMPENDIUM FOR APPRO**
9 **PANEL 5**

10 MR. SIDLOFSKY: And that takes care of that and we'll
11 get started after the break. We will see you at 11:05.
12 Thanks.

13 MR. RUBENSTEIN: Actually could I be put out in a
14 breakout room with Mr. Harper, if that is possible for just
15 a minute.

16 MS. SANASIE: Sure.

17 --- Recess taken at 10:47 a.m.

18 --- On resuming at 11:06 a.m.

19 MR. SIDLOFSKY: Let's go back on the record.

20 Okay. We're back. And I understand Mr. Rubenstein
21 has another question. So the way I would like to proceed
22 is by allowing Mr. Rubenstein to finish off, and then I
23 will turn to the panel and ask if they have come up with a
24 response to Mr. Harper's outstanding question. And then we
25 can move on to Hydro One.

26 So Mr. Rubenstein, why don't you continue with your
27 questioning.

28 MR. RUBENSTEIN: Sure. I have had a chance to consult

1 with Mr. Harper. And we would like to ask for an
2 undertaking. You have provided in your interrogatory
3 responses an Excel spreadsheet that includes essentially
4 some of the underlying data that you utilized for your
5 report, and you have also -- or at least some of the data
6 that you utilize for your report. You also provided the
7 methodology, a sort of step-by-step methodology, in
8 Appendix A.

9 But what parties either asked you, directly or
10 indirectly, for, but I will ask you directly now, is what
11 you didn't provide is the specific actual calculations, not
12 sort of a methodology. Presumably you have that for the
13 underlying numbers in table 3 and table 4 of your report.
14 Would I be correct?

15 MR. YAUCH: That's correct, yes.

16 MR. RUBENSTEIN: And can you provide that, please?

17 MR. YAUCH: We're going to do a breakout room and then
18 we will come back, if that is okay.

19 MR. RUBENSTEIN: Sure.

20 [Witness panel confers in breakout room.]

21 MR. LUSNEY: Thank you, Mr. Rubenstein. We will not
22 provide the calculation engine. The reasoning is, that
23 model is a proprietary model and, in our view, is
24 commercially sensitive and valuable to our firm in how we
25 operate.

26 The data we provided -- and I think we want to be very
27 clear on this -- is not just the publicly available data.
28 We provided for all intervenors and stakeholders compiled,

1 cleaned, and adjusted data from various sources, and so
2 there is a significant amount of work that's gone into that
3 that we are sharing on the record.

4 We struggle to go the next step further into how much
5 commercially sensitive information we are providing.
6 You're on mute, Mr. Rubenstein.

7 MR. RUBENSTEIN: So I don't -- if it is commercially
8 sensitive, I am not entirely clear. I mean, I'm not seeing
9 what you are seeing, so I am not entirely clear what the
10 back end is.

11 So then I take it you didn't take the spreadsheet
12 information and do a set of calculations? There's
13 something else that you --

14 MR. LUSNEY: The set of calculations is a model that
15 we have developed, and sharing it means that other people
16 can take our model and perform services for other clients
17 with our work, without any value coming back to Power
18 Advisory as a firm.

19 MR. RUBENSTEIN: So to me that is a reason why that is
20 a confidential -- that should be filed with the Board for
21 the purposes of confidential treatment, and your
22 explanation seems to be one that the Board would generally
23 have no issue, as previously agreed to. But I don't
24 understand how -- it is not a basis for a refusal.

25 MR. VELLONE: I will chime in, Mr. Lusney. We
26 understand how the confidential filing guidelines and
27 processes work. The model is of such a level of commercial
28 sensitivity to Power Advisory that it is a refusal, because

1 those -- that process does not provide sufficient
2 protection.

3 MR. RUBENSTEIN: Can you elaborate on that last part?

4 MR. VELLONE: I'm casting myself into their position
5 here, but I expect the issue is many of the entities that
6 they would view as competitors are actually party to this
7 proceeding. Could easily sign a declaration. Get a copy
8 of their model. And then use it without ever paying for
9 it.

10 MR. RUBENSTEIN: Okay. I mean, even though presumably
11 that would be in breach of the confidential -- the
12 declaration undertaking.

13 MR. VELLONE: We don't know what people do with data
14 once we let it out of our hands.

15 MR. RUBENSTEIN: Okay. And just maybe for my own
16 clarification, was this model developed for the purpose --
17 is this model developed for the purposes of this report?
18 Or was this a model that is -- existed before you were
19 asked to do this report and it is used for other purposes?
20 I am trying to understand what we're talking about here.

21 MR. VELLONE: I will allow the witnesses to respond to
22 this one.

23 MR. LUSNEY: Can you let us think about it, in terms
24 of how -- like, we understand where you are going. I think
25 our legal representative had given it thought. I am trying
26 to think through the process here. We are trying to be --
27 we're trying to be as helpful as we can to stakeholders and
28 the Board, but we also are recognizing our long-term

1 economic viability as a firm.

2 MR. RUBENSTEIN: Okay. Well, I guess where we are is,
3 how about we take it as an undertaking with a sort of an --
4 as an advisement qualification?

5 MR. YAUCH: Agreed. I will say the data we provided
6 and the methodology -- like, you can do the calculation.
7 It is all there. We cleaned it all. Everything -- like,
8 we've gone and done it for you really, so all you just need
9 to do is the calculations. That was why we gave that
10 initially. So I just want to leave that there. But we
11 will take it as an undertaking and we can address it later.

12 MR. RUBENSTEIN: And I can just say that Mr. Harper
13 and I have been attempting to do that, and it is not as
14 simple as you're saying.

15 MR. YAUCH: Oh, I know.

16 MR. RUBENSTEIN: And we would like to -- and obviously
17 seeing the underlying math is important. So I guess that
18 is where we are.

19 MR. SIDLOFSKY: So we will make that undertaking
20 JT2.2.

21 **UNDERTAKING NO. JT2.2: APPRO TO TAKE UNDER ADVISEMENT**
22 **THE REQUEST FOR THE MODEL ON WHICH POWER ADVISORY'S**
23 **CALCULATIONS ARE BASED.**

24 MR. SIDLOFSKY: And just again for the purposes of our
25 reporter, would the undertaking be to take under advisement
26 the request for the model on which Power Advisory's
27 calculations are based? Feel free to chime in if it is
28 something different than that.

1 MR. YAUCH: That is better than I can do, so I think
2 that is fine.

3 MR. SIDLOFSKY: Mr. Rubenstein, you okay with that?

4 MR. RUBENSTEIN: Yes. I will just specify, we're
5 looking for the underlying calculations as we understand
6 that is contained in a model, and that is where the model
7 issue arises for it, so, you know, it's the underlying
8 math, as I understand it, is in the model, but it is the
9 math that we're looking for. Presumably I'm not saying
10 this can't be done. I don't know. If it can be extracted
11 or something, obviously, that would be simply as
12 sufficient, right, for our purposes.

13 MR. SIDLOFSKY: Okay. Thanks for that.

14 Mr. Rubenstein, did you have more?

15 MR. RUBENSTEIN: No. Thank you very much. Those are
16 my questions. Thank you for your assistance.

17 MR. SIDLOFSKY: Thank you. And panel, back to Mr.
18 Harper's outstanding question.

19 MR. YAUCH: Yes, so I just want to reiterate the
20 question was to the exact number that we use for hydro
21 curtailments over the 2018 and 2021 period. So the number
22 is 4,153,586, which is quite precise.

23 MR. HARPER: And that's terawatt-hours.

24 MR. YAUCH: That's megawatt-hours.

25 MR. HARPER: Megawatt. That's right. I just wanted
26 to make sure we had the units right.

27 MR. YAUCH: It would be 4.1 terawatt-hours.

28 MR. HARPER: Right.

1 MR. SIDLOFSKY: Mr. Harper, I will give you a chance
2 to follow up on that if you have any other questions. Or
3 was that it?

4 MR. HARPER: No. I have no more questions. Thank you
5 very much for getting the information for me.

6 MR. SIDLOFSKY: Thanks, Mr. Harper.

7 So we are on to Mr. Myers, Hydro One.

8 **EXAMINATION BY MR. MYERS:**

9 MR. MYERS: Thanks very much. And just a reminder
10 that we filed a short compendium this morning, which was
11 marked as KT2.1, so I will be referring to that, as well as
12 certain interrogatories. And thank you to Mr. Boyle for
13 putting that on the screen.

14 So can we start by turning to Staff 1, please. And
15 regarding the statement in your report that export traders
16 pay congestion rents that are used to offset a portion of
17 transmission related costs, OEB Staff asked you who explain
18 whether and how transmitters receive congestion rents.

19 I just want to understand your response. You
20 responded that the IESO is a transmitter under Ontario law
21 because a transmitter is a person who operates a
22 transmission system, and the IESO operates the bulk
23 transmission assets in Ontario, so therefore it is your
24 view that they are a transmitter.

25 And in its role as a transmitter, they receive
26 congestion rates, which they distribute pursuant to market
27 rules. Have I got that right?

28 MR. LUSNEY: That was the summary we provided, yes.

1 MR. MYERS: So I am going to ask you about
2 distributing those amounts in a moment. But first I just
3 want to understand your view that IESO is a transmitter
4 under Ontario law.

5 You referenced the definition of transmitter from
6 section 3 of the OEB Act, and we have that in the
7 compendium.

8 Other than that definition, did you consider anything
9 else in arriving at your view?

10 MR. LUSNEY: I am a professional engineer by trade,
11 not a lawyer. So trying -- that was my interpretation, or
12 our interpretation in terms of preparing a response. So I
13 think that is what we considered in terms of coming to that
14 statement in response to OEB Staff 1.

15 MR. MYERS: Okay. Are you aware that the IESO was
16 established and gets its powers under the Electricity Act?

17 MR. LUSNEY: Yes.

18 MR. MYERS: And that the IESO -- the objects of the
19 IESO under section 6 of the act?

20 MR. LUSNEY: Yes.

21 MR. MYERS: And under section 6 of the Electricity
22 Act, there is a whole long list of the objects of the IESO.
23 And I have highlighted a couple that I think are most
24 relevant, which include to direct the operation of the IESO
25 grid and to enter into agreements with transmitters that
26 give the IESO authority to direct the operation of their
27 transmission systems. Do you see that?

28 MR. LUSNEY: Yes.

1 MR. MYERS: Do you agree with me that the listed
2 objects of the IESO do not include either the ownership or
3 the operation of transmission systems?

4 MR. LUSNEY: I think when you walk through this way
5 and the way I interpret it, or we interpreted it
6 previously, I can see where you are heading in terms of
7 direct versus operate. And I think that is again, not
8 being -- not being legal -- not being a lawyer, did not
9 land on the exact wording for that. So I can agree with
10 where you are heading.

11 MR. MYERS: So I am not going to take you to the
12 IESO's licence abilities, but I guess just to jump ahead,
13 you agree that there is a distinction under Ontario law,
14 then, between on the one hand, owning and operating a
15 transmission system and on the other hand, directing the
16 operation of the provincial transmission system?

17 MR. LUSNEY: Based on your --

18 MR. VELLONE: You are asking him for a legal
19 conclusion?

20 MR. MYERS: I am trying to get to an understanding of
21 the statement in their response.

22 MR. VELLONE: Maybe try to rephrase the question. I
23 heard you asking him for a legal opinion on something and
24 maybe you could rephrase the question to get to where you
25 are going.

26 MR. MYERS: To be fair, they provided somewhat of a
27 legal opinion in their response, so I think it is fair that
28 they explain that view.

1 Let's cut to it. Do you agree that the IESO is not a
2 transmitter?

3 MR. LUSNEY: Can we just take a quick breakout room?

4 MR. MYERS: Sure.

5 [Witness panel confers in breakout room.]

6 MR. LUSNEY: Thank you, Mr. Myers, for the time. In
7 our response, it was coming from the IESO's operating the
8 system through dispatch instructions and real time
9 operations, and that is how we came to a transmitter.

10 I am not a lawyer, so I think for a direct conclusion
11 of what it is, I think we're not as confident in the answer
12 we gave in the IRs and would have to, you know, reconsider
13 exactly and probably seek legal advice to what the exact
14 answer would be.

15 MR. MYERS: Okay. So if we can at least assume that
16 the IESO's not a transmitter, but rather its purpose is to
17 direct the operation of the grid, could you just clarify
18 your answer to OEB staff's question of whether and how
19 transmitters receive congestion rents?

20 If the IESO is not a transmitter, do you still believe
21 the transmitters receive congestion rents?

22 MR. YAUCH: We were under the assumption that the
23 funds flow into the TRCA -- that was discussed at length
24 yesterday -- and then that money flows to transmitters.

25 But based on the discussions today, and us in fact
26 asking Hydro One and IESO to provide a detailed settlement
27 you know, examples, it may be the funds flow slightly
28 different than the way we thought it.

1 But ultimately, it is a bit of a black box in how the
2 money goes to the TRCA to a customer at the end of the day.
3 So we did kind of respond to Hydro One and say we're open
4 to provide a detailed settlement because no one can really
5 see it from the outside other than the IESO, and
6 transmitters or distributors, whoever is getting it.

7 MR. MYERS: Okay. Thank you. Just give me a moment.
8 I will see if I still need to ask some of my remaining
9 questions.

10 I think it probably makes sense that the remaining
11 questions will get clarified through the undertaking that
12 you referenced there.

13 So I am not going to attempt to take you through some
14 of the market rules -- and I see big smiles from that.

15 [Laughter]

16 MR. YAUCH: You made my afternoon, I guess.

17 [Laughter]

18 MR. MYERS: All right. I think I will leave it there.
19 Those are all of my questions. Thank you.

20 MR. SIDLOFSKY: Mr. Myers, thanks very much. Let's go
21 to Energy Probe. Mr. Ladanyi?

22 **EXAMINATION BY MR. LADANYI:**

23 MR. LADANYI: Good morning, panel. My name is Tom
24 Ladanyi. I represent Energy Probe, and both of you know
25 me, of course. I will have a few questions of
26 clarification to the responses, to the interrogatories that
27 were asked. Mr. Harper actually already referred to some
28 of my interrogatories, so probably my questioning may be a

1 little shorter.

2 So can we go first to PA-Energy Probe-5, PA-EP-5. So
3 in the preamble, I quoted from your evidence, page 16,
4 paragraph 49 where you say:

5 "This opportunity service targets excess capacity
6 in the system that is being inefficiently used by
7 existing domestic demand."

8 And in part A, question A asked:

9 "Does Power Advisory suggest that any system that
10 has spare capacity is inefficiently used?"

11 And then you replied in response A that:

12 "The efficient use of a fixed cost system or any
13 economic system is to maximize its utilization.
14 The more throughput that can be accommodated and
15 revenue generated as a result of that throughput,
16 the lower will be the per unit cost."

17 I think that is basic economics.

18 "But this only occurs if the additional unit does
19 not increase fixed or long term costs. A
20 transmission grid that is built to accommodate
21 peak demand will have spare capacity in most
22 hours"...

23 And you have 8759 in the brackets, which I assume is
24 the number of hours in a year. Is that right?

25 MR. LUSNEY: That is correct.

26 MR. LADANYI: So as far as you are concerned --

27 MR. LUNSEY: To be clear, number of hours, less the
28 peak hour. So 8760 would be the number of hours in a year.

1 MR. LADANYI: I was wondering. So there is one peak
2 hour and then the rest is other hours, non peak hours.

3 MR. LUSNEY: Correct.

4 MR. LADANYI: Why would that be? Can you tell me that
5 first?

6 MR. LUSNEY: Well, when you look at a load duration
7 curve for the system over a year -- a low duration curve
8 stacks consumption from highest to lowest -- you would have
9 your peak hour, which is the most consumption, and
10 reasonably would expect the system to be highest
11 utilization. And if you planned the system for that year
12 to meet that peak hour, it would be full utilization. Then
13 all other hours, which have less consumption, would have
14 less utilization, so you would have spare capacity.

15 MR. LADANYI: And then a second question I actually
16 asked in part B, is not spare capacity needed to rapidly
17 respond to changes in demand and supply? Would not a
18 system with no spare capacity have reliability issues?

19 And you basically agreed with that. And I have got
20 issues here with actually your answer. I won't read it.
21 But I assume that IESO or for that matter Hydro One
22 determines how much spare capacity there has to be on the
23 system for reliability. And then whatever is not needed
24 for that, they would, I guess, release. Is that how it
25 works?

26 MR. LUSNEY: The answer is more nuanced. So the
27 amount of flow capability in the system is set under --
28 "set" maybe is not the right word -- is determined under

1 certain reliability requirements. So the easiest example
2 that I can give is you have two transmission lines, and the
3 reliability requirement is the ability to maintain flow on
4 those lines if you lose an element, so lose one of the
5 transmission lines.

6 So from a reliability purposes, you have more capacity
7 than you allowed to flow. So that is reliability capacity,
8 which is much higher than system flow capabilities, where
9 you are not using that full capacity that's been allocated.

10 So for round numbers, if you had two lines -- and
11 there's a lot of other nuance, but I won't -- two lines of
12 100 megawatts each, the system operator would say, well,
13 I'm only going to flow 100 megawatts on this line, or on
14 these lines, because if I lose one I can load up the other
15 line to 100 megawatts. If -- so you could flow 200
16 megawatts, but you would have reliability problems.

17 When we talk about spare capacity, we're primarily
18 talking about 90 megawatts flowing on that line. You have
19 10 megawatts of underutilized capacity respecting the
20 reliability criteria.

21 MR. LADANYI: So would the exporters know this? Or
22 how would this be determined?

23 MR. LUSNEY: They would not necessarily know it. That
24 is what real-time operation -- that's part of the reason
25 why the IESO is proposing to move to locational marginal
26 pricing, to give some pricing signal with respect to
27 congestion or constraints in the operating system, and for
28 exporters the only really insight that they have is inter-

1 tie congestion pricing, which provides -- and published
2 values, which provide the amount of transfer capability
3 over inter-ties, but the whole system is determined
4 essentially through load flow models on a five-minute basis
5 through the algorithm and respect operational constraints,
6 which would include transmission constraints.

7 MR. LADANYI: But that would not be visible to outside
8 parties. Only IESO would know that. Is that right?

9 MR. YAUCH: Exporters will see prices, and the vast
10 majority of prices or exports occur when prices are 15
11 dollars and below. That is clearly when you're only
12 running hydro and none of the thermal units in Ontario. So
13 it is clear at that point that demand is well below the
14 capacity of the system, whether it is in terms of
15 generation or transmission. An exporter will see that
16 price signal and act accordingly.

17 MR. LADANYI: All right. We can continue this
18 discussion at the, I guess the follow-up technical
19 conference. This is interesting.

20 Can we turn to your response to Energy Probe number 6,
21 PA-EP-6. And I think Mr. Harper took you to this. And in
22 question A I asked:

23 "Please explain how a cost allocation methodology
24 would recognize an economic opportunity and use
25 it in setting rates."

26 And what I was looking for was an explanation. And
27 there does not seem to be any in your response to A. Can
28 you explain to me how this cost-allocation methodology that

1 you think would be the correct one would recognize an
2 economic opportunity? How -- numerically, what would they
3 do?

4 MR. LUSNEY: So I think, as we responded to Mr. Bill
5 Harper, we haven't provided as part of this or have not
6 completed as part of this evidence jurisdictional scans on
7 cost allocation for opportunity-type services. We are just
8 trying to provide guidance that you would approach this
9 from a different methodological approach, recognizing that
10 the users of the system have very different objectives and
11 are treated very different, both from a planning and
12 operational point of view.

13 I don't really have a calculation answer, but we're
14 just trying to provide, you know, guidance based on our
15 expert opinions.

16 MR. LADANYI: I understand that, and I -- since you're
17 more or less recommending this being a good way of doing
18 things, I was just trying to understand in a very kind of
19 simple, high-level way how this would work. Can you please
20 tell me that?

21 MR. YAUCH: What our evidence says is any cost
22 allocation should consider that. What we say in our
23 evidence is that the current way in which you allocate
24 spare transmission capacity and recover the costs of that
25 capacity from exporters is a pretty efficient and market-
26 based and transparent way of doing it. So our evidence is
27 clear that the current methodology is sound and that if you
28 are going to go to some cost allocation model way of doing

1 it, here are some ways. But we were clear that the current
2 methodology of doing it, which is unique to Ontario, is
3 actually sufficient.

4 MR. LADANYI: All right. I won't press you any more
5 on this. By the way, let me ask you one more question.

6 Economic opportunity. Can there be many economic
7 opportunities?

8 MR. VELLONE: Sorry, for the sake of clarity with the
9 last response, what did you mean by "current way of doing
10 things", exactly?

11 MR. YAUCH: The current methodology of allocating
12 prices, taking prices on inter-ties, collecting rents, and
13 allocating those rents back to Ontario consumers.

14 MR. VELLONE: You meant the ICP?

15 MR. YAUCH: Yes.

16 MR. VELLONE: Thank you.

17 MR. LADANYI: All right. You didn't mean the ETS?

18 MR. YAUCH: No. We're talking about how you allocate
19 transmission capacity through the ICP and IZP.

20 MR. LADANYI: Okay. Well, I am glad for the
21 clarification, because I was assuming it was ETS, and I was
22 surprised by your answer, but anyway, thank you for
23 clarifying it.

24 Now, coming back to ETS. Should the ETS rate increase
25 or decrease when there is an economic opportunity?

26 MR. LUSNEY: Our evidence and what we have been
27 retained is just to provide the impact of a higher --
28 estimate the impact of a higher or lower ETS. We don't

1 have an opinion.

2 MR. LADANYI: So -- of course. And I know that. But
3 conceptually as experts, which you, I guess, claim to be --
4 we haven't challenged that yet -- is that ETS rates should
5 respond to economic opportunities.

6 How would an ETS rate respond to economic opportunity?

7 MR. LUSNEY: Similar to our responses to Mr. Bill
8 Harper earlier, there is a lot of considerations in terms
9 of doing it from an ETS rate point of view, and to your
10 question, I mean, one aspect to consider is the time
11 function of the response.

12 Should it be responding in real time? Should it be
13 responding yearly? And that is stuff that we haven't taken
14 time as part of this preparation of this evidence to
15 consider, or to calculate or analyze.

16 MR. LADANYI: So I am just trying to understand the
17 dynamic nature of what is being discussed. So ETS rate, if
18 it is variable, and it would vary -- as a variable would
19 respond to economic opportunities as they arise, would it
20 increase or decrease when there is more economic
21 opportunity?

22 MR. LUSNEY: We haven't considered a variable ETS
23 rate.

24 MR. LADANYI: You have not? All right. I thought you
25 were considering it a dynamic one. So it is my fault.
26 Probably I misunderstood it.

27 Now let's go to Energy Probe Number 10. Here in your
28 evidence on page 30, paragraph 74, you say:

1 "A regulated process would typically only be used
2 when there is a market failure. In this case,
3 there is no market failure on the province's
4 inter-ties."

5 So I actually asked you to define market failure. And
6 you provide an answer. You say:

7 "Market failure can mean a number of things. Typically,
8 Power Advisory assumes a market failure occurs when there
9 is abuse of market power or lack of competition."

10 So is there evidence of abuse of market power or lack
11 of competition in Ontario?

12 MR. YAUCH: Well, we only looked at the inter-ties, so
13 as far as we know, no.

14 MR. LADANYI: So if I understand your evidence --
15 which I just read in the preamble and your response --
16 you're saying there is no need for a regulated process for
17 an export rate?

18 MR. YAUCH: In this situation, the way Ontario has
19 designed its inter-ties and the market processes on those
20 inter-ties, we don't view it as a market failure.

21 We think it allows for open and transparent
22 competition amongst market participants that sets a price
23 that allocates transmission capacity efficiently.

24 MR. LADANYI: I am still trying to make a conclusion
25 out of your responses here and your evidence. You're
26 saying because there is no market failure in Ontario, we do
27 not need -- we being Ontario really does not need an OEB
28 regulated export transmission service rate. Is that what

1 you are saying?

2 MR. YAUCH: Our view is the current process allows for
3 transparent open competition, which is what a market is
4 supposed to achieve.

5 MR. LADANYI: I will have to ponder these responses.
6 Anyway these are all of my prepared questions. I have no
7 further questions. Thank you very much, panel.

8 MR. SIDLOFSKY: Thanks very much, Mr. Ladanyi. We
9 will move on to AMPCO. Ms. Grice.

10 **EXAMINATION BY MS. GRICE:**

11 MS. GRICE: Thank you, and good morning, panel. I
12 just have a couple of clarifying questions. The first one
13 is with respect to Staff 4. Thank you.

14 Staff 4 is asking a question regarding table 1, and
15 table 1 is the financial impact of increasing and
16 decreasing the ETS rate, and Staff has asked questions
17 regarding the congestion rent.

18 And then in part A, Staff asked for an explanation of
19 how much of the estimated change in congestion rent would
20 flow to transmission rights holders versus Ontario
21 ratepayers.

22 And I just have a clarifying question regarding the
23 response to part A, and it is the last sentence of the
24 response where it says:

25 "Under the current methodology of TRCA
26 disbursements, nearly 98 percent of disbursements
27 flow to Ontario ratepayers."

28 So I just wanted to clarify if this means that

1 generally payments to rights holders is near 2 percent, is
2 that what we can take from the response?

3 MR. YAUCH: No. So the TRCA is money that is
4 collected from the combination of auction revenues, TR
5 auction revenues and then congestion rents, minus payments
6 to TR rights holders.

7 Previously, the money that was collected in that
8 account flowed to exporters or domestic customers based on
9 volumes. And so at that time, exporters got about 13
10 percent, domestic loads got about 87 percent.

11 Based on a bunch of reviews that the IESO did on
12 behalf of the many -- in many cases, on behalf of the
13 market surveillance panel, they changed that allocation to
14 allocating money from the TRC disbursement based on
15 transmission costs paid.

16 And so 2 percent is essentially what the ETS paid by
17 export customers as a percentage of total cost of the
18 transmission system. So that is how it is allocated now.

19 MS. GRICE: Okay. I appreciate that.

20 MR. YAUCH: If ETS was zero, it would be 100 percent
21 domestic loads.

22 MS. GRICE: Okay, thank you. Then I just have one
23 last question. This has been talked about a lot, about the
24 relationship between the ETS rate and the ICP.

25 I don't think we need to turn this up, but in IESO's
26 response to OEB number 36, the IESO said that they would
27 not characterize the relationship as a dollar-for-dollar
28 proportional relationship in all cases.

1 I just wanted to follow up and ask if Power Advisory
2 has a view and could comment and give a directional
3 estimate of what you think the relationship is likely to
4 be. Would it be a greater than or less than one to one?
5 Are you able to comment on that at all?

6 MR. YAUCH: At a high level, if the ETS increases, it
7 will be likely offset through an export bid.

8 So if the ETS increases by five dollars, an exporter
9 now has to pay a transaction cost of five dollars and
10 should, in a perfectly efficient market, include that five
11 dollars in its bid and lower it by five dollars, i.e.
12 congestion rent would go down by five dollars.

13 Export trades happen as a result -- their dynamic
14 happens for lots of reasons, so we don't think it will
15 always be one for one. But it would be an inverse
16 relationship, as the IESO pointed out.

17 MS. GRICE: You can't comment on whether or not in
18 those other cases, it would be greater than or equal to one
19 to one?

20 MR. YAUCH: No. I know we hammered it many times that
21 if you had access to bid data, you would probably be able
22 to do a more accurate sort of calculation that you are
23 asking, but we didn't have it to do this.

24 MS. GRICE: Okay, thanks very much, those are my
25 questions.

26 MR. RUBENSTEIN: If I can follow up on a response that
27 was given to Ms. Grice?

28 MR. SIDLOFSKY: Sure, go ahead, Mr. Rubenstein.

1 MR. RUBENSTEIN: Mr. Yauch, I wanted to follow up on
2 the TRCA disbursement question, the response you provided.

3 You are more familiar with this than me. I just want
4 to be clear. Based on the current methodology, you said it
5 is based on transmission, contribution to transmission --

6 MR. YAUCH: Costs paid.

7 MR. RUBENSTEIN: So if for example the Board were to
8 approve a zero ETS, then is it automatically the flow
9 through impact is that domestic ratepayers will receive 100
10 percent of the balance.

11 MR. YAUCH: That is our reading of it, because
12 exporters would then be paying no transmission costs for
13 every single trade of power.

14 So if Hydro One and IESO in their example, if it ends
15 up being different, we will comment. But our view is it
16 would be 100 percent.

17 MR. RUBENSTEIN: And the flip side corollary of that,
18 if it goes up to the five dollars or if it is higher,
19 domestic ratepayers will get less?

20 MR. YAUCH: Right. Like if ETS was extreme, if it was
21 fifty dollars a megawatt-hour and exporters were paying the
22 entire transmission system, they would get everything out
23 of the TRCA.

24 MR. RUBENSTEIN: Okay, thank you.

25 MR. HARPER: Jamie, it is Bill Harper. I have one
26 clarification on that as well.

27 MR. SIDLOFSKY: Sure, go ahead.

28 MR. HARPER: I just want to ask. All of that

1 discussion on the percentages, that is on what is left in
2 the TRCA, net of what's been paid to transmission right
3 holders. I just wanted to make that clarification.

4 MR. YAUCH: Yes. Yes, Bill. So I think the IESO
5 provided a table somewhere, but it says here's the TR
6 revenues we get from selling TRs, transmission rights.
7 Here is congestion rent we collected, and here is what we
8 paid TR holders.

9 So in the end -- yes, sorry.

10 MR. HARPER: You are talking about the net of that? I
11 just wanted to make that clarification.

12 MR. YAUCH: That's right. What is left in TRCA is
13 what is there after the auction revenues congestion rents
14 have been collected and paid.

15 MR. HARPER: Thank you.

16 MR. VELLONE: If you will suffer a quick redirect
17 because we're already on the topic.

18 Re-Direct Examination by Mr. Vellone:

19 MR. VELLONE: Just to clarify when you answered those
20 questions, you are making an assumption that the
21 transmission service charges allocation that the IESO uses
22 is primarily driven from an exporter point of view by the
23 collection of the ETS rate.

24 But if the IESO also collects uplifts and other
25 charges and includes them in transmission service charges
26 for the purposes of this allocation, it might not exactly
27 be zero. Is that a fair statement?

28 MR. YAUCH: Yes. If uplifts are used as representative

1 of transmission costs paid, then I guess they would be
2 included in how you do the split from the TRCA
3 disbursement.

4 MR. VELLONE: Thanks.

5 MR. SIDLOFSKY: Thanks, Mr. Vellone. Let's move on to
6 Mr. DeVenz, Pollution Probe.

7 MR. DeVENZ: Good morning. I'm John DeVenz with
8 Pollution Probe. Our questions have been answered this
9 morning, so we have no questions. Thank you.

10 MR. SIDLOFSKY: Thank you. Anwaatin, Mr. McGillivray.

11 MR. MCGILLIVRAY: Thank you, Mr. Sidlofsky. Anwaatin
12 is in a similar position. We don't have any questions for
13 Power Advisory. Thank you.

14 MR. SIDLOFSKY: Thanks very much. On to Mr.
15 Pietrewicz for OEB Staff. Last questioner of -- for this
16 panel.

17 **EXAMINATION BY MR. PIETREWICZ:**

18 MR. PIETREWICZ: Good morning. Likewise all of my
19 questions have been answered, so I hope to be brief about
20 it. But I still will ask a couple.

21 First of all, thanks for being here this morning. I
22 am Andrew Pietrewicz, and I will be asking questions on
23 behalf of OEB Staff.

24 Let's skip ahead to a question I had and it is timely
25 because others were just asking about it, and I want to get
26 a little bit further ahead on it.

27 In reference to Power Advisory's response to OEB
28 Staff 4A, Power Advisory's response to staff 4a, and it's

1 the same quote that Ms. Grice was asking about, and it is
2 the place where it says:

3 "Power Advisory's response has, an increasing ETS
4 or increased transmission [audio dropout] charges
5 paid by exporters and subsequently increase the
6 allocation of disbursements from the TRCA."

7 And my -- for my own understanding -- and I appreciate
8 your clarification -- are you saying that effectively
9 exporters get some of their ETS costs recouped through the
10 TRCA?

11 MR. YAUCH: Yes. So when it is all said and done and
12 there is surplus money in the TRCA, they get what is now
13 2 percent allocated back to them through a payment. While
14 I discussed the history of it is it used to be much higher
15 and now it is 2 percent.

16 MR. PIETREWICZ: Thank you. Moving on to OEB Staff 3
17 to Power Advisory -- Power Advisory's reply to Staff 3 --

18 MR. VELLONE: I can do redirect at the end or redirect
19 right away. It is in your hands, Andrew. I --

20 MR. PIETREWICZ: Please go ahead, please go ahead,
21 because, Mr. Vellone, I have a different view up, so I
22 don't see who is talking right now. But, yes, please feel
23 free to jump in right away.

24 MR. VELLONE: So I just want to clarify the witness's
25 response to the last question to understand -- I guess you
26 are making an assumption in that response that the owner of
27 the transmission right, the successful party in the
28 auction, was an exporter.

1 MR. YAUCH: Yes. So let's be clear. The IESO has
2 looked at this in the past, and there are a certain number
3 of participants -- I forget the percentage. I think it
4 was around 20, 30 percent -- that never exported any
5 energy, but they bought TR revenues, so they would get
6 money as well even though they're not in any way, shape, or
7 form an exporter, they're a financial participant, really.

8 MR. PIETREWICZ: Thank you. That is actually a very
9 helpful clarification. Thank you. Is that it, Mr.
10 Vellone? Can we move on?

11 MR. VELLONE: Yes, that was it.

12 MR. PIETREWICZ: Thank you.

13 So on Staff -- where were we? Yes, Staff 3B. OEB
14 Staff's question here refers to Power Advisory's estimate.
15 Can I refer to you as PA to save sort of syllables?

16 MR. LUSNEY: Sorry. I know you want to save time, but
17 can you refer to us as Power Advisory? There is another
18 firm in North America that uses PA, so we have to be more
19 cognizant of being Power Advisory.

20 MR. PIETREWICZ: That is great. Hence why I asked.
21 As someone with an Anglicized name, I know that
22 appellations matter, and so thank you. Power Advisory.

23 OEB's staff question refers to Power Advisory's
24 estimate that -- I am quoting here from somewhere -- that
25 the financial impact to Ontario ratepayers from increasing
26 the ETS rate to \$6.54 a megawatt-hour would have been a net
27 increase in costs of 42.6 million dollars over the 2018 to
28 2021 time frame. Right? So OEB Staff is asking you about

1 that, and this is where we get the number of 42.6 million
2 dollars.

3 And in an interrogatory response, the OEB Staff 3B,
4 Power Advisory confirmed that this 42.6 million dollars is
5 the cumulative total. Right? Over the four years,
6 including 2018, 2019, 2020, and 2021. Right? It is not
7 the annual number. It is a cumulative amount. Okay.

8 And this -- I am getting to the point. Were you
9 trying to say something, Mr. Lusney? Your microphone is
10 off.

11 MR. LUSNEY: No, sorry, sorry.

12 MR. PIETREWICZ: Oh. And when we asked you in this
13 interrogatory to put that 42.6 million dollars in
14 perspective, that cumulative figure, in terms of what the
15 approximate total ratepayer cost over that same period was,
16 that period 2018 to 2021, Power Advisory indicated -- and I
17 will try to find exactly where you say that. It is
18 somewhere in this answer. Oh, yes, it is in part C to this
19 response.

20 Power Advisory indicated -- and I am quoting:

21 "The UTR amounts for 2018 alone totalled more
22 than \$1.6 billion."

23 And wholesale market-related costs typically total
24 more than \$19 billion annually.

25 And so my first question to you -- just help me put
26 this into perspective. There are a couple of numbers here
27 that I would like to put into a world view.

28 By this -- referencing this 1.6 billion and this 19

1 billion, are you saying that -- or do you mean that more or
2 less the cost of electricity service in Ontario is in a
3 ballpark of 21 billion dollars a year? That's the
4 19 billion plus the 1.6 billion?

5 MR. YAUCH: No. So not that I am disagreeing with
6 you, is that those numbers were just really indicative.
7 So we didn't go through and calculate all of the wholesale
8 costs. We gave an indicative value for transmission, and
9 then there is also distribution costs that are not included
10 in this either.

11 We just wanted to say that while there is a 42-
12 million-dollar net cost, you know, this is a little sliver
13 of the system, right? And the system is much larger than
14 what we're focusing on in this proceeding. That is not to
15 negate the importance of it. It is just to put it in the
16 context in which it sits.

17 MR. PIETREWICZ: Sure, sure. Even small things can be
18 important. I am just trying to get a sense of what were
19 the comparators here.

20 So are you saying, Mr. Yauch, that -- I totally
21 appreciate that, that you are speaking from sort of your
22 expertise and your experience -- that the total system cost
23 annually is 19 billion, you know, market costs, 1.6 billion
24 in UTRs, you're saying, and in addition there are
25 distribution costs to that? So it could be more than
26 21 billion dollars --

27 MR. YAUCH: That's right.

28 MR. PIETREWICZ: -- in a year. Okay. And that's fair

1 enough. I don't want to hold you to a specific number.

2 So by that kind of arithmetic, you know, over the
3 period 2018, 2019, 2020, and 2021, if we take that kind of
4 round number of, let's say \$21 billion, and multiply by
5 four years, would you agree that the cumulative cost for
6 that period of 2018 to 2021 would have been something like
7 \$84 billion? That is, 21 billion a year times four years?

8 MR. YAUCH: For indicative purposes, yes.

9 MR. PIETREWICZ: Okay. Thank you.

10 And so I think this is -- and so your estimate,
11 therefore, is that in the report Power Advisory's estimate
12 is that increasing the ETS to the maximum amount posited in
13 the Elenchus study, the maximum amount of \$6.54 per
14 megawatt-hour, increasing the ETS to that amount would
15 increase the net costs by about \$42.6 million cumulatively,
16 compared to a cumulative cost of about \$84 billion. Is
17 that correct?

18 MR. YAUCH: Yes. But I will highlight -- so we were
19 conservative in our assumptions, and we did that for a
20 reason. And secondly, we didn't look at things like
21 operational costs. I think the IESO mentioned yesterday
22 nuclear shutdowns and manoeuvres. We didn't look at that,
23 because we're not nuclear engineers and we don't operate
24 those plants.

25 But I think the IESO's comments are fair, that those
26 costs are real, and operational costs are not zero, and
27 that they should at least be considered. And I know the
28 IESO did qualitatively -- they didn't do it quantitatively,

1 but I think that should also be put in the context of
2 42 million over 82 billion.

3 MR. PIETREWICZ: Yes, sure, sure, and -- thank you.
4 And the spirit of where I am coming from is really more on
5 what your report said, not what it didn't say. So let's
6 focus on what it said. But thank you for that. That is an
7 additional context.

8 And so by this 42.6 million compared to a much larger,
9 like, many orders of magnitude larger total system cost,
10 you called it a sliver, I think this is what you mean in
11 your response to part C, that, quote:

12 "The benefits and costs you have described here
13 as part of changing ETS are well below 1 percent
14 of total system costs, however they are defined."

15 That is what you meant. It is a small number compared
16 to a big number; is that correct?

17 MR. YAUCH: That is correct, yes.

18 MR. PIETREWICZ: Okay. And, I mean, by "well below",
19 I mean, I know we're rounding here, but by "well below"
20 would you agree that 42.6 million over, you know, 84
21 billion is actually something like much less than 1
22 percent? It is not even a tenth of a percent. It is
23 probably in the hundredths of a percent. Would you agree
24 with that, subject to check?

25 MR. YAUCH: Subject to putting 42 million over
26 82 million, yes. It is low.

27 MR. PIETREWICZ: 42.6 million. Okay. And I think you
28 would agree that, you know, five-hundredths or a hundredth

1 of a percent is a pretty slim margin. You would agree with
2 that?

3 MR. YAUCH: Yes. For Ontario customers. Export
4 customers are different, right? Their economics are
5 different, and this may be much more materially impactful
6 for them. So we're just looking at this in terms of the
7 Ontario -- total costs for Ontario loads, but it is a very
8 different story if we're talking about exporters.

9 MR. PIETREWICZ: Fair enough. Thank you for that.
10 Yes, we are talking about net impact to Ontario customers
11 when you talk about that 42.6 million dollars.

12 So continuing on to OEB Staff 3D, we asked Power
13 Advisory what variables this estimated 42.6 million dollars
14 would be more sensitive to, right.

15 And in its response, Power Advisory said it actually
16 has not conducted a sensitivity analysis of this result.
17 However, you mentioned somewhere -- oh, yes, in part E,
18 that congestion rents will be highly sensitive to the ETS
19 rate.

20 So although you didn't do the analysis, you did posit
21 one thing or highlighted one thing that the ETS would be
22 sensitive to, or the congestion rents would be sensitive to
23 in part E.

24 I just want to point out that elsewhere -- you don't
25 have to turn it up -- IESO told VECC at VECC 16.1.2 that
26 changes in ICP are driven by a number of factors.

27 I believe you mentioned some of them today, including
28 factors in neighbouring jurisdictions, seasonal variations

1 and supply, demand changes in fuel costs, outages,
2 composition of marginal resources that set market price,
3 trade behaviour, et cetera.

4 IESO said changes in ICP are driven by these things.
5 My question here is would you agree with that, that changes
6 in ICP are sensitive or at least driven by these things?

7 MR. YAUCH: Yes. So the ICP is set on export bid
8 behaviour. That is what sets the ICP, and then determines
9 ICP.

10 So exporters will bid for a variety of reasons both in
11 terms of supply conditions and demand conditions in
12 Ontario, but also in whatever market they're moving it to,
13 and whatever transmission constraints or seasonal
14 constraints facing those other markets. They're all going
15 to affect their bid.

16 If you increase the ETS or decrease it, it creates a
17 transactional cost on top of all of those other things, so
18 that is why we say a change in ETS will -- whatever their
19 bid is, that new transactional cost will change it.

20 So it will have an immediate impact, in our view.

21 MR. PIETREWICZ: Thank you. That said, while I think
22 you're saying you are agreeing that the result of your
23 analysis is sensitive to a variety of things, I think
24 you're agreeing that we don't know how sensitive it would
25 be, right, because for reasons of time, scope, whatever the
26 reasons are, you didn't actually conduct a sensitivity
27 analysis in this matter. Is that correct?

28 MR. YAUCH: No, no, that's correct.

1 MR. PIETREWICZ: Thank you. Okay. Maybe this is
2 beating a proverbial dead horse, but I want to very quickly
3 kind of go through a couple of instances.

4 You referred on several occasions in your
5 interrogatory responses and maybe your evidence, I don't
6 recall, about, you know, the challenges you faced with
7 access to data. I just want to highlight some of those.

8 In OEB Staff 14E, OEB Staff 14E to Power Advisory, we
9 asked you about what the dollar of transmission rights sold
10 to rights holders is that exceeded the dollar value of
11 congestion rents.

12 Your response was clearly you don't have access to
13 this data. In other jurisdictions, this information would
14 be publicly available. But market data and information is
15 severely restricted in Ontario.

16 My first question to you in fairness is that, would
17 having data about the transmission rights sold to rights
18 holders that exceeded the dollar value of congestion rents
19 received in the market, would that have been a factor in
20 your analysis in terms of the result of the 42.6 million
21 dollars? I don't want to ask about it, if it is
22 irrelevant.

23 MR. LUSNEY: No. I think this is a good question, in
24 our view, because when preparing the evidence and what we
25 were retained to do, you know, as our expertise in
26 understanding the Ontario electricity sector, we have to
27 determine a methodology to respond to the questions we have
28 been asked. And that methodology is going to be influenced

1 by the data and information that we know that we can get
2 access to.

3 And therefore, you don't want to, to serve our client
4 appropriately, propose a methodology that will ultimately
5 fail because we can't have the inputs we need or have to
6 rely on very significant assumptions in that.

7 So I think to your question on whether it would change
8 our outcomes, maybe it wouldn't, but without -- if the data
9 was available, we might have even come at the methodology
10 of our analysis differently and that is, I think the key
11 point is you are right in saying that we keep coming back
12 to that had this data been available it might have been a
13 completely different approach.

14 MR. PIETREWICZ: I understand, thank you. I will move
15 on. OEB Staff 15a -- in OEB Staff 15A, it is kind of the
16 same theme, panel.

17 OEB Staff asked Power Advisory about the sensitivity
18 of export traders to prices, right.

19 And in part of its response, Power Advisory said that
20 its analysis relied on HOEP, i.e. real time pricing data,
21 as the IESO does not provide historical PD-1 pricing for
22 the inter-ties.

23 And it goes on, it goes on. And it says that Power
24 Advisory had no way to address this in its modelling given
25 the lack of data, and that you did a valiant effort in
26 using the best available information.

27 Then in addition, you mention that it is not clear
28 what the sync is for each trade. But my questions to you,

1 can you help me understand how to say this word, is it PD
2 minus one or is it PD-1?

3 That is the first question. And then tell me what PD
4 stands for.

5 MR. YAUCH: PD minus one stands for pre dispatch --
6 one hour pre dispatch, so one hour before real time.

7 Congestion rents are set in PD minus one, and then
8 they're added to HOEP in real time.

9 So our calculation of congestion rents, we had to use
10 HOEP because we didn't have the PD minus one historical
11 data and that is why there is probably a bit of discrepancy
12 between ours and IESO's numbers.

13 MR. PIETREWICZ: Thank you. Would you agree that
14 relying on HOEP rather than PD minus one as well as not
15 being able to determine what the sync is for each trade,
16 would you agree that uncertainty slash modelling was
17 involved in these results?

18 MR. YAUCH: Yes. It creates greater uncertainty. If
19 you had the export bid, you wouldn't really care what sync
20 is because you would see what their economic opportunity is
21 they're chasing.

22 MR. PIETREWICZ: Thank you. In response to OEB Staff
23 16D, Power Advisory highlighted what reporting [audio
24 dropout] your lack of market data available and inability
25 to provide complete analysis in this proceeding.

26 My question to you is that -- is this data in the
27 context of 16K, again, increasing or adding to the range of
28 uncertainty or fuzziness or approximations inherent in

1 these results?

2 MR. YAUCH: It is adding to it, but I do want to
3 highlight the second sentence there that you didn't read,
4 that Ontario is a significant laggard when it comes to
5 other markets. I think our report tried to highlight that.

6 If you want a competitive and transparent market, you
7 need to provide data. And this is what other markets do.
8 And Ontario has taken an approach of not doing that. So we
9 do highlight that throughout the report.

10 MR. PIETREWICZ: You do. Thank you for that. Moving
11 on to Power Advisory's response to VECC 23.2. And you
12 don't even have turn it up.

13 VECC asked Power Advisory about its calculations for
14 water power spill and Power Advisory's answer was that this
15 is Power Advisory's working assumption on the marginal cost
16 of hydro. As noted extensively throughout our evidence,
17 the lack of data related to hourly curtailment amounts and
18 costs, et cetera, et cetera, undermines transparency and
19 the true costs of curtailment in Ontario.

20 Again, this is another example, would you agree, that
21 Power Advisory had to work in face of data gaps?

22 MR. LUSNEY: I think, as mentioned before we developed
23 -- we had multiple objectives in what we were trying to do.
24 One is that we wanted to prepare our evidence to provide,
25 you know, a simplistic and transparent methodology and
26 approach to inform the panel an understanding of what a
27 higher ETS or lower ETS might have on broad impacts to
28 Ontario ratepayers.

1 So while I can generally agree that it's yes, we're
2 flying a little blind and therefore we had to take the
3 basic manoeuvres, for lack of a better quote, we still
4 stand by our evidence, that, you know, this -- given what's
5 been available and given the approach and our understanding
6 of the market is, you know, valuable for the panel to
7 consider, and that we would be more accurate with more
8 information. And we may come at it from a different
9 approach to be able to provide more insight and analysis.

10 So that is why we kind of raise that, you know, there
11 is a lot of very good questions from intervenors that we
12 would be much happier to answer, but we can't because of
13 what -- where we stood.

14 MR. YAUCH: I'm gong to add to that. I don't think
15 there is that much uncertainty in the congestion rent
16 numbers, frankly, at all. I think the increased ETS, as
17 you see, when HOEP goes up congestion rents decline. I
18 don't view the band of uncertainty there quite high.

19 Spilling and curtailment, because there's a lot of
20 operational data there, maybe that is a little different,
21 but I think if you add in a five dollar -- essentially a
22 five dollar transactional cost to hydro and you pushed it
23 from 14 to almost 20 dollars, you're bumping up very close
24 to marginal cost of gas generators in neighbouring
25 jurisdictions, and I also think there would be a big impact
26 in hydro curtailment, and if anything we're probably
27 underselling it.

28 MR. PIETREWICZ: Thank you. I will skip over. I

1 mean, I think you made the point very well that you have
2 experienced some data gaps or challenges, but you have done
3 -- you have asked to work around them in a way that I think
4 you're saying that you stand behind them in terms of the
5 directional result.

6 Fair enough. In the spirit of getting through this I
7 will skip a bunch of questions, but I do want to ask you
8 about one more data-related question.

9 The Power Advisory says in its response to OEB Staff
10 23 that congestion rents and exports are partly the result
11 of conditions in neighbouring markets, not just SBG in
12 Ontario, and that is the point that I want to make, that,
13 you know, this is a highly interconnected, dynamic type of
14 machine and system that we're talking about, and I think
15 you mentioned earlier today in your discussion with some
16 others that what's going on in neighbouring markets is also
17 relevant to your analysis.

18 Would you agree with that?

19 MR. YAUCH: Yes. And it hasn't been brought up today,
20 but in SEC 11, I believe it is, we provided some congestion
21 rents on the Quebec inter-tie this winter. They were quite
22 extreme, and Ontario was not an SBG in any way, shape, or
23 form, and as far as I know -- you can't quote me on this,
24 but I'm pretty sure those are record congestion rents for
25 Quebec at that time.

26 So it can occur when we're not an SBG, because there
27 is a huge component that happened -- whatever is happening
28 in the neighbouring market will have a big impact on

1 congestion rents here.

2 MR. PIETREWICZ: Great. Thank you. So you agree,
3 yes, that it is just not domestic factors but factors
4 around us that impact the congestion rents.

5 MR. YAUCH: Yes.

6 MR. PIETREWICZ: And earlier we talked a little bit
7 about, and you mentioned it more extensively in your
8 evidence, that -- you know, the data gaps with respect to
9 Ontario data.

10 My question to you is that, did you have the same sort
11 of data issues when you considered the conditions in
12 neighbouring markets in your analysis?

13 MR. YAUCH: No, largely because we weren't looking at
14 spill and curtailment in neighbouring jurisdictions, but it
15 is not really prevalent there. So those sort of data gaps
16 that we were facing here, we didn't -- they're not really
17 there in neighbouring jurisdictions now.

18 MR. PIETREWICZ: Are you saying that you didn't
19 consider neighbouring jurisdictions when estimating the
20 impact of changing ETS on exports and ICP revenues and
21 impacts on Ontario ratepayers? Are you saying --

22 MR. YAUCH: No, because we were -- we're backwards-
23 looking, right? So the supply mix in neighbouring
24 jurisdictions was the supply mix. And so we just looked at
25 the price opportunity that would have changed as a result
26 of the change in ETS.

27 MR. PIETREWICZ: Of course. Thank you. And so, so
28 far we have been talking about, you know, this analysis on

1 the historical basis, which is difficult enough.

2 Would you agree that, looking forward, trying to
3 forecast outcomes would be just as difficult, if not more
4 difficult?

5 MR. LUSNEY: Yes. And I think that we have touched on
6 this a few times. The future is inherently uncertain, and
7 any forecast has to take a certain objective into mind,
8 that you are looking at, and I think one that we as a firm
9 who performs, you know, wholesale price forecasts for a
10 large number of clients and entities in the Ontario market
11 and in other markets, you know, one thing, for example,
12 that we provide is we can give a volatility forecast or we
13 can give an annual supply demand balance and investment
14 opportunity forecast.

15 They're very different, and you can't do the same at
16 the same time, just given how models and assumptions work
17 out.

18 The other one related to that that I think is very
19 important for all intervenors and the panel to consider is
20 exports as a system is kind of your last resort before you
21 start potentially curtailing and paying for aspects, that
22 it is a release valve for the system in conditions, and we
23 note in one of the answers that, you know, the expectation
24 of demand growth is you're not going to face issues, but
25 the reality is, is you are going to have unforeseen events.

26 And the province, along with the rest of the world,
27 dealt with an unforeseen event with respect to a pandemic
28 [audio dropout] is domestic and external demand. About a

1 decade before that we had a financial crisis, which, we've
2 never really returned to demand levels at that capability.

3 So when looking at forecasts you are trying to take a
4 view for the system. The only thing that you know for sure
5 is that you will not be right. You will likely have some
6 wrong. So when you do look forward I agree with your
7 comment that it will become more difficult, and there is a
8 lot more nuances that you will not be able to anticipate.

9 MR. PIETREWICZ: Thank you. And I have only three or
10 so questions left, so I will just kind of cluster the
11 questions then.

12 Looking forward, I mean, the IESO spoke a little bit
13 yesterday, and VECC 18 asked the IESO to -- about changes
14 in TRCA disbursement methodology, and the IESO said that
15 there would be a behaviour change as a result of the change
16 in the disbursement methodology.

17 My question to you is, do you agree that there will be
18 a change in behaviour of market participants as a result of
19 changes in the disbursement methodology, and do you know
20 what that change will be?

21 MR. YAUCH: I am not convinced there will be a
22 significant change. TRCA disbursements happen six months
23 or annually.

24 When you are making an hourly trade based on prices,
25 let's say in New York and Ontario, I find it a bit of a
26 stretch to think that you are doing your bid based on a
27 potential of some payment from this account.

28 So I think maybe at a very high level there would be

1 some impact, but I don't think it would be in any way or
2 shape significant.

3 MR. PIETREWICZ: Moving on to SEC -- this is an
4 interrogatory from SEC to the IESO in the first round. I
5 just want to cite it for context, SEC 8, in the first round
6 of interrogatories. It's the IESO about the market renewal
7 and implications of that looking forward, how things like
8 congestion pricing, export volumes, prices, transmission
9 rates [audio dropout] about market renewal program and what
10 is up with that, what impact -- implications will have.

11 And IESO said that the day-ahead market will mean some
12 changes for the ICP, and they said -- I think this is a
13 quote -- that:

14 "Fundamentally inter-tie flows will still be
15 driven by underlying temporal changes or
16 differences between jurisdictions, but there will
17 be some technical changes that will impact inter-
18 tie pricing and flows."

19 And later on they say that:

20 "The single scheduled market will produce
21 locational prices more reflective of conditions
22 which can impact the level of congestion at
23 inter-tie loads."

24 And so my question to you is, do you agree with the
25 IESO that under-market renewal, technical changes, will
26 impact inter-tie pricing and flows?

27 MR. YAUCH: Yes. At a high level, yes.

28 MR. PIETREWICZ: And do you also think that there

1 might be some behavioural changes? For example, do we
2 expect that there might be different results than in the
3 past during the transition of market renewal as
4 participants figure things out?

5 MR. YAUCH: Potentially. Not to belabour the point --
6 I will give one example -- that right now, like, IESO, for
7 example, has a day-ahead market, and you may have a
8 position in the day-ahead market, and you settle it in real
9 time in Ontario, and it may be your forecast real-time
10 prices may have been off. In the future you can tie a day-
11 ahead with a day-ahead, so that might change.

12 So behaviour, but ultimately the underlying economic
13 arbitrage is what's going to drive the trade.

14 MR. PIETREWICZ: Right. Okay. So when we talk a
15 little bit about behaviour changes and market renewal, I
16 want to talk to you very quickly and wrap it up, about
17 technological changes.

18 OEB Staff 23E to Power Advisory. It's OEB Staff 23E.
19 We asked you about the potential of electricity storage,
20 right, in helping to mitigate SBG.

21 And this was asked in the context of SBG as a factor
22 of congestion repayments and [audio dropout].

23 And in your response you fairly said that you were not
24 retained to analyze the future world of storage [audio
25 dropout].

26 So my basic question to you is, in your opinion, could
27 a technology like storage have an impact on SBG in Ontario
28 in the future, and do you know to what extent it will?

1 MR. LUSNEY: I think at a high level, different
2 technologies, different changes in consumer behaviour,
3 demand load shape, supply mixes, all of this will change,
4 you know, the real time and seasonal balance between supply
5 and demand.

6 I think you know, it may be helpful. It may not be
7 helpful I think with anything and as part of, you know, any
8 regulatory framework of which you would include electricity
9 market design, regulatory process, transaction,
10 consumption, that will influence how those market
11 participants and those technologies play.

12 So I think part of the reason why our answer was, you
13 know, we didn't analyze it because to analyze it you have
14 to kind of set out a framework that you are going to look
15 at it and what it is specifically you are trying to answer.

16 MR. PIETREWICZ: Sure, sure. Fair enough. And we are
17 talking about the future here, whereas your analysis was
18 past looking. Fair enough.

19 My final question also relates to technology and
20 technological change in the future and how it might change
21 results in the future if you were to do this five years
22 from now or ten years from now, compared if you did to
23 today based on the previous five years.

24 This is kind of a moving target. It is part of the
25 late breaking news we heard yesterday. Part 7A to the
26 IESO, this is a question that Mr. Pattani asked the IESO in
27 the first round of interrogatories.

28 He references the December 2021 planning outlook and

1 he mentioned that at that time, the Ministry of Energy
2 asked the IESO to enter into contract negotiations
3 regarding a 1,000 megawatt cable that is an underwater
4 transmission line between Ontario and the United States.

5 And Mr. Pattani asked about potential implications
6 on congestion rents, and the IESO said that, look, the ICP
7 depends on many factors, including constantly changing
8 market conditions, competition, supply outages, weather.
9 As a result, ICP collection is variable and hard to predict
10 than the fixed charge like the ETS.

11 My last couple of questions to you is that, do you
12 agree that when we're talking about import and export
13 flows, something like a brand new 1,000 megawatt inter-tie
14 could change things a little?

15 MR. YAUCH: Yes. And I am just going to reiterate
16 because we do a lot of modelling and market simulation
17 models, imports and exports are notoriously the trickiest
18 thing to pin down. You need multiple forecasts and you
19 need multiple demand forecasts, and you need to try to
20 figure out what the transaction cost is between the two is
21 and where the sync is and where the source, so they are
22 inherently more complicated than other aspects of the grid.

23 MR. PIETREWICZ: I agree and understood. So a new
24 1,000 megawatt tie on top of the ones that we already have,
25 you think if that were incorporated in an analysis, it
26 might lead to different results, everything else being
27 equal?

28 MR. YAUCH: Yes. I don't want to belabour the point,

1 but Ontario is facing a future that is very uncertain. The
2 IESO is procuring thousands of megawatts. It hasn't done
3 that for a long time. We don't know what those megawatts
4 are, we don't know what the marginal cost is, we don't know
5 how they're going to be committed.

6 So the future, even with or without WECC, is probably
7 more of a question mark we have seen for quite a while in
8 the province. So I think the future is more uncertain than
9 it was let's say three or four years ago.

10 MR. PIETREWICZ: Thank you. You can confirm your
11 analysis did not include a brand new 1,000 cable between
12 Ontario and the United States, right?

13 MR. YAUCH: No. It is historical.

14 MR. PIETREWICZ: And that is potentially in the
15 future. So I think those are my questions. Thank you very
16 much, panel. It was a pleasure.

17 MR. YAUCH: Thank you.

18 MR. RUBENSTEIN: Can I ask one follow up?

19 MR. SIDLOFSKY: Go ahead, Mr. Rubenstein.

20 MR. RUBENSTEIN: Mr. Yauch, your last statement, or
21 one of your last statements about the future being
22 uncertain and we're in a unique -- or at least compared to
23 -- I think you would agree that at least compared to the
24 last number of years, we're entering into a very unique
25 time and a lot more uncertainty. I think that is fair to
26 say.

27 MR. YAUCH: Yes.

28 MR. RUBENSTEIN: I just want to understand. Is it in

1 your view then that the implications of that would, with
2 respect to changing the ETS rate, is that the OEB should be
3 more likely than not to maintain a more status quo ETS rate
4 because we don't know the implications of higher ETS rates
5 or lower ETS rates? Would you agree with that?

6 MR. YAUCH: We tried to isolate the impact of changing
7 it on a system.

8 Now, with the system changing, you're adding
9 uncertainty on top of uncertainty. So kind of how that
10 plays out is, I think, a risk both to the OEB and parties
11 in this proceeding.

12 We didn't look at it on a forecast basis. I know we
13 said this many times, but we do think that it is not clear
14 what the future is. So changing the ETS is going to add
15 to, you know, more uncertainty.

16 But our evidence show that a lower ETS allows for
17 greater exports, which has a system-wide benefit. And
18 increasing it can actually result in operational and
19 financial costs that can make Ontario ratepayers worse off.

20 MR. RUBENSTEIN: But future uncertainty makes both of
21 those things uncertain on either end, higher or lower.

22 MR. YAUCH: It kind of adds to the bucket of
23 uncertainty. I think Mr. Pietrewicz was asking, you know,
24 of all these sort of river analysis high and low, it is
25 going to add to it.

26 MR. RUBENSTEIN: Okay, thank you very much.

27 MR. SIDLOFSKY: Thanks, Mr. Rubenstein. I am not used
28 to saying this, but we are way ahead of schedule. And

1 we're actually coming up on the time that we were going to
2 be breaking for lunch.

3 So let's do that. It is 12:25. Let's come back at
4 1:15 and at that point, Mr. Myers, you will be introducing
5 the Elenchus panel. Correct?

6 MR. MYERS: That's correct.

7 MR. SIDLOFSKY: Okay. So good. We are adjourned
8 until 1:15. We will see you then. Thanks very much.

9 --- Luncheon recess taken at 12:24 p.m.

10 --- On resuming at 1:15 p.m.

11 MR. SIDLOFSKY: Good afternoon. We are back with our
12 last panel of the technical conference, the Elenchus panel.

13 Perhaps we can start with Mr. Myers introducing the
14 Elenchus panel, and then we will move on to Mr. Vellone for
15 APPrO.

16 MR. MYERS: Thanks very much. So our panel from
17 Elenchus is consisting of Andrew Blair. He is a research
18 analyst with Elenchus. Our original intention was to also
19 include John Todd. Unfortunately, John Todd is dealing
20 with a bout of COVID and is not feeling up to participating
21 today.

22 So it is just a bit of, I guess a heads-up that there
23 may be questions that Andrew is unable to respond to, and
24 he may have to take additional undertakings than we
25 otherwise may have had to do, but Andrew was one of the
26 authors that participated in the preparation of the report,
27 and so he is well-prepared to respond to your questions.

28 So with that, I turn it over to you, John. Thanks.

1 **ELENCHUS - PANEL 3**

2 **Andrew Blair**

3 **EXAMINATION BY MR. VELLONE:**

4 MR. VELLONE: Thanks, Mr. Myers. Understanding the
5 qualification, I hope Mr. Todd is doing well.

6 Allow me to introduce myself. My name is John
7 Vellone, and I'm counsel for the Association of Power
8 Producers of Ontario in this case, Mr. Blair.

9 And to get us started I was wondering if we could pull
10 up the response to VECC IR number 33, which I think is
11 included at Exhibit I, tab 5, schedule 33. And there is
12 quite a preamble in this question before they get to the
13 question, but the preamble, I think, is just an -- it's an
14 extract of the Elenchus study, the evidence you provided,
15 providing a description of how the export rates are set in
16 the Alberta market. Do you agree with that?

17 MR. BLAIR: Yes.

18 MR. VELLONE: Yes. And just to focus in briefly in
19 the preamble, you note in your evidence that the AESO
20 applies a 20 percent weighting to capacity-related bulk and
21 network system costs for the purposes of designing its
22 export rate, and then I think the second paragraph just
23 provides a quotation as to the rationale for that
24 weighting. Is that right?

25 MR. BLAIR: That's right.

26 MR. VELLONE: And my reading of your response really
27 to part 33(2), the response, and really that last paragraph
28 in there at lines 23 to 26, is that Elenchus is not

1 proposing a similar methodology to what was done in
2 Alberta, and you go on to explain why. You are designing
3 an export-specific tariff, and that is not what they did
4 there. Is that right?

5 MR. BLAIR: We use cost-allocation methodology, and
6 the exact rate isn't necessarily underpinned by cost-
7 allocation methodology.

8 MR. VELLONE: In Alberta, you mean?

9 MR. BLAIR: In Alberta, yes.

10 MR. VELLONE: Okay. My understanding of the
11 methodology that you did use, you explored a few different
12 scenarios to allocate shared network cost to exporters, I
13 think 50 percent and 80 percent. Have I got that right?

14 MR. BLAIR: That's right.

15 MR. VELLONE: Is it possible to run a scenario where
16 you also explore the impact on the ETS rate of allocating
17 20 percent of shared network costs to exporters?

18 MR. BLAIR: Yes. That's possible.

19 MR. VELLONE: Could I get an undertaking to do that?

20 MR. BLAIR: Yes.

21 MR. SIDLOFSKY: We will make that JT2.3.

22 **UNDERTAKING NO. JT2.3: ELENCHUS TO RUN A SCENARIO TO**
23 **EXPLORE THE IMPACT ON THE ETS RATE OF ALLOCATING 20**
24 **PERCENT OF SHARED NETWORK COSTS TO EXPORTERS.**

25 MR. VELLONE: Thank you very much. My next question -
26 - I think we might as well go to the response to APPrO
27 interrogatory 1A. It is tab 9, schedule 1.

28 And in the response to this interrogatory also later,

1 I think, in part L, Elenchus says you did not review things
2 like ICP or uplifts or avoided system costs and other
3 benefits as a revenue offset for providing transmission
4 assets used for export service. Did I get that right?
5 Those are -- I was asking you to include these other
6 benefits as a potential revenue offset. And your answer,
7 if I am reading it correctly, is it is not a revenue
8 offset, so we didn't include it?

9 MR. BLAIR: That's right. It is not a revenue offset
10 to Hydro One's revenue requirement, or any other
11 transmitter.

12 MR. VELLONE: So I'm going to attempt to follow up,
13 and I think we hit the same issue again in APPrO 2. We
14 don't have to go there, but basically it is the same
15 exchange. I am going to follow up on this request, and I
16 am going to start with an apology, which is that the
17 interrogatory questions -- in the interrogatory were
18 questions. I proposed a specific type of solution. I
19 proposed using revenue offsets as some way to link these
20 other benefits back to the cost-allocation methodology.

21 That trying to skip to the solution is probably --
22 that's my fault. I probably shouldn't have done that.

23 So let me try something a little bit broader and see
24 what you think.

25 The OEB panel in this proceeding, the commissioners,
26 are going to be considering not only the Elenchus cost
27 allocation study but also the IESO evidence that was filed,
28 the Power Advisory evidence that was filed, and in your

1 view, in your expert opinion, do you think the
2 commissioners should be considering these other system
3 benefits associated with exports, such as those outlined in
4 the IESO evidence or the Power Advisory evidence in
5 addition to the cost-allocation methodology and, if so,
6 like, how should they right the square, I guess is my -- 1)
7 is, should they be considering it, and 2), do you have any
8 ideas on how they can do it?

9 MR. BLAIR: Yes, they should consider those other
10 factors, those other policy decisions for setting the ETS
11 rate. But in terms of the cost-allocation methodology, I
12 don't think it is appropriate to include these other
13 factors that aren't exactly related to the Hydro One
14 transmission revenue requirement or other transmitter
15 revenue requirements within the cost-allocation model.

16 So the consideration of those is sort of outside of
17 the realm of cost allocation.

18 MR. VELLONE: I guess -- I understand your response,
19 because I think the issue is Hydro One doesn't collect any
20 of those revenues for the purposes of the cost-allocation
21 study you are doing, right?

22 MR. BLAIR: Right.

23 MR. VELLONE: Would your response potentially change
24 if the IESO chose a different methodology to -- and I am
25 going to narrow my scope. This is asking about a lot of
26 benefits. I am going to narrow the scope of my questions
27 just down to inter-tie congestion pricing specifically for
28 the purposes of our follow-up.

1 And I guess, would your response change if the IESO,
2 instead of deciding to rebate the TR clearing account out
3 to all customers, instead elected to take the congestion
4 portion of that account and pay it to Hydro One, in the
5 same way that it remits to Hydro One the ETS revenues it
6 collects?

7 MR. BLAIR: Yes. If it was part of the revenue
8 requirement, part of other revenues, for the purpose of
9 setting the rates revenue requirement, then we would
10 include it in the model.

11 MR. VELLONE: Okay. And so I guess what I am trying
12 to do is, I am trying to get to, is there a creative way
13 where from a cost-allocation approach we can get ICP
14 considered? And it sounds to me like if the IESO changed
15 how they disbursed the monies they collect from those
16 congestion pricing, then you would by necessity have to
17 take it into account in your cost-allocation study, right?

18 MR. BLAIR: That's right.

19 MR. MYERS: May I ask one clarifying question on that,
20 please?

21 MR. VELLONE: Yes, go ahead.

22 MR. MYERS: It is Jonathan Myers from Torys. I think
23 you have been asking about the receipt of those amounts as
24 an external revenue source for Hydro One. I am wondering
25 if Mr. Blair could comment on whether that's, you know, the
26 full story.

27 Even if those amounts are not derived on the
28 underlying costs of assets within Hydro One, do they still

1 flow in the cost allocation model if they're just received
2 on the revenue side, but they're not part of the build up
3 of the revenue requirement?

4 MR. BLAIR: If they were another revenue for Hydro One
5 transmission, then for the purpose of setting allocated
6 costs that consider other allocated revenues as well, to
7 have a total full cost allocation model, it would be
8 included as another line item.

9 We would probably consider it separately from other
10 external revenues and consider it on its own basis as a
11 line item.

12 MR. MYERS: Thanks for that clarification.

13 UNKNOWN SPEAKER: I see you are muted.

14 MR. VELLONE: Zoom also told me the same thing. If I
15 could turn up the response to -- I will end up at a request
16 for an undertaking and you can take it or not. Actually,
17 why don't we try that now.

18 Would you be able to undertake to model on a
19 hypothetical basis what the impact of including congestion
20 rents on the cost allocation study you performed would be?
21 And for the purposes of pulling the data, I would probably
22 point you to attachment 1 to Hydro One's response to
23 Staff 1, which is where IESO provided a whole bunch of
24 data, and I will allow you to parse it and figure out what
25 is the appropriate inputs to use.

26 But I am trying to get as close to apples to apples as
27 I can with regards to amount paid by exporters there and
28 amounts paid to exporters via ETS rate.

1 Would you be able to undertake to do that on that
2 assumption basis? I just want to see what happens.

3 MR. MYERS: If I can jump in for a second, recognizing
4 you are taking up a very short turnaround on this
5 proceeding, I think they're due on Thursday of next week.

6 So I will leave it to Mr. Blair to respond, but there
7 is not a lot of time and this seems like it may be an
8 onerous request.

9 So it may be something we need to take back and if it
10 is able to be done, then we can do it. If we're not able
11 to do it, then we would have to explain why.

12 MR. BLAIR: My hesitation is it would be simple to
13 plug in the total number. But to determine how those other
14 revenues should be allocated amongst domestic and export
15 rate classes would take some thought. It is not just
16 recreating a model is, it also determining the methodology
17 for that. And I'm not sure we can undertake to develop a
18 methodology in the time frame.

19 MR. VELLONE: I will volunteer one. One of the tables
20 that the IESO provides in that attachment I pointed you to
21 shows the allocation as between imports and exports. It
22 gives you historical data.

23 MR. BLAIR: Okay. So specifically assuming that it is
24 the same allocation that the IESO has been allocating?

25 MR. VELLONE: It is kind of almost based on historical
26 numbers, yes. The IESO gives you historical allocations
27 over X number of years. I think you can make assumptions.
28 Feel free to make simplifying assumptions if it speeds

1 things up. I am not asking for perfection, I am looking
2 for a sense of what the impacts are.

3 MR. BLAIR: We can undertake to do that, recognizing
4 that we are following the IESO's methodology for allocating
5 costs rather than our own proposal.

6 MR. SIDLOFSKY: I will give that undertaking number
7 JT2.4.

8 **UNDERTAKING NO. JT2.4: ELENCHUS TO MODEL THE IMPACTS**
9 **ON ITS COST ALLOCATION STUDY FILED IN THIS PROCEEDING**
10 **OF CHANGE THAT WOULD RESULT IN CONGESTION RENTS BEING**
11 **REIMBURSED FROM THE IESO DIRECTLY TO HYDRO ONE, IN THE**
12 **SAME WAY THAT THE ETS RATES ARE COLLECTED BY THE IESO**
13 **AND REMITTED TO HYDRO ONE; TO MODEL THE IMPACT OF THAT**
14 **ON THE STUDY.**

15 MR. SIDLOFSKY: But I would ask that you give a
16 concise statement of that undertaking, just for the record.

17 MR. VELLONE: I will volunteer to do that. The
18 undertaking would be to model the impacts on your Elenchus
19 cost allocation study filed in this proceeding of change
20 that would result in congestion rents being reimbursed from
21 the IESO directly to Hydro One, in the same way that the
22 ETS rates are collected by the IESO and remitted to Hydro
23 One, to model the impact of that on your study.

24 MR. SIDLOFSKY: Mr. Blair, does that accurately
25 describe what you are prepared to do?

26 MR. BLAIR: Yes.

27 MR. SIDLOFSKY: Okay. Thank you.

28 MR. RUBENSTEIN: I don't mean to interrupt. Mr.

1 Vellone, you referenced a table in the IESO's evidence and
2 I just didn't catch the table you referenced.

3 MR. BLAIR: It's tables in attachments.

4 MR. RUBENSTEIN: Which table was it? As I understood
5 it, you had asked the assumption against the allocation
6 between domestic and exports that you essentially -- I
7 understood you were pointing to a table and said use this.
8 I was unclear, I didn't catch what exactly you wanted him
9 to do so I can follow along here.

10 MR. VELLONE: You didn't catch it because I didn't say
11 it. And now I am skimming through the tables to find the
12 right one.

13 MR. BLAIR: The total congestion rents to include that
14 as another revenue and based on historic disbursements,
15 that is how it would be allocated in the model.

16 MR. VELLONE: Yes. Table 11 has import congestion
17 rents by year for 2017-2021. And then elsewhere in here
18 you have total congestion rents per year. So I think if
19 you do a simple subtraction.

20 MR. BLAIR: Yes. I believe the numbers are in here,
21 and if simple assumptions are necessary, we will make them
22 and describe them in the response.

23 MR. VELLONE: Is that clear enough for you, Mr.
24 Rubenstein?

25 MR. RUBENSTEIN: Only just -- I am not clear what you
26 are asking. What is the split based on? Just because I
27 may have a follow up, and I want to make sure that I -- or
28 I may not have a follow up.

1 MR. VELLONE: To be honest, I am putting myself a bit
2 in Mr. Blair's analytic capabilities and allowing him to
3 make some judgments on how to do it properly instead of
4 trying to be prescriptive. Should I move on?

5 Hearing nothing. Pull up the response to Staff 34.
6 Tab 1, schedule 34. Maybe just go down to the responses
7 there. Have you had an opportunity -- I assume as part of
8 your preparation, you have taken a chance to read through
9 the evidence including responses from the IESO to these
10 questions?

11 MR. BLAIR: Yes. I have read through them.

12 MR. VELLONE: I will give you a second -- most of my
13 follow up questions are going to relate to part B of the
14 response. I will give you a moment to read through it.
15 Let me know when you are ready.

16 MR. BLAIR: Okay. Ready.

17 MR. VELLONE: Would you agree with the IESO, with the
18 statement they're making in the first sentence there that
19 both the ETS rate and ICP are intended to offset inter-tie
20 infrastructure costs for Ontario consumers -- generally
21 agree with that?

22 MR. BLAIR: Generally agree with that, yes.

23 MR. VELLONE: Okay. And then the next one is harder
24 to pinpoint, but it is in the middle of the paragraph
25 somewhere.

26 Would you agree with the IESO's description that the
27 ICP is really a market mechanism that prices transmission
28 capacity at the inter-tie?

1 MR. BLAIR: Yes, I would agree with that.

2 MR. VELLONE: So I am involved in this proceeding
3 largely on behalf of exporters, and the concern I really
4 land on is the ultimate effect of this, from my
5 perspective, is that exporters are paying twice for the
6 same thing: the use of the transmission system in Ontario.
7 They're paying once via the ETS rate, whatever that happens
8 to be and however it is set, and again via the ICP market
9 mechanism.

10 Would you agree that that is a fair characterization
11 of the odd situation we found ourselves in here?

12 MR. BLAIR: No, I would say that the inter-tie
13 congestion pricing is paid for capacity on inter-ties,
14 whereas the ETS is for use of the shared transmission
15 system for the province.

16 MR. VELLONE: Including inter-ties. Right? You do
17 allocate costs associated with inter-ties?

18 MR. BLAIR: Right, yes.

19 MR. VELLONE: And then we pay -- then exporters pay
20 again for the use of those inter-ties through the ICP. Is
21 that correct?

22 MR. BLAIR: The revenues from the ICP don't
23 necessarily offset the inter-tie costs exactly.

24 MR. VELLONE: For sure. We've been there. I think
25 this statement from the IESO is intended to offset, and I
26 think I had to make you make an assumption to get you to
27 put it into the cost allocation model, so I am not trying
28 to suggest that it is currently doing that. But from an

1 intention point of view, right, these two things are
2 intended to fund the same infrastructure, and exporters are
3 basically paying twice for the use of the inter-ties, once
4 via your cost-allocation model, 12CP allocator, second time
5 via this market mechanism.

6 MR. BLAIR: Yes, they are paying twice, and it is done
7 with the same infrastructure, but the capacity of the
8 infrastructure at the inter-ties -- it is sort of a
9 separate thing they're paying for there, rather than just
10 use of the system to get them there.

11 MR. VELLONE: That's a fair qualification.

12 Are you aware of any other users of Ontario's
13 transmission system that are treated in a similar manner,
14 they're being asked to pay twice for the use of the assets?

15 MR. MYERS: Sorry, if I can just interrupt for a
16 second. I don't think Mr. Blair agreed that exporters are
17 paying twice for the use of the assets, which you implied
18 in your question.

19 MR. VELLONE: Okay. So let me go back and clarify,
20 because I thought I did hear him say yes.

21 MR. MYERS: It was a yes with a qualification, not an
22 unqualified yes.

23 MR. VELLONE: Are you aware of any other users of the
24 Ontario transmission system that are being asked to pay
25 twice, acknowledging the qualification you just gave me on
26 your answer previously?

27 MR. BLAIR: I am not too familiar with the import
28 market, but if there are imports that are -- inter-tie

1 congestion pricing on imports, and also there would be the
2 network, then customers are paying twice for that.

3 MR. VELLONE: Yeah. Those are load customers. Okay,
4 yes, that's fair. Any others?

5 MR. BLAIR: No, I think that is in terms of
6 transmission. But paying for capacity and paying for use
7 of the -- use of the system is not uncommon more generally.

8 MR. VELLONE: I may be able to shorten my questions.
9 Just give me a second. I'm just going to work through
10 here.

11 I guess, pull up the response to Energy Probe 6B.
12 Tab 2, schedule 6. So in the undertaking I asked you to
13 consider, I focused specifically on making an assumption
14 that Hydro One receives congestion rents as another revenue
15 potential input.

16 MR. BLAIR: Right.

17 MR. VELLONE: And I think, for the sake of fleshing
18 out the entirety of the evidentiary record, I would like to
19 ask you to do the same thing, but this time with the entire
20 balance of the TR clearing account.

21 And the reason I am asking that is because my
22 understanding at least in New York is that they do take
23 into account the financial exchange with TRs, as well as
24 congestion, when setting an export tariff in that
25 jurisdiction. So I think it would be informative to see
26 what happens if you do the whole thing, as well as just the
27 congestion rent component.

28 Would you be willing to do that, on the same -- exact

1 same understanding as we had originally, which is best
2 efforts, acknowledging the limited time frames we have, if
3 there is needs to make assumptions you can point back to
4 the IESO data?

5 I do think this response points to table 5, which
6 shows an explicit split between TRCA disbursement between
7 load and exports, so you can point to that. But would you
8 be willing to make a similar undertaking with that broader
9 request?

10 MR. BLAIR: Yes, we would.

11 MR. HARPER: Excuse me --

12 MR. MYERS: Can I just get a clarification on that,
13 please. Sorry, Bill. Maybe I might be dealing with the
14 same thing, but you can jump in after.

15 When you say "the entire thing", are you excluding the
16 portion of the TRCA that goes to exporters, and are you
17 excluding the threshold amount that I believe is retained
18 within that account?

19 MR. VELLONE: I would be in Mr. Blair's hands as to
20 how to properly account.

21 I am not going to be prescriptive, Mr. Myers. I don't
22 want to tell him how to do his -- I am asking him to do the
23 best he can in the limited time he has available, and those
24 things you said seem reasonable to me, to be honest, if
25 that is how he came back, but I am not trying to be
26 prescriptive on how he does it. I would like the expert to
27 make his own decisions on that stuff.

28 MR. BLAIR: It says the amounts disbursed from the

1 clearing accounts.

2 MR. VELLONE: Yes.

3 MR. BLAIR: Recognizing there is that amount withheld.

4 MR. VELLONE: Yes.

5 MR. SIDLOFSKY: And sorry to interrupt, but could I
6 just get a concise statement of that undertaking, please?

7 MR. MYERS: Maybe before that, Bill, did you have any
8 further clarification?

9 MR. HARPER: I wanted to ask, because my understanding
10 was the second undertaking the distinction was to include
11 in that all the monies that were cleared out of the
12 account, including those that were paid to transmission
13 rights-holders. Am I correct, Mr. Vellone?

14 MR. VELLONE: Yes. The first undertaking was in
15 respect of congestion rents only.

16 MR. HARPER: Right.

17 MR. VELLONE: The second one is in respect of this
18 specific account.

19 MR. HARPER: Right. And then I guess the point I was
20 going to raise, which I think adds a complication to it,
21 which I am not too sure if Mr. Blair can address on the
22 basis of the information on the record, is that we heard
23 from the IESO that a portion of those rights are cleared
24 not to exporters but to financial -- basically, people are
25 doing this for a financial transaction and therefore would
26 not be included either as domestic customers or export
27 customers within the context. You are almost introducing a
28 third class of customers here.

1 I'm just -- I don't know what information we have on
2 the record on that, whether that's -- I just want to flag
3 that going forward, if you want to actually go forward and
4 think about this second undertaking. That was all.

5 MR. VELLONE: Thank you, Bill. Yes, I have similar
6 reluctance to mesh transmission rates with exporters,
7 because they're not -- it is not a one-to-one concept as
8 clearly as the congestion rents, and you can look at the
9 portion paid by import importers and exporters.

10 But I am conscious that they do do that in New York,
11 and so I think it would be informative for the panel to see
12 how it shakes out here as well. That is really the reason
13 I am asking.

14 With that can I attempt the summary, Mr. Sidlofsky?

15 MR. SIDLOFSKY: I am not sure. Mr. Rubenstein has
16 popped up here.

17 MR. RUBENSTEIN: Better you summarize what you think
18 it is first.

19 MR. VELLONE: Certainly. It is to model the impacts
20 on the Elenchus cost allocation study of an assumed change
21 that would have the balances of the transmission rights
22 clearing account remitted directly to Hydro One, as opposed
23 to just disbursed to the benefit of ratepayers the way it
24 currently is.

25 MR. SIDLOFSKY: Mr. Rubenstein?

26 MR. RUBENSTEIN: I am not going to muddy anything up
27 further.

28 MR. MYERS: Maybe just one small further

1 clarification. When you say disbursed to Hydro One, you
2 mean to Hydro One Transmission?

3 MR. VELLONE: Yes.

4 MR. MYERS: Like ETS rates, and not Hydro One
5 Distribution?

6 MR. VELLONE: Correct. That is correct, Mr. Myers.

7 MR. SIDLOFSKY: Okay. Not seeing anyone coming in
8 with questions. Mr. Vellone, did you want to continue?

9 MR. VELLONE: Have we got that one marked.

10 MR. SIDLOFSKY: That was JT2.5.

11 MR. VELLONE: Thanks.

12 **UNDERTAKING NO. JT2.5: ELENCHUS TO MODEL THE IMPACTS**
13 **ON THE ELENCHUS COST ALLOCATION STUDY OF AN ASSUMED**
14 **CHANGE THAT WOULD HAVE THE BALANCES OF THE**
15 **TRANSMISSION RIGHTS CLEARING ACCOUNT REMITTED DIRECTLY**
16 **TO HYDRO ONE TRANSMISSION, AS OPPOSED TO JUST**
17 **DISBURSED TO THE BENEFIT OF RATEPAYERS THE WAY IT**
18 **CURRENTLY IS.**

19 MR. VELLONE: I would like to continue with the
20 response to APPrO 2A. So in this question, I had asked
21 about Elenchus's professional opinion as to whether or not
22 a recommended methodology to allocate costs would include
23 no shared assets to exporters.

24 And in the preamble, I actually pointed back to your
25 previous cost allocation study filed in EB-2015-0304.

26 And I didn't think -- I didn't think I was doing
27 anything controversial to suggest that Elenchus previously
28 recommended, as part of your overall cost-allocation

1 methodology, that no shared asset network costs would be
2 allocated to exporters.

3 I didn't think that was controversial. But I don't
4 see that in your response.

5 MR. BLAIR: That's a fair characterization of that
6 report.

7 MR. VELLONE: You actually cover it pretty clearly in
8 section 6.3.2 of your current report. You basically say
9 our previous report recommended that OM&A costs associated
10 with shared network assets would be allocated, but that the
11 net fixed asset -- but the net fixed asset allocator, but
12 depreciation and return on capital and PILs would not. Is
13 that right?

14 MR. BLAIR: That's right.

15 MR. VELLONE: And I have some stuff in the compendium,
16 but maybe we don't even need to go there. Do you recall
17 what the basis of that recommendation was previously? Why
18 did Elenchus land on, from a strictly cost allocation point
19 of view, why should we not allocate these costs to
20 exporters.

21 MR. BLAIR: It is because the export class was treated
22 as an interruptible class. So the general concept is the
23 system was not built for interruptible customers. So they
24 shouldn't pay the capacity-related costs of the system.

25 MR. VELLONE: So two things. One is the system is not
26 built for them. And two is they also just don't receive
27 the same level of service, they're interruptible? Did I
28 get that right?

1 MR. BLAIR: That's right. Yes. They don't receive
2 the same service, which is why they're allocated that
3 portion of costs.

4 MR. VELLONE: And so my reading of the new Elenchus
5 study is you received -- you reviewed the previous -- your
6 client reviewed the previous OEB decision. The OEB
7 decision said we want to explore allocating shared network
8 asset costs to exporters. Please redo it, and come up with
9 some options. So you basically re-did it and looked at a
10 couple of options on how to do it, is that right?

11 MR. BLAIR: Yes, that's right.

12 MR. VELLONE: If that decision wasn't out there, your
13 original recommendations would stand, that the best way to
14 do this for the reasons you previously stated is, no shared
15 asset network costs would be allocated to exporters except
16 for the O&M costs?

17 MR. BLAIR: No. We would agree that a portion of
18 shared network asset related costs should be allocated to
19 the export class and the two -- the export class is defined
20 is curtailable rather than interruptible, and looking for
21 some information of exactly what the difference is. It is
22 the curtailed and not curtailed in most hours, and even
23 when they're curtailed, it is about -- in peak hours when
24 they're curtailed it is only about 10 percent.

25 There are a couple of quotes in the report we got from
26 the IESO to get a sense of the proportion of curtailments
27 and they're largely not interrupted and do have fairly good
28 access and increasing access to the shared system.

1 MR. VELLONE: Okay. On the second reason why you
2 originally decided not to allocate on the planning -- it is
3 not planned for them, the fixed costs aren't planned for
4 them.

5 MR. BLAIR: It is not planned by them, but we also
6 look at who is using the system, so the value derived from
7 the system. And this is a concept that is used in other
8 jurisdictions as well. Like in the Quebec report, no free
9 service is a principle of cost allocation in Quebec and the
10 FERC transmission cost allocation guidelines, the first one
11 is that the benefit should be -- the costs should be
12 roughly commensurate with benefits.

13 And sort of a signal from the OEB decision to look at
14 the value also in addition to cost basis, and that is why
15 we agree it makes sense to allocate asset related costs to
16 the export class.

17 MR. VELLONE: So your opinion has evolved since that
18 2014 study. Is that a fair characterization?

19 MR. BLAIR: Yes. Our opinion has evolved and our view
20 of the export class is part of that changing view.

21 MR. VELLONE: And I touched on this at the start, but
22 I will come back to it again, I guess. In your view,
23 should the OEB be considering the broader benefits
24 associated with exporters, exports outlined in the IESO
25 evidence and the Power Advisory evidence, we don't have to
26 repeat it, when making a decision as to how much or whether
27 to allocate shared network asset costs.

28 Do you think that is a fair consideration for the

1 regulator?

2 MR. BLAIR: That is a fair consideration, definitely.
3 We looked at one stream of it, which is allocated costs.
4 But we understand there are other policy objectives and
5 other considerations for the Board to look at.

6 MR. VELLONE: Okay. Mr. Sidlofsky, I have completed
7 my questioning.

8 MR. SIDLOFSKY: Mr. Vellone, thanks very much.

9 MR. VELLONE: Thanks very much, Mr. Blair.

10 MR. BLAIR: Thank you.

11 MR. SIDLOFSKY: We are on to Mr. Rubenstein, Schools.

12 **EXAMINATION BY MR. RUBENSTEIN:**

13 MR. RUBENSTEIN: Thank you, Mr. Sidlofsky. Let me
14 start off sort of with some of the questions and exchanges
15 you just had with Mr. Vellone.

16 When Mr. Vellone was asking you about the ICP revenue
17 was remitted to Hydro One Transmission and how would it be
18 incorporated in your cost allocation model. I know there
19 was a discussion about the methodology, but at a high level
20 I took it -- you had other revenue and you would flow it
21 into your model in some way. Is that a fair
22 characterization?

23 MR. BLAIR: Yes. We would flow it in some way, that
24 way we don't exactly know what we would propose for that.

25 MR. RUBENSTEIN: You agree with me if the IESO
26 allocated costs, some set of costs to -- you know, and sent
27 a bill to Hydro One transmission to pay some sort of costs,
28 you would have included that as well in your cost

1 allocation model. Similarly, you wouldn't know exactly
2 how, but you would have to include that as well and that
3 would tend to obviously increase costs that would be
4 allocated to various customers, correct?

5 MR. BLAIR: That's right. In a full cost allocation
6 model, we would want the costs allocated to match the
7 revenue requirement exactly.

8 MR. RUBENSTEIN: All right. Mr. Vellone also asked
9 you -- he took you to, I believe it was Staff 34b, which
10 was actually asked to the IESO, but the IESO responded, and
11 this was with respect to the purposes of ICP and ETS.

12 And I believe you agreed with him -- or you agreed
13 with the IESO's response to the first sentence that both
14 mechanisms are intended to offset inter-tie infrastructure
15 costs to Ontario customers? Did I hear that correctly?

16 MR. BLAIR: You did hear that correctly, although,
17 looking at it now, again, offset specifically inter-tie
18 infrastructure costs, I don't agree with that.

19 MR. RUBENSTEIN: You don't agree with that?

20 MR. BLAIR: I missed the word "inter-tie
21 infrastructure costs" there. For sure the ETS rate -- the
22 costs that they're [audio dropout] the ETS rate aren't
23 necessarily just the inter-tie costs.

24 MR. RUBENSTEIN: Okay, that's fair. But -- so the
25 qualification is ETS rate is a broader aspect of
26 infrastructure costs, correct?

27 MR. BLAIR: Right.

28 MR. RUBENSTEIN: But do you agree then that ICP

1 revenue is intended to offset inter-tie infrastructure
2 costs to Ontario customers? Do you agree with the IESO's
3 position that that is the intention?

4 MR. BLAIR: If the IESO says that's the intention. I
5 am not sure what the initial intention is. I can't really
6 speak to the initial intention.

7 MR. RUBENSTEIN: Yes, well, that is what I wanted to
8 clarify.

9 So I guess, using your independent view, do you
10 believe the intention or do you know that the intention of
11 ICP is to offset inter-tie infrastructure costs to Ontario
12 customers?

13 MR. BLAIR: No.

14 MR. RUBENSTEIN: Okay. Am I correct, sort of a -- you
15 would agree with me at a general level in Ontario cost-
16 allocation purposes the OEB uses fully allocated costing?

17 MR. BLAIR: Yes.

18 MR. RUBENSTEIN: You know, there are takes, but how
19 you allocate those costs and what is, you know, the
20 specifics of what that mean, but you would agree with me at
21 a high level that is fully allocated costing, correct?

22 MR. BLAIR: Yes.

23 MR. RUBENSTEIN: And many of the scenarios in your
24 report are trying to get at that, how would you fully
25 allocate infrastructure costs through transmission and
26 domestic customers, correct?

27 MR. BLAIR: That's right. Export and domestic
28 customers.

1 MR. RUBENSTEIN: Now, you were asked by Mr. Vellone
2 with respect to the differences between your 2014 report,
3 and one of the things that he raised, and I think you
4 answered, was the idea about, that the system was not built
5 for exporters. Do you remember your discussion with him
6 about that?

7 MR. BLAIR: Yes.

8 MR. RUBENSTEIN: And I think you explained why in your
9 view you should still allocate network costs, but I just
10 want to discuss the issue of -- I just want to put that
11 aside for a minute and ask you about your views about the
12 system being built.

13 You would agree with me that the -- that different
14 customers, an individual customer who connects to a
15 distribution or transmission system in Ontario, even though
16 the infrastructure was not built for them, is still
17 allocated costs, because they use that system. Correct?

18 MR. BLAIR: That's right.

19 MR. RUBENSTEIN: Okay. Now, there was also some
20 discussion with Mr. Vellone about the question about double
21 payment, that exporters are double-paying for inter-tie
22 infrastructure costs. Do you recall that?

23 MR. BLAIR: Yes.

24 MR. RUBENSTEIN: Now, you just agreed with me that you
25 don't know the intention of inter-tie congestion pricing.
26 So is it fair to say you don't know if there is double
27 payment for inter-tie infrastructure costs? That exporters
28 are paying twice for those costs?

1 MR. BLAIR: Yes. The specific phrasing of the costs
2 for the -- to recover inter-tie -- inter-tie -- the costs
3 of inter-ties in general.

4 MR. RUBENSTEIN: Let's just assume he is correct and
5 that there is a double payment going on here for the
6 purposes of the specific inter-tie costs.

7 Am I correct that the solution using your cost-
8 allocation model would be to take out the specific inter-
9 tie costs but keep the -- some amount of shared network
10 costs, the common costs, essentially, all of the other
11 costs? Conceptually.

12 MR. BLAIR: I don't think conceptually that is how we
13 would do it. We could keep in the inter-tie costs.

14 MR. RUBENSTEIN: You would keep in the inter-tie
15 costs?

16 MR. BLAIR: Yes. We would continue allocating -- I
17 think we would continue allocating inter-tie costs the way
18 it is described in the report, and the inter-tie congestion
19 price would be allocated in some other way.

20 MR. RUBENSTEIN: But you could, I guess, also do the
21 other way, right, correct? Remove those costs.

22 MR. BLAIR: You could start by directly allocating the
23 costs of inter-ties -- a portion of the inter-tie
24 congestion revenue, directly allocate whatever costs it is
25 for inter-ties, directly allocate that as an offset so that
26 what we are left with is allocated only to other assets.

27 MR. RUBENSTEIN: I would have looked at it that you
28 would remove those costs because you would say, well, that

1 is being dealt with -- inter-tie costs are being dealt with
2 through ICP. Different mechanism. It is a market
3 mechanism. So it is fully allocated costing, a little bit
4 different. And then you would keep all the other costs
5 which you would need to do using more traditional fully
6 allocated costing.

7 Would that be an incorrect approach --

8 MR. BLAIR: But assuming --

9 MR. RUBENSTEIN: -- approach?

10 MR. BLAIR: -- assuming that all remains within Hydro
11 One's revenue requirements, particularly the costs of
12 inter-ties, we'd want to keep all the costs and revenues in
13 the model. There would be a direct allocation, so
14 functionally it would be almost the same as removing those
15 costs, but it would be still within the model and still
16 looking at the total rate-setting process.

17 MR. RUBENSTEIN: Okay. That is fair enough. That is
18 fair enough.

19 Can I ask you to go now to SEC 12, please. Can I ask
20 this question of Hydro One? But you are also -- Elenchus
21 is also a common -- a common -- it's a joint response, so I
22 would just like your opinion about this as well.

23 And so we asked about potential annual adjustments to
24 the proposal in line between -- in 2024 to 2027 on a
25 somewhat similar basis, that -- or -- well, much like Hydro
26 One is proposing to do in its joint rate application,
27 recognizing that there is an increase in the transmission
28 costs.

1 And the joint response essentially says for the
2 purposes of simplicity and stability Hydro One and Elenchus
3 do not propose annual mechanistic adjustments to the ETS
4 rates, and then it sort of provides some more explanation.

5 Do you see that?

6 MR. BLAIR: Yes.

7 MR. RUBENSTEIN: And you are aware at a general level
8 of the joint rate application proposal?

9 MR. BLAIR: Yes.

10 MR. RUBENSTEIN: And you would agree with me that the
11 revenue requirement for Hydro One transmission is -- their
12 proposal is it will increase each year, 2023, and increase
13 in 2024, and increase all the way to 2027. Correct?

14 MR. BLAIR: Yes.

15 MR. RUBENSTEIN: And so you would agree with me that
16 if you -- and my understanding is that your model you are
17 only using 2023 costs, correct?

18 MR. BLAIR: Correct.

19 MR. RUBENSTEIN: And so you would agree with me THAT
20 if you maintain 2023 costs and the export rate remains the
21 same, you don't take into account increases over those
22 years, there is some level of cross-subsidization between
23 exporters -- between domestic customers to exporters.
24 Correct?

25 MR. BLAIR: There would be some degree. It would
26 be -- this was from yesterday. It would be very small
27 dollar amounts that would be cross-subsidized there, and
28 just the stability of rates and simplicity, it was decided

1 that that would be a larger consideration than that cross-
2 subsidization issue.

3 MR. RUBENSTEIN: Okay. But you would agree with me
4 that there would be some cross-subsidization.

5 MR. BLAIR: Yes.

6 MR. RUBENSTEIN: I take it from your response is, is
7 it enough to do something about it?

8 MR. BLAIR: Right. Right, I think.

9 MR. RUBENSTEIN: Okay. Can I ask you to go to
10 SEC 10B. So in part B we had asked you to update the
11 report for two different things, and the second one being
12 Hydro One's cost information as a result of the evidence
13 update to be filed on March 31st, 2022 in EB-2021-0110.

14 And so for context, the -- at the time we filed the
15 IRs we didn't know what the proposal would be for Hydro
16 One.

17 And so in the response you said you don't need to
18 update it because they're deferring the proposal in the
19 joint rate application is the increases that arise out of
20 that update are to be placed under their proposal based in
21 a deferral account to be cleared at some future time.

22 Is that your understanding as well?

23 MR. BLAIR: Yes.

24 MR. RUBENSTEIN: And that -- and as I understand the
25 way you -- you would agree with me that there would be an
26 allocation -- if you -- one of your mechanisms or your
27 methodology, if it is approved, that balance itself would
28 be allocated in a future date, some of it to exporters,

1 correct?

2 MR. BLAIR: Correct.

3 MR. RUBENSTEIN: Just so I am correct in
4 understanding, your report proposes a set of methodologies.
5 But I would presume that if all of the joint rate
6 applications the Board does not approve the deferral
7 mechanism or approves a different revenue requirement, you
8 believe the correct approach would be to -- whichever
9 methodology the Board may choose or may not choose in this
10 proceeding -- would be to sort of flow through whatever
11 those numbers are in that joint rate application, in that
12 decision, correct?

13 MR. BLAIR: Yes.

14 MR. RUBENSTEIN: Could I ask you now to turn to Power
15 Advisory's report. Can we go to page -- I don't know what
16 page it is here. Could we go to page 13 of that report --
17 bear with me for a minute, I think I have the wrong page
18 number.

19 Go to page 16 of that report. Now, as you may have
20 seen in the report, Power Advisory provides some criticisms
21 or critiques of your report. I just want to talk some of
22 those through with you and ask for your response.

23 So the first is, if you will see beside paragraph 47,
24 Power Advisory says:

25 "First, the proposed approach does not align with
26 cost causation principles. As Elenchus correctly
27 notes in its evidence, Hydro One does not take
28 exports into account when designing the

1 transmission system and the IESO does not factor
2 exports into the reliability planning
3 assessments. Simplistically, the investments by
4 the IESO and Hydro One do not consider the unique
5 needs, capabilities or requirements of exports.
6 Using a cost allocation methodology without cost
7 causality principles is wrong and should be
8 dismissed."

9 I take it your view is you are using cost causalities
10 principles in your proposed methodologies, correct?

11 MR. BLAIR: Yes, that's correct.

12 MR. RUBENSTEIN: I think -- we don't need to belabour
13 the point, but much of the commentary you made with respect
14 to Mr. Vellone would apply to this, correct, about you
15 know, they're benefiting from the system so they should be
16 allocated costs, correct?

17 MR. BLAIR: Correct.

18 MR. RUBENSTEIN: And then at paragraph 48, it says:
19 "Second, and related to the first is the concept of shared
20 network assets that assumes each user is afforded the same
21 considerations. The assets are not shared and have been
22 designed, constructed, and operated to meet the needs of
23 Ontario ratepayer needs, not exporters. The simple
24 justification that because the asset is used by exports
25 when excess capacity is available is not reason enough to
26 force shared rate-based costs, which are underpinned by the
27 economic viability of the asset."

28 Can you provide your commentary on that?

1 MR. BLAIR: Yes. We would agree that there should be
2 consideration to the fact that they have a lower priority,
3 and our report lays out the scenarios sort of -- really a
4 range of scenarios from full cost causality or full 100
5 percent CP allocation to some discount allocation.

6 It is really up to the Board to determine how much of
7 that discount should be applied to the export class. It
8 could be one of the three scenarios, or it could be another
9 scenario.

10 MR. RUBENSTEIN: It could be higher than the 80
11 percent, correct, between 80 percent and 100 percent, it
12 could be some lower, it could be some number in between,
13 correct?

14 MR. BLAIR: Yes.

15 MR. RUBENSTEIN: The third is somewhat, I guess, also
16 reflective of the pole attachment, which is the Board's
17 comments in the pole attachment report.

18 I won't read it, I won't read it out loud. But do you
19 have any comments with respect to their criticisms of using
20 the principles that were applied to the pole attachment
21 charges?

22 MR. BLAIR: No. I think the Board's decision in the
23 2019 proceeding directed or pointed out the pole attachment
24 decision and spoke in a bit of detail about the aspects of
25 that. And look looking at the full decision, I think that
26 is reasonable to have one of the scenarios the Board would
27 consider. The Board was sort of indicating they were
28 looking in that direction of some sort of cost sharing and

1 I think the 50 percent hybrid -- it is really just
2 50 percent sort of a compromise based on that number,
3 except that is what was used in the pole attachment case,
4 so that would be a reasonable thing to consider as one of
5 the options here.

6 MR. RUBENSTEIN: And then at paragraphs 51 and 51, I
7 won't read this also, but I guess this is also, as I read
8 it, Power Advisory is talking about the benefits of
9 exports, and I take it that goes to your sort of broader
10 comment that there are other considerations than sort of a
11 pure fully allocated costing that the Board should
12 consider.

13 MR. BLAIR: That's right. Those are the things that
14 should be decided on the ratemaking side of it, but not
15 cost allocation. Those aren't transmission costs that
16 should be considered.

17 MR. RUBENSTEIN: And so, that is the comment I just
18 want to focus in.

19 So in your view, you don't play that into the cost
20 allocation model. You sort of take that into account when
21 you are determining if -- it is a consideration outside of
22 the model that the Board should consider when it makes a
23 determination of the final amount. Is that a fair way to
24 look at it?

25 MR. BLAIR: Yes. That's fair.

26 MR. RUBENSTEIN: Okay. Thank you very much, Mr.
27 Blair.

28 MR. BLAIR: Thank you, Mr. Rubenstein.

1 MR. SIDLOFSKY: Thanks, Mr. Rubenstein. We are moving
2 on to VECC, Mr. Harper.

3 **EXAMINATION BY MR. HARPER:**

4 MR. HARPER: Is my camera on? I don't see myself on
5 the screen.

6 MR. SIDLOFSKY: I can see you.

7 MR. HARPER: There I am. Okay, fine. Good afternoon,
8 Mr. Blair. My name is Bill Harper. I am a consultant for
9 VECC in this proceeding.

10 Actually, I had a few follow up questions on Mr.
11 Vellone's undertaking, but I think Mr. Rubenstein has
12 covered off most of those, except one and I think it is an
13 important issue to understand and that is that there was a
14 discussion about plugging the ICP revenues into the cost
15 allocation model, if the revenues were decided to go over
16 to Hydro One Transmission.

17 And would you agree there is a number of other
18 considerations or issues that would have to be taken into
19 account if that was -- if that change in paradigm was to
20 take place in terms much how the ICP revenues were treated.

21 I think of a couple of things like, you know. The
22 transmission rates are based on a forecast revenue
23 requirement. Correct?

24 MR. BLAIR: Correct.

25 MR. HARPER: So one would have to come up with
26 forecast values for ICP revenues, if I am not mistaken.

27 MR. BLAIR: That's correct.

28 MR. HARPER: And also I think the Board often weighs

1 in on the -- when it is looking at external revenues, it
2 often weighs in on what is the appropriate level of those
3 values and sometimes the costing behind those values. That
4 might be issues that might come before the Board as well if
5 these revenues were included in the transmission revenue
6 requirement. Would that be a fair comment?

7 MR. BLAIR: That would be fair, yes.

8 MR. HARPER: Also actually you got into a debate with
9 this with Mr. Rubenstein that I think one method has been
10 suggested to you as to how to treat these within a cost
11 allocation model. But would you agree that if a formal
12 proposal was to come forward from yourselves and/or Hydro
13 One as to a question of how those costs should be
14 functionalised, classified, and allocated would be ripe
15 issues for discussion and perhaps disagreement in a future
16 proceeding?

17 MR. BLAIR: Yes, absolutely.

18 MR. HARPER: Okay. Fine. Thank you. That is all I
19 wanted to clear up.

20 I think it will be easier given Mr. Rubenstein's
21 questions, but can we turn to Hydro One's response to VECC
22 1.2?

23 If we look at paragraph 2 here, here Hydro One has
24 expressed its views as to the fact what needs to be
25 considered in setting an ETS rate, you may consider
26 fairness, efficiency, revenue recovery.

27 Do you agree those are all factors that have to be
28 considered when actually designing and setting the rate?

1 MR. BLAIR: Yes, I agree.

2 MR. HARPER: What is your view as to what is the role
3 of the cost allocation study, like the study that you
4 prepared plays in assisting with these considerations?

5 MR. BLAIR: I think it is gives a good cost basis to
6 look at the ranges of what any rate would be based on any
7 assumptions for what the cost-allocation methodology --
8 what the results are. It gives a cost basis, which is one
9 important consideration, one consideration in setting ETS
10 rates and setting rates in general.

11 MR. HARPER: Right. And maybe we can turn to your
12 response to Staff 18C.

13 Here I think, you know, Staff pointed out that you had
14 three different methodologies in your report and that here
15 you are indicating that you recommend option number 1.

16 I would like to clarify. You are recommending that
17 option number one be used as the appropriate option in a
18 cost allocation methodology, or are you recommending that
19 option number one, the result of that should be used to set
20 the ETS rate?

21 MR. BLAIR: We would recommend option 1, based on cost
22 causality, pretty much exclusively. There is other
23 considerations for the Board to consider. We don't factor
24 that in. We don't presume what the Board will -- their
25 perspectives on those other issues.

26 MR. HARPER: Right. So this goes, I think, to the
27 last question Mr. Rubenstein asked you, and that is that,
28 you know, you've got your cost-allocation results and these

1 other considerations will be considered in parallel with
2 them as the Board makes up its final decision as to what
3 the ETS rate would be.

4 MR. BLAIR: Yes.

5 MR. HARPER: Okay, fine. No, no, thank you, that is
6 helpful.

7 Can we turn to, I think it's your initial evidence,
8 attachment 1 to the joint submission, page 20. And here
9 Elenchus states -- Okay. I will just wait until we get
10 there.

11 MR. BLAIR: There is two page numbers. 20 on the top
12 of the page or the bottom of the page?

13 MR. HARPER: I think it is the one where you're
14 talking about the regional transmission operators. I'm
15 sorry. When I made my notes I forget now which of the two
16 I was --

17 MR. BLAIR: It is the 20 at the top of the page.

18 MR. HARPER: 20 at the top of the page. Right. Here
19 you say:

20 "States that all regional transmission
21 organizations and independent system operators in
22 the United States and most IESO and transmitters
23 in Canada set open-access transmission tariffs in
24 accordance with a number of different FERC orders
25 and that Ontario and Alberta are the only
26 exceptions."

27 So with that in mind, can we go now to Staff 20. And
28 if we scroll down through Staff 20, I believe it is in some

1 of the middle -- probably the next page, the second page of
2 the responses. Here CRA sets out at a high level, I would
3 say, how export transmission rates are determined under the
4 OATT.

5 And I don't know if you'd had a chance to look at this
6 already, but would you agree with -- at a high level with
7 CRA's sort of indication as to how transmission rates are
8 set under the FERC's OATT? And I guess --

9 MR. BLAIR: Yes. So you're looking at response F?

10 MR. HARPER: Yes. Mainly D and F is what we're
11 looking at. D defines what costs went into it and F
12 defines basically once you got those costs how the rate is
13 determined.

14 MR. BLAIR: Yes. I can agree with F. I haven't
15 looked at the details of the costs included for -- in
16 response to D. In general, these look like these are the
17 right costs, but I can't say --

18 MR. HARPER: And would you agree that, based on this
19 description, one could characterize the OATT-derived rates
20 as being cost-based?

21 MR. BLAIR: Yes.

22 MR. HARPER: Okay. Can we then turn to Staff -- your
23 response to Staff 12B. And really it is the first
24 paragraph, where Elenchus states:

25 "Elenchus is not aware of any jurisdictions that
26 use the methodologies proposed in the 2021
27 Elenchus report, as these jurisdictions do not
28 explicitly consider cost allocation for the

1 purposes of setting domestic and export
2 transmission rates and generally do not have
3 export-specific rates."

4 First, my understanding is that these other
5 jurisdictions do have export transmission tariffs, the
6 OATT-type tariffs, and so I wanted to ask you what you
7 meant when you say these jurisdictions generally do not
8 have export-specific rates.

9 MR. BLAIR: The rates based on the OATT that I have
10 reviewed -- I think they have the same export rate, but it
11 is an export rate listed as the same rate as the domestic
12 rate.

13 MR. HARPER: Okay. So when you --

14 MR. BLAIR: And many jurisdictions -- most
15 jurisdictions I would say do not have any reference to
16 exports at all.

17 MR. HARPER: Okay. So when you say specific you mean
18 a rate that's specifically different from, as opposed to
19 not having any export rate at all?

20 MR. BLAIR: Yes.

21 MR. HARPER: Okay, fine. And -- now, the first part
22 of the paragraph says that rates in these jurisdictions
23 don't explicitly consider cost allocation for purposes of
24 setting, you know, export transmission rates.

25 Can I get your agreement that the OATT-derived export
26 transmission rates are cost -- I think you said they're
27 cost-based, and so what I was wondering, if you can maybe
28 just explain your distinction between a cost-based rate and

1 a cost-allocation-based rate, if I can put it that way,
2 because you seem to agree that they're cost-based, but then
3 you go on to say they're not based on cost allocation. So
4 maybe if you could just give me your understanding of the
5 distinction between those two, that would be useful.

6 MR. BLAIR: The distinction is that the costs aren't
7 considered separately for each type of customer. There is
8 a different amount of cost per megawatt-hour or whatever
9 bill determinant. There is a different amount considered
10 for each different rate. So if it's the same, there is no
11 consideration of this group to be paying more than this
12 group, then it is really not a cost-allocation exercise.

13 MR. HARPER: It is only a cost-allocation exercise at
14 its simplest level. We divided everything up on the basis
15 of megawatts or megawatt-hours, but no more refinement than
16 that, I guess.

17 MR. BLAIR: Right. I wouldn't consider that cost
18 allocation.

19 MR. HARPER: Okay. No. That's fair. And I think that
20 those are all of my questions. Thank you very much.

21 MR. BLAIR: Thank you.

22 MR. SIDLOFSKY: Thanks very much, Mr. Harper.

23 It is 2:20. I am going to suggest that we continue on
24 with Dr. Higgin for Energy Probe, unless panel or our
25 reporter needs a break right now.

26 MR. BLAIR: I am okay to continue.

27 DR. HIGGIN: Thank you.

28 MR. SIDLOFSKY: I'll just check with our reporter as

1 well.

2 THE REPORTER: Yes, if we could have a break after Dr.
3 Higgin.

4 MR. SIDLOFSKY: That would be great. We'll do that.
5 Thanks.

6 THE REPORTER: Thank you.

7 **EXAMINATION BY DR. HIGGIN:**

8 DR. HIGGIN: Thank you. Just to let you know, many of
9 the questions have been answered, so my original estimate
10 was 30 minutes. It is going to be more like ten minutes.
11 There is very little left for me to do.

12 So good afternoon, Mr. Blair. Sorry your boss who
13 used to be my boss way back is sick. Hope he will be
14 feeling better soon.

15 MR. BLAIR: Thank you.

16 DR. HIGGIN: So I would like to just start by looking
17 at your ETS cost allocation model. And to do that, I would
18 suggest we pull up the spreadsheet HONI-05-24-04. And I
19 would like to look at sheet 1, because I have very little
20 to ask.

21 Okay. So as you would have heard yesterday, we
22 discussed the fact that these costs that you have used, the
23 revenue requirement and the rate base, are slightly
24 different than the updated 2023 revenue requirement and
25 rate base for Hydro One.

26 So you heard that exchange, I assume, right?

27 MR. BLAIR: Yes, I did.

28 DR. HIGGIN: Okay. So basically, we're going to

1 proceed on the basis of your model, as you proposed here,
2 and then we're going to just have a few questions about
3 that.

4 So perhaps now we could move to Exhibit I, tab 1,
5 schedule 4, and I am looking at page 3 here. And there you
6 will see at the top -- I assume you are familiar with this.
7 It is the revenue-requirement projection for Hydro One
8 going forward to 2027. However, as we have already
9 discussed, there will also be certain amounts that will be
10 deferred. In other words, this base amount here does not
11 reflect the amounts that are being deferred. Correct?
12 That is your understanding?

13 MR. BLAIR: Yes, that's correct.

14 DR. HIGGIN: Okay. So I just want to get from you a
15 feeling for the size of the change, A), to the revenue
16 requirement and, B), to the rate base going forward.

17 My estimate is that it's quite material. Right?
18 Would you agree that going from 1.8 to 2.2 in the revenue
19 requirement and also that the assets going from
20 14.52 million to something like 16 million is quite a
21 significant change? Would you agree?

22 MR. BLAIR: I would agree it is a material increase.

23 DR. HIGGIN: So then you know where I am going to ask
24 is, how often should the cost allocation study be updated,
25 given these changes to the revenue requirement and of
26 course to the asset base? Do you have an opinion?

27 MR. BLAIR: Our opinion is that it would make sense to
28 update the cost allocation model when Hydro One rebases, so

1 once approximately every five years.

2 DR. HIGGIN: So in the interim, these material changes
3 were going to be recorded and we're just going to go
4 perhaps and look at this same exhibit, page 4, if we could
5 flip to part F.

6 I will give you a minute to look at that, if you are
7 not familiar with this proposal.

8 MR. BLAIR: I am familiar with this proposal, yes.

9 DR. HIGGIN: So what this says clearly is that during
10 that period, the amounts that are -- the excess variance
11 account will capture amounts that are different than the
12 base year revenue requirement. Correct?

13 MR. BLAIR: Correct.

14 DR. HIGGIN: But it would not, or does it -- I am
15 going to ask you the question. Does it cover the changes
16 to I will call it the financial structure underlying the
17 export revenue service and the revenue.

18 Does it capture those?

19 MR. BLAIR: The proposal is to keep the rate in place
20 for five years, so it would not capture updates to an ETS
21 rate that would be calculated.

22 DR. HIGGIN: Okay. Thank you. That was helpful.
23 Could we now, please, turn up Exhibit I, tab 2, schedule 8,
24 and page 3 of that? I will just let you, you know, just
25 have a look at it and be familiar with this.

26 If you want to go back and look at the question, that
27 would be also appropriate.

28 MR. BLAIR: I am familiar with this response.

1 DR. HIGGIN: Yes, okay. You prepared it, okay.

2 MR. BLAIR: Yes.

3 DR. HIGGIN: There is another question here. That is
4 the difference between the 1 CP and the 12 CP, okay?

5 MR. BLAIR: Yes.

6 DR. HIGGIN: This question asked you to produce an
7 estimate using the actual hourly data, correct, '21?

8 MR. BLAIR: Yes.

9 DR. HIGGIN: If you look at the results, if you move
10 down a little bit, you see that the result is that there is
11 a significant change for that change. In other words,
12 going to, using actuals rather than the proxy 12 CP. There
13 is a material change. Is that correct?

14 MR. BLAIR: There is a change. I will clarify the
15 previous figures were the 2020 actuals.

16 DR. HIGGIN: Yes, okay.

17 MR. BLAIR: Rather than the forecasts.

18 DR. HIGGIN: All right. So the question to you is,
19 methodologically, should there be an update to reflect the
20 actuals as we go forward and calculate the ETS rates?

21 MR. BLAIR: I think for rate stability purposes, it
22 would make sense to keep it fairly consistent for a number
23 of years in a row. I do recognize the figures have changed
24 quite a bit from the 2020-2021 using the same 2023 revenue
25 requirements.

26 And I think it would be better to have stable rates
27 than to adjust that each year, which may go up or down
28 based on maybe the previous year, whichever forecast at

1 that time.

2 DR. HIGGIN: Now the other option to adjusting rates,
3 you are familiar with regulatory, is a deferral account.
4 You are familiar with those?

5 MR. BLAIR: Yes.

6 DR. HIGGIN: So do you have an opinion whether a
7 deferral account could be a useful asset to setting the
8 rate and then, as you say, you don't change the rate, but
9 you put the money into the deferral account, like all of
10 that other money that is going into the other deferral
11 accounts.

12 MR. BLAIR: I wouldn't say necessarily that it should
13 be used, but it can certainly be used for that purpose and
14 it would achieve that goal that you described.

15 DR. HIGGIN: Right. Okay. Thank you for your
16 response.

17 I think you will be glad to know those are my only
18 questions. Most of the other ground has been plowed before
19 by others. So thank you for your responses, Mr. Blair.
20 Thank you.

21 MR. BLAIR: Thank you, Doctor.

22 MR. SIDLOFSKY: Thanks, Dr. Higgin. That leaves us
23 with Mr. Pattani, followed by OEB Staff.

24 So let's take our afternoon break now. It is just
25 after -- just after 2:30. Let's come back at 2:50. And we
26 will see you then.

27 --- Recess taken at 2:31 p.m.

28 --- On resuming at 2:50 p.m.

1 MR. SIDLOFSKY: Good afternoon. We are back with
2 panel 3 from Elenchus. Mr. Pattani, you are up next.

3 **EXAMINATION BY MR. PATTANI:**

4 MR. PATTANI: Thank you, thank you. Good afternoon,
5 Mr. Blair.

6 MR. BLAIR: Hello.

7 MR. PATTANI: So most of my questions have been
8 answered in your responses during the session before the
9 break. So I only had one two-part question to seek
10 clarification about some numbers about correlation between
11 the network revenue requirement and the ETS rates in your
12 cost-allocation methodology.

13 So in IR Exhibit I-6-1 -- I should wait for it, I
14 guess. Anyway, let me just go ahead. So it is Exhibit I-
15 6-1. You indicated in part C that about 44.3 percent of
16 the total network pool revenue requirement comprises shared
17 network asset-related costs. I think it is on the next
18 page, item C.

19 MR. BLAIR: Yes.

20 MR. PATTANI: Okay. Now, if you don't mind, can we
21 refer to -- I don't know if you want to open it, but we
22 would like to refer to table 15 on page 35 of your cost-
23 allocation report, which was attachment 1 of the joint
24 Hydro One-IESO submission in this proceeding.

25 You probably don't need it yourself, but I guess if it
26 is already there.

27 Great. So in this table you've got the several final
28 conclusion of registered ETS rates. And if we refer to

1 this table, can I -- is it -- can I say from this table
2 that for the first option in this table, which is titled
3 allocation on basis of 100 percent of shared network fixed
4 assets, can you confirm that the ETS rate of 6.54 percent
5 -- 6.54 dollars per megawatt-hour is, therefore, reflective
6 of allocation of costs from 44.3 of the percent of the
7 total network revenue requirement? Because --

8 MR. BLAIR: Yes. I think, to make a clarification or
9 perhaps a correction, that 44.3 percent figure is the
10 shared -- is the shared asset-related costs as a percent of
11 the total revenue requirements. So it is not specific to
12 the network pool.

13 MR. PATTANI: Okay. So it is 44.3 percent of the
14 shared network pool, and shared network pool, I believe, is
15 66.3 percent of total?

16 MR. BLAIR: Shared, it's 60.2 percent.

17 MR. PATTANI: So this is therefore reflective of
18 allocation of costs from 44.3 percent of 66.3 percent of
19 the total network pool revenue requirement?

20 MR. BLAIR: Could you repeat those figures?

21 MR. PATTANI: Sorry?

22 MR. BLAIR: Could you repeat your question?

23 MR. PATTANI: So is 6.54 a reflection of 44.3 percent
24 of total network pool -- of shared network pool revenue
25 requirement, which in itself is 66-point-something percent
26 of the total network pool revenue requirement?

27 MR. BLAIR: The 44.3 percent figure is the percentage
28 of shared network asset-related costs as a percentage of

1 the full revenue requirement.

2 So the 6.54 figure -- actually, if you could scroll up
3 a bit on the page there, the 6.06 figure reflects the 44.3
4 percent allocation of shared assets, but it is also a
5 percentage of inter-tie -- of inter-ties. That should be
6 included in addition.

7 MR. PATTANI: Okay. So inter-tie, I believe, is 6
8 percent. But let's -- in one of -- one of the Hydro One --

9 MR. BLAIR: It is 0.6 percent of costs are dedicated
10 interconnects, so it is a small portion. In the table
11 below, table 15 has the same rates, but they're inflated
12 for the -- all the transmitters, so it includes the other
13 transmitters included in the UTR.

14 MR. PATTANI: So, I mean, you know, let's assume that
15 .6 is here or there. So it is reflective of allocation of
16 about somewhere around 44 to 50 percent of the network on
17 network pool revenue requirement. I just want to get a --

18 MR. BLAIR: Yes, that's correct.

19 MR. PATTANI: -- and get a feel for it. Okay.

20 Now, then the other option that I would like to
21 address here in this same table is the second one, which is
22 allocation on basis of 50 percent of the shared network
23 fixed assets. So because this allocation is using a
24 50 percent of the shared network fixed asset now, then I am
25 assuming, or can you please confirm then, that the ETS rate
26 of 3.66 dollars per megawatt-hour is, therefore, reflective
27 of allocation of costs from about 22 -- 22 to 25 percent of
28 the total, because it is 50 percent of what we just

1 discussed about option one?

2 MR. BLAIR: Yes. It is 50 percent of the shared
3 network asset-related costs, but the -- there is also that
4 portion for inter-ties.

5 MR. PATTANI: Yes.

6 MR. BLAIR: I also want to clarify that these rates
7 include other revenues that have been added to the bottom
8 to net off some of the costs.

9 MR. PATTANI: When you say "other revenues", but these
10 are revenues that still belong to total network pool
11 revenue requirement. Like, Hydro One's beginning of the
12 network pool revenue requirement is about 1.8 billion
13 dollars, I believe, somewhere around there.

14 MR. BLAIR: Yes, 1.823 billion. And then there is
15 other revenues that offset that total amount. So the rates
16 revenue requirement is lower than that amount.

17 MR. PATTANI: Yes, so it's slightly -- so it is -- it
18 is about 24 or 30 percent of that, whatever you are talking
19 about, just a network pool revenue requirement.

20 MR. BLAIR: Yes. In general you're correct. Just a
21 small qualification along the way that there is minor
22 differences.

23 MR. PATTANI: Yeah. So we are looking at -- in short,
24 all I am trying to get at is the option one is about half
25 of what it would have been if you hadn't gone to this
26 number -- motion of doing the shared network asset and
27 removing something and removing half of it allocated and so
28 on.

1 So option one is that. And option two is about one-
2 fifth of what it would have been otherwise, if you are not
3 bothered with this very nice allocation methodology that
4 you have.

5 MR. BLAIR: It is approximately one-fifth reduction.

6 MR. PATTANI: Yes, yes.

7 MR. BLAIR: Okay.

8 MR. PATTANI: To one-fifth. It is four/fifth
9 reduction.

10 MR. BLAIR: No. The last scenario there it removes
11 20 percent. So 80 percent remains. So that is -- the 80
12 percent is higher, the rate is higher than the 50 percent
13 scenario, because only 20 percent of the net shared assets
14 to -- allocated to the export class, which leaves by 20
15 percent. So it is -- that amount is higher. It is reduced
16 by 20 percent, not the 80 percent.

17 MR. PATTANI: Okay. Thank you very much, Mr. Blair.

18 I am done, Mr. Sidlofsky.

19 MR. SIDLOFSKY: Thanks, Mr. Pattani.

20 Last questioner of the day is Mr. Pietrewicz for OEB
21 staff.

22 **EXAMINATION BY MR. PIETREWICZ:**

23 MR. PIETREWICZ: Good afternoon, Mr. Blair. My name
24 is Andrew Pietrewicz. I will be asking questions on behalf
25 of OEB staff. A lot of the questions I was planning on
26 asking have already been addressed, so I only have a
27 handful or so.

28 First I would like to invite you to help us understand

1 the difference between the 12CP allocator and the composite
2 allocator, and I will provide context for that.

3 As I understand it, the approach laid out in the
4 Elenchus 2021 report starts with functionalization,
5 classification, and then allocation.

6 And I understand that it is in the context of
7 allocation that the concepts of 12 critical peak or 12CP or
8 CP allocator and the composite allocator are raised. Is
9 that basically true, that it is in the context of
10 allocation that those concepts are introduced?

11 MR. BLAIR: Yes. And as well as 12CP is the 12
12 coincident peak.

13 MR. PIETREWICZ: Yes, yes, thank you. And so -- and
14 it is really that, if I could invite you to help us
15 understand in simple terms what the 12CP allocator is and
16 where is it used in the 2021 Elenchus report; likewise,
17 what the composite allocator is and how it is calculated
18 and where it is used in the Elenchus report.

19 Do they allocate different things, same things? If
20 you can briefly explain for us, in plain terms, what these
21 things are and what they're used for in the 2021 report.

22 MR. BLAIR: The 12CP looks at the coincident peak on
23 the system each month for the 12 months and the highest
24 peak in each of the 12 months the peak hour is used in.

25 And then you have the 12 coincident peaks and the
26 export and domestic demand in each of those peaks.

27 And you sum the totals, the sum of the 12, and that is
28 the 12 CP. One CP would be taking just the highest peak,

1 and then there is also a 4 CP considered in the model that
2 has the four highest.

3 That is what is used to allocate net fixed assets. And
4 in the 2021 methodology, really the net fixed assets
5 allocator -- it is not really a composite allocator. It is
6 the 12 CP allocator because every asset that is allocated
7 that way is the 12 of CP. So there is no difference
8 between 12 CP and that composite net fixed asset allocator.

9 MR. PIETREWICZ: Thank you. What is the composite
10 allocator? And what is it used for, for example? Is the
11 composite used only to allocate O&M costs between export
12 and domestic rate classes, whereas capital costs are
13 allocated on the basis of 12 CP? How would you
14 characterize it?

15 MR. BLAIR: In the 2021 report, OM&A and assets are
16 all allocated by 12 CP.

17 In the 2014 methodology, OM&A was allocated by a
18 composite allocator. So that is -- the difference is that
19 the allocator was based on the allocation of other assets
20 and then this was calculated based on how all of those
21 other assets were allocated, and that is the basis for
22 calculating OM&A. But in this methodology is the 12 CP for
23 each of these cost categories.

24 MR. PIETREWICZ: Thank you. That is very helpful.

25 Turning to OEB Staff 8, OEB Staff asked Elenchus about
26 why the last year 12 CP is used to -- sorry, why the last
27 year's 12 CP is used to allocate assets instead of the
28 three-year historical rolling average 12 CP.

1 And Elenchus replied -- I am just trying to find it
2 here. Oh yes, in part A of the response on page 2 of 2 of
3 the response, Elenchus responded that:

4 "the most recent year 12 CP was selected to
5 reflect the most recent relative domestic and
6 export demands and to correspond with the time
7 period of the megawatts volumes used as the
8 billing determinant."

9 I would really appreciate if you could clarify for us
10 what you mean by correspond with the time period of the
11 megawatt volumes used as the billing determinant. For
12 example, when you say billing determinant, what are you
13 referring to?

14 MR. BLAIR: By willing determinant, I mean the
15 megawatt-hour volumes that are used to divide the revenue
16 requirement allocated to the export class divided by the
17 export volumes.

18 MR. PIETREWICZ: Thank you. Moving along to OEB Staff
19 14 -- actually OEB Staff 13 first, please, by way of
20 prelude.

21 Here OEB Staff asks Elenchus about allocating a
22 portion of inter-tie costs -- or interconnection costs, as
23 I think we refer to them here -- allocating a portion of
24 interconnection costs to domestic customers.

25 And in response to OEB Staff 13, part A, Elenchus
26 excerpts a bit of the 2021 Elenchus report.

27 So if you turn to page 2 of 2 of that response, on
28 lines three to five it says:

1 "Energy is imported to serve domestic load,
2 therefore a portion of interconnection assets,
3 asset related costs, and OM&A should be allocated
4 to the domestic class."

5 I just want to make sure that you see that one there.

6 MR. BLAIR: Yes.

7 MR. PIETREWICZ: Okay, great. So we will move on to
8 OEB Staff 14 that I think says that "and the percentage of
9 interconnection assets, asset related costs and OM&A that
10 should be allocated to the domestic class is 28.29
11 percent." Is that a correct understanding?

12 MR. BLAIR: Yes.

13 MR. PIETREWICZ: Okay, great. Thanks. I think based
14 on our foregoing discussion, you have already confirmed
15 this, but can you confirm that the ETS results, the
16 Elenchus study results summarized in the table in the
17 executive summary of the Elenchus report, do they include
18 some allocation of interconnection costs to domestic
19 customers?

20 MR. BLAIR: Yes, they do.

21 MR. PIETREWICZ: Okay, great. And I think you agree
22 -- or would you agree that is the allocation of this
23 28.29 percent to domestic customers of interconnection
24 costs, is that based on the inter-tie 12 CP?

25 MR. BLAIR: Yes.

26 MR. PIETREWICZ: Okay, thank you for confirming that.

27 Now, here's the question that I would like you to
28 think about. Would you agree that some of the inter-tie 12

1 CP released import demand that enters Ontario and is
2 consumed in Ontario, whereas some of it represents import
3 demand that enters Ontario and leaves Ontario as a wheel
4 through export. Would you agree that is the case?

5 MR. BLAIR: I would agree that is the case, yes.

6 MR. PIETREWICZ: So not all of it stays in Ontario.
7 Not all of it is consumed by Ontarians, right?

8 MR. BLAIR: That's right.

9 MR. PIETREWICZ: Yes. So therefore, I wonder -- I
10 would like to hear your thoughts on recognizing that some
11 of that power, some of the power that is imported to serve
12 domestic loads is imported to serve domestic loads, but
13 that some of that imported power actually flows across as a
14 wheel through. Is there a principled reason, in your view,
15 to say that as a potential future refinement that the share
16 that Ontario domestic loads pay for interconnections ought
17 to be perhaps less than the amount that is included right
18 now in the Elenchus 2021 report, ought to be less than that
19 28.29 percent based on 12 interconnection CP?

20 MR. BLAIR: Yes. I would agree that is reasonable.
21 We didn't consider the volumes that are wheeled through in
22 setting this allocator.

23 MR. PIETREWICZ: Okay, thank you. Moving along to OEB
24 Staff 18, we heard yesterday and perhaps today and on the
25 record that exports are curtailable.

26 MR. BLAIR: Yes.

27 MR. PIETREWICZ: And operationally speaking, when push
28 comes to shove, that exports can receive a different

1 priority of service from domestic loads. They're curtailed
2 first.

3 And here OEB Staff -- on OEB Staff 18, we ask about
4 these three cost-based methodologies that were considered
5 by Elenchus to be appropriate options to allocate shared
6 network asset-related costs to export customers.

7 And I would like to ask you a little bit about them,
8 in fairness, related to this idea that maybe exports are
9 not, you know, an equivalent cost to domestic folks.

10 I understand that on line ten of the interrogatory,
11 Staff 18, it identifies option 1. Option one, right, which
12 is the fully allocated shared network asset related assets,
13 on the basis of shared net fixed assets. This is, you
14 know, the full allocation method.

15 And I understand from previous responses on the record
16 that Elenchus feels this reflects actual export demand and,
17 you know, that demand could have been higher to the extent
18 that some exports were curtailed.

19 But this 12 CP method, option one, in your view, does
20 it reflect actual export demand on the inter-ties?

21 MR. BLAIR: This related to net fixed assets is 12 CP
22 for the system as a whole, rather than just on the inter-
23 ties.

24 MR. PIETREWICZ: Okay, thank you. That is helpful.
25 And it reflects exporters' use of the system as a whole as,
26 you know, as seen in the 12 CP periods.

27 MR. BLAIR: Yes.

28 MR. PIETREWICZ: Thank you. Here is the question that

1 I invite your thoughts on, which is does this option one,
2 although it implicitly captures any curtailments that might
3 have been pinned to exports, does it really reflect, in
4 your view, the fact that exporters receive a different
5 level of service than domestic loads?

6 And I ask in the context of, does this jive with the
7 concept of fairness and is that what the 80 percent option
8 was meant to try to address? That is where I am going with
9 this.

10 MR. BLAIR: Right. It is sort of the maximum of the
11 range that would be considered reasonable on a cost basis.
12 We do mention there is -- to a certain extent, export
13 volumes may be curtailed at peak times and there should be
14 -- so that naturally in the data there already is a small
15 degree of recognizing they have lower priority access and
16 if you want to attribute additional level of consideration
17 that they have lower priority access, then you might move
18 to option B or C or option 2 or 3.

19 MR. PIETREWICZ: Thank you. And just kind of your
20 initial impression or your thoughts, given your work on
21 this.

22 Would you say that the option 1 in your view
23 appropriately reflects the different class of service that
24 exporters receive, given that it has already implicitly
25 captured curtailments that have occurred?

26 MR. BLAIR: I wouldn't say it fully captures the
27 extent that they're curtailed.

28 MR. PIETREWICZ: Okay. Thank you for that. And is it

1 fair, again, that the 80 percent option tries to go a
2 little bit of a ways or all the ways to capturing that
3 idea?

4 MR. BLAIR: Yes. It was a way to capture that maybe
5 there would be a lower-level priority and to assign some
6 sort of -- the variable of how many hours do (sic) they
7 actually curtailed in. That would be good proxy to moving
8 forward if the same methodology was adopted in the future.
9 If they're curtailed less, then they would be allocated
10 more in the future.

11 MR. PIETREWICZ: Right. So the 100 percent
12 methodology then captures ones you manage to get in through
13 the door, but it doesn't quite capture the fact that there
14 are others that would have been curtailed first ahead of
15 domestic loads before they even got to the door. That is a
16 very convoluted question. I will just nix that. I was
17 just thinking out loud. Lesson to self. Don't think out
18 loud.

19 Okay. Moving on. In principle, do you think -- I
20 understand that the 80 percent option relates to -- like,
21 it discounts it by 20 percent, assuming that exports were
22 curtailed in 20 percent of the hours or over the last two
23 years, 20 percent of the hours.

24 What I want to ask you is, in principle, would the
25 quantity of megawatts curtailed be more or less equally
26 appropriate in [audio dropout] discounting instead of the
27 quantity of hours curtailed? Like, the percent of
28 megawatts be equally as appropriate as percent of hours?

1 Do you have any initial thoughts on that?

2 MR. BLAIR: That could be another reasonable way to
3 adjust the export CP, yes.

4 MR. PIETREWICZ: Right. Okay. Thank you. I will
5 move on to the third option. It is the second one shown in
6 OEB Staff 18. That is this 50 percent -- this 50 percent
7 method.

8 And in plain language, how does that fit in with the
9 fully allocated, the 80 percent option, and here is the 50
10 percent. Can you in your own words describe that to us?

11 MR. BLAIR: It would be described as a hybrid version,
12 and it really is just a compromise, 50 percent, that's not
13 based on any particular figure. It is consistent with the
14 pole attachment decision that was cited by the OEB in the
15 transmission decision when they directed OEB -- directed
16 Hydro One to undertake the study.

17 So it is a good -- something that the Board would want
18 to see at least is, what would cost be at 50 percent, what
19 would the rates be if this discount [audio dropout] 50
20 percent.

21 MR. PIETREWICZ: Okay. Thank you. And is it fair to
22 say that the 50 percent -- whereas the second option, the
23 80 percent kind of had to do something with curtailments or
24 different priority service, is it fair to say that the 50
25 percent option doesn't explicitly have anything to do with
26 the curtailments, it is more about -- or maybe analogy to
27 the pole attachments idea?

28 MR. BLAIR: Yes. It is more of an analogy to the pole

1 attachments, yes.

2 MR. PIETREWICZ: Okay. Okay. And can you remind us
3 arithmetically, what does the 50 percent refer to? It is
4 50 percent of what? Can you help us understand or remind
5 us what it is?

6 MR. BLAIR: Yes. We have the 12 CP volumes and the
7 full volumes for the domestic class and the volumes for the
8 export class. And unadjusted it is about 90 percent
9 domestic and 10 percent export.

10 The adjusted removes 50 percent of the export
11 quantities, the export demand. So it is not quite
12 95 percent when you do 50 percent, because you are removing
13 some of the total -- the denominator in that calculation,
14 but it is -- it is assuming they have half the capacity
15 that they actually do. Or they actually use, I should say.

16 MR. PIETREWICZ: So it is allocating less of the
17 shared assets to exporters in this case, right?

18 MR. BLAIR: Yes.

19 MR. PIETREWICZ: It is allocating less of them. Thank
20 you.

21 I will move just to my final question then. If you
22 wouldn't mind going to OEB Staff 12. And this kind of
23 picks up on some of the discussion you were having earlier
24 with, I believe it was Mr. Harper, about in your scan of
25 external jurisdictions there didn't seem to be a difference
26 between -- there weren't separate domestic and exporter
27 transmission rate classes, right?

28 My question to you -- by the way, is that a fair

1 characterization? I don't want to put words in your mouth,
2 but is that a fair characterization?

3 MR. BLAIR: Yes, that's fair.

4 MR. PIETREWICZ: Okay, thank you. And my question to
5 you is, in the Ontario context, would such a rate be akin
6 to exporters paying the same OEB-approved uniform
7 transmission rates that domestic customers pay?

8 MR. BLAIR: I'm sorry, could you repeat the question?

9 MR. PIETREWICZ: Yes. If your finding is that outside
10 of Ontario exporters pay the same rates that domestic
11 customers do?

12 MR. BLAIR: Yes, that is what we find.

13 MR. PIETREWICZ: If it was, like, you know, if we kind
14 of assume that model in Ontario, would that effectively
15 mean that export customers would pay -- would that be
16 equivalent to export customers paying the UTR, the uniform
17 transmission rate, in the same way that domestic customers
18 do?

19 MR. BLAIR: Yes. It would be the same rate.

20 MR. PIETREWICZ: Okay. And in your view, would an
21 export transmission service rate in Ontario that is
22 equivalent or roughly equivalent to today's UTR rate be
23 appropriate as an ETS, and is that what you are showing in
24 your options?

25 MR. BLAIR: I think equivalent rate wouldn't
26 necessarily be appropriate, because there is the less
27 access that exports have --

28 MR. PIETREWICZ: Okay. Thank you.

1 MR. BLAIR: -- wouldn't make sense to have a lower
2 rate than the UTR. And also, I want to point out that
3 there is line connection and transformation costs that are
4 charged to domestic customers that are not charged to
5 export customers.

6 MR. PIETREWICZ: Thank you. That's been very helpful.
7 Those are all of my questions, thank you, Mr. Blair.

8 MR. MYERS: Can I just ask one clarification as a
9 follow-up to that last question?

10 MR. SIDLOFSKY: Sure.

11 **RE-DIRECT EXAMINATION BY MR. MYERS:**

12 MR. MYERS: Mr. Blair, can you also speak to how that
13 scenario would relate to the consideration of other
14 benefits which you talked about earlier?

15 MR. BLAIR: If the rates were the same? If the
16 exporters paid the UTR rates?

17 MR. MYERS: Yes.

18 MR. BLAIR: Well, that would also not -- probably
19 wouldn't consider the aspects of the APPrO report -- or the
20 Power Advisory report and the IESO, the other
21 considerations for the Board to consider, if I wanted to be
22 consistent with all the principles that are considered here
23 to have the same rate.

24 MR. MYERS: So using the UTR -- the UTR approach, that
25 is more in the nature of pure cost allocation?

26 MR. BLAIR: Sorry, could you repeat that?

27 MR. MYERS: Using a UTR approach for exporters, are
28 you saying that that is more in the nature of pure cost

1 allocation and doesn't take into account the consideration
2 of all of those other benefits and factors that you have
3 talked about earlier?

4 MR. BLAIR: If it is the same rate, then there would
5 be no cost-allocation aspects to it at all. It would just
6 be pure rate-making based on the revenue requirement
7 divided by the billing determinant, and then what should
8 the rate be based on that. It would kind of bypass the
9 cost-allocation aspect of it if you were to take the UTR
10 rate and move from there to what ETS should be.

11 MR. MYERS: Okay. Thanks very much.

12 MR. SIDLOFSKY: Mr. Blair, thanks very much.

13 Mr. Pietrewicz, you were the last questioner for the
14 day.

15 Thank you all, those of you who are still on the line,
16 thank you all for keeping to time limits and scoping your
17 questions. I appreciate it.

18 That is all for today's technical conference. Next
19 key date in this proceeding is August 4th. Two things are
20 happening then. There is the transcribed presentation day
21 before the OEB panel, and any technical-conference
22 undertakings are due also on August 4th, next Thursday.

23 Thanks very much. Mr. Price, did you have anything to
24 say?

25 MR. PRICE: No.

26 MR. SIDLOFSKY: Okay.

27 MR. PRICE: You said what I was going to say, so thank
28 you, Jamie.

1 MR. SIDLOFSKY: Okay. And thanks to our reporter.
2 Have a good long weekend, everybody.

3 MR. MYERS: Thanks, Jamie.

4 MR. RUBENSTEIN: Thanks, Jamie.

5 MR. DeVENZ: Thank you.

6 --- Whereupon the hearing concluded at 3:21 p.m.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28