



ONTARIO ENERGY BOARD

FILE NO.: EB-2007-0691

VOLUME: Technical Conference

DATE: October 10, 2008

THE ONTARIO ENERGY BOARD

IN THE MATTER OF Sections 25.30 and 25.31 of
the Electricity Act, 1998;

AND IN THE MATTER OF a review of a notice of
proposal filed by Kruger Energy Inc. under
section 81 of the *Ontario Energy Board Act*,
1998.

Hearing held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Friday, October 10, 2008,
commencing at 9:35 a.m.

TECHNICAL CONFERENCE

A P P E A R A N C E S

MAUREEN HELT Board Counsel
JOANNA ROSSET

VIOLET BINETTE Board Staff
EDIK ZWARENSTEIN
TED ANTONOPOULOS

CHRISTINE LONG Kruger Energy Inc.
TRACY ROBILLARD

MICHAEL ENGELBERG Hydro One Networks Inc. (HONI)
PHILIP POON
ODED HUBERT

JOHN RATTRAY Independent Electricity System
Operator (IESO)

ZIYAAD MIA Ontario Power Authority
JOE TONEGUZZO

DAVID KENNEY Chatham-Kent Hydro

ALSO PRESENT:

JACQUES GAUTHIER Kruger Energy Inc.
MIKE COOKSON
GUY PAQUETTE

CARL BURRELL Independent Electricity System
Operator
NICHOLAS INGMAN
BARBARA CONSTANTINESCU

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>

On commencing at 9:35 a.m.	1
Procedural Matters	2
KRUGER ENERGY INC.	4
Presentation by Mr. Cookson	4
Questions by Board Staff	5

Break taken at 9:50 a.m.	9
On resuming at 9:52 a.m.	9

Recess taken at 10:45 a.m.	36
Upon resuming at 11:11 a.m.	36
Questions by Mr. Rattray	39
Questions by Mr. Engelberg	62
Questions by Mr. Mia	77
Submissions by Mr. Engelberg	81
Submissions by Ms. Long	83

Whereupon hearing adjourned at 12:42 p.m.	84

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
--------------------	-----------------

NO EXHIBITS WERE FILED DURING THIS PROCEEDING

U N D E R T A K I N G S

Description

Page No.

NO UNDERTAKINGS WERE FILED DURING THIS PROCEEDING

1 Friday, October 10, 2008

2 --- On commencing at 9:35 a.m.

3 MS. HELT: Good morning, everybody. My name is
4 Maureen Helt. I am counsel to Board Staff for the Ontario
5 Energy Board.

6 I have with me Violet Binette on my right-hand side.
7 She is with Board Staff. Joanna Rosset to my immediate
8 left, she is also counsel to Board Staff, and Edik
9 Zwarenstein, who is Board Staff, as well.

10 We are here today for the purpose of the technical
11 conference in the matter of EB-2007-0691 in the matter of
12 the Ontario Energy Board Act and in the review of a notice
13 of proposal filed by Kruger Energy Inc. under section 81 of
14 the Ontario Energy Board Act.

15 At this time, I would suggest that we go through
16 appearances. Oh, one more thing. We also have to further
17 -- to my further left, Ted Antonopoulos, who is also with
18 Board Staff. So if we could proceed with appearances,
19 perhaps starting to my left?

20 Oh, yes, one procedural matter. If you are going to
21 be speaking, you will note, for those of you who have not
22 been here before, particularly Kruger, there is a green
23 light on the control of panels in front of you. You need
24 to push that in so that it lights up, and then you will be
25 recorded and you will have use of the microphone.

26 So I'm sorry about that. Philip, if you could start
27 again?

28 MR. POON: Philip Poon, Hydro One Networks.

1 MR. HUBERT: Oded Hubert, Hydro One Networks.

2 MR. ENGELBERG: Michael Engelberg, Hydro One Networks.

3 MR. BURRELL: Carl Burrell, IESO.

4 MR. RATTRAY: John Rattray for the IESO, and with me
5 is Barbara Constantinescu and Mr. Nicholas Ingman.

6 MR. MIA: Ziyaad Mia, OPA.

7 MR. TONEGUZZO: Joe Toneguzzo, OPA.

8 MR. KENNY: Dave Kenney, Hydro.

9 MS. LONG: I am Christine Long, counsel to Kruger
10 Energy Inc. To my right is my associate, Tracy Robillard;
11 to my left, Mike Cookson from Kruger Energy Inc.; to his
12 left, Guy Paquette, who is the director of legal affairs at
13 Kruger Energy Inc.; and to the far left, Mr. Jacques
14 Gauthier, who is the vice president and chief operating
15 officer of Kruger Energy Inc.

16 **PROCEDURAL MATTERS:**

17 MS. HELT: Thank you. I would like to just review a
18 few points of procedure, the first one being the
19 microphones, and I have already explained that.

20 I would like to remind everyone that this is a
21 transcribed technical conference. We -- as Board Staff, we
22 are not a panel. We cannot make rulings. If there are
23 objections to particular questions that are asked, then
24 those objections can be made and noted on the record, but
25 the ultimate issue would have to be resolved by a panel,
26 which we are not.

27 So I wanted to make that clear and on the record that
28 we are not able to make rulings.

1 The purpose of today's technical conference is set out
2 in various procedural orders, and specifically I would like
3 to just quote from Procedural Order No. 6, which states:

4 "The sole issue in this proceeding is whether the
5 impact of the proposal adversely affects the
6 development and maintenance of a competitive
7 market. All evidence, interrogatories and
8 submissions in this proceeding and all questions
9 at the technical conference must be focussed on
10 answering that question. Accordingly the Board
11 expects the participants of the technical
12 conference to address the following issues: (a)
13 the capacity of the 230 kV lines between the
14 Chatham transformer station and the Lauzon
15 transformer station, in particular, whether the
16 proposed substation could, 1, limit future access
17 to the 230 kV lines by other persons; and 2,
18 impose limits on the independent electricity
19 system operator, the IESO, the operation of the
20 lines which could restrict other persons; and (b)
21 the future operation of the proposed substation,
22 in particular, 1, what the process would be for
23 selecting generation projects for connection to
24 the proposed substation, and 2, whether the IESO
25 and Hydro One connection processes could be
26 adversely affected."

27 I thought what we could do, I understand that Kruger
28 was planning on making a short presentation at the outset

1 of today's technical conference. But, thereafter, I would
2 propose that Board Staff ask their questions of the parties
3 first, dealing with both issues (a) and (b), to be followed
4 then by questions by the other parties. I would suggest
5 that the IESO perhaps go second and Hydro One proceed after
6 that, and then we could have any further follow-up
7 questions, if required, with respect to issues (a) and (b).

8 If anyone objects to that order, you can let me know
9 now and we can perhaps discuss that, if required.

10 All right. Since there are no objections, then, I
11 would ask Kruger to go ahead with the short presentation
12 that they were going to make.

13 **KRUGER ENERGY INC.**

14 **PRESENTATION BY MR. COOKSON:**

15 MR. COOKSON: I will begin, and it's going to be a
16 very, very short presentation. I just wanted to clarify
17 what Kruger Energy's objective was and still is when we
18 first issued the notice of proposal.

19 Kruger Energy had been developing projects in the
20 context of the standard offer program, the RESOP program.
21 We had four projects in the Chatham-Kent area that we were
22 developing, and we had filed applications with the IESO for
23 those -- excuse me, with Hydro One for those projects in
24 the connection impact assessment process.

25 Those four projects were frustrated in their ability
26 to connect, because of lack of interconnection capacity at
27 the distribution level, and it was in that spirit that we
28 made this application to build the substation in order to

1 move our projects forward.

2 **QUESTIONS BY BOARD STAFF:**

3 MS. HELT: Thank you. I will proceed with questions
4 from Board Staff. The Board Staff who are with me, Violet
5 Binette and Edik Zwarenstein, may also be asking questions,
6 as well.

7 So if we seem to be tag teaming a little bit between
8 the three of us, I just wanted to give you warning of that,
9 and Ms. Rosset may have a question or two, as well, so be
10 prepared that there may be questions from all of us, but
11 there may not be.

12 With respect to questions to Kruger Energy Inc., then,
13 on November 5th, 2007, KEI stated that:

14 "It has filed its notice of proposal in an effort
15 to ease transformer constraints that have been
16 identified within the OEB licence service
17 territory of Chatham-Kent Hydro Inc.

18 The following clarifications are being sought from KEI.
19 Firstly, what is the location and nature of the
20 transmission constraints, and, secondly, how does the
21 proposed substation ease transmission constraints?

22 MR. COOKSON: Okay. Well, I guess Hydro One and/or
23 the IESO could confirm this, because we're working from the
24 information that we have available to us and had available
25 to us at the time of the filings.

26 But the specific constraints that we were referring to
27 were the interconnection constraints in and around the Kent
28 transformer station. Now, again, I am not exactly sure of

1 what the constraints were at the time. I think maybe it is
2 a question that either the IESO or HONI could confirm, but
3 those were the ones that we were aware of at the time.

4 MS. HELT: And the second part of the question is:
5 How does the proposed substation ease those transmission
6 constraints?

7 MR. COOKSON: The way we saw it was that it would
8 allow certain distribution level generation projects to
9 connect that were prohibited in the current context.

10 MS. HELT: So can you give an example or be more
11 specific?

12 MR. COOKSON: Well, we had four projects in the area
13 that were below the -- I guess, the now very familiar red
14 line on the Kent transformer station connection queue, and
15 the construction of the substation that we were proposing,
16 we were envisaging our projects connecting and other
17 projects connecting to that substation.

18 MS. HELT: Okay.

19 On November 19th, 2007, KEI stated that:

20 "The impact of the substation on the overall
21 system would increase stability and strength in
22 the area."

23 The Board Staff is seeking clarification from KEI,
24 specifically is requesting that KEI explain, in detail, how
25 the proposed substation increases both the stability and
26 the strength in the area.

27 MR. COOKSON: Well, that would be -- it would be
28 difficult for me to explain it in detail because I wouldn't

1 have all of the information necessary, the technical
2 information necessary to explain it in detail.

3 The statement was intended as a very general
4 statement. It is generally accepted that distributed
5 generation in close proximity to distributed loads
6 increases stability in a system, but it was intended as a
7 general statement.

8 MS. HELT: Can KEI explain why building a substation
9 with no specific generation project to connect to is
10 consistent with development and maintenance of a
11 competitive market, when other market participants have
12 identified generation projects before sizing and developing
13 distribution and transmission assets?

14 MR. COOKSON: I can do my best to explain. What KEI
15 had done at the time was identify specific need. At the
16 time of making its notice of proposal, we were aware of -
17 well, obviously our four projects in the area, but several
18 other projects in the area that were frustrated by a lack
19 of interconnection capacity at the distribution level.

20 Seeing as though the substation or an enabler station
21 would take two to three years to build, we felt as though
22 we -- to move forward with our four projects we felt as
23 though we needed to move forward with the proposed
24 substation.

25 MS. HELT: Thank you.

26 Just in keeping with the issue (a) as outlined in the
27 procedural order, Board Staff has a few questions to ask of
28 the IESO at this time.

1 On November 26th, 2007, the IESO noted:

2 "...significant and ever-increasing demand on the
3 transmission system, particularly in the area of
4 the current proposal by Kruger."

5 Board Staff is seeking the following clarifications
6 from the IESO. I will just go through these one by one,
7 and you can answer as we go through them.

8 The first question is: What is the capacity of the
9 transmission system in the subject area?

10 MR. RATTRAY: We will have Ms. Constantinescu respond
11 on behalf of the IESO, and to assist everyone who is
12 present, by way of general background, she is the section
13 head of system capability and market and system operation
14 at the IESO. She is a professional engineer with over 25
15 years of experience in power system planning and
16 operations. In her current capacity of section head system
17 capability, she specifically manages the connection
18 assessment and approval process and transmission adequacy
19 assessments.

20 She is responsible for supervising and coordinating
21 work activities related to evaluating the impact on
22 reliability of new or modified connections to the IESO-
23 controlled grid, in accordance with the applicable market
24 rules, relevant technical standards and procedures.

25 She also supervises periodic assessments of
26 transmission system adequacy with respect to the IESO's
27 outlook reports.

28 MS. LONG: I'm sorry, just before we start is there

1 some way to raise the volume? We're having trouble hearing
2 down at this end.

3 MS. BINETTE: The microphones are on?

4 MR. RATTRAY: They are.

5 MS. HELT: I am not sure if there is a way to raise
6 the volume. Ted will just go and ask our technical person.
7 Maybe we can just take a...

8 MR. RATTRAY: We will endeavour to raise our voice.

9 MS. HELT: I am glad you raised that. It is important
10 for you to be able to hear the questions and the answers.

11 I am just going to take us off air for a few minutes
12 while we see what we can do about this issue.

13 --- Break taken at 9:50 a.m.

14 --- On resuming at 9:52 a.m.

15 MS. HELT: Perhaps we can just test this out.

16 MR. RATTRAY: Is this any better for you, gentlemen?

17 MR. PAQUETTE: Better, yes. Thank you.

18 MS. HELT: Okay, we are back on the record, then.
19 Perhaps I can go back to that first question, then, just to
20 remind you of what it was.

21 On November 26th, 2007, the IESO noted significant and
22 ever-increasing demand on the transmission system,
23 particularly in the area of the current proposal by Kruger.

24 The Board Staff is seeking certain clarifications.
25 The first clarification sought is: What is the capacity of
26 the transmission system in the subject area?

27 MS. CONSTANTINESCU: Before I ask -- I answer these
28 questions, I would like to clarify a couple of key points.

1 MS. HELT: Certainly.

2 MS. CONSTANTINESCU: When I will be referring -- in my
3 responses, when I will be referring to the subject area, I
4 will be actually talking about the two 230 kV circuits
5 between Chatham and Lauzon that are designated as C23Z and
6 C24Z.

7 And the second point, with respect to transmission
8 capacity, the focus in my responses will be on the
9 available transmission capacity on these two circuits, or
10 spare transmission capacity on the two circuits.

11 So with these two points in mind, to answer your
12 question, the current available transmission capacity in
13 the area of the Kruger proposal is 100 megawatts per
14 circuit for a total of 200 megawatts.

15 These transmission limitations are identified in the
16 transmission constraints matrix that is part of the
17 documentation that was published by the OPA for the
18 renewable energy supply number 3 procurement process, and
19 that was published in August 14th, 2008.

20 Prior to that, the IESO has been aware of limitations
21 in this area from previous similar transmission matrixes
22 that were published by the OPA from previous -- for
23 previous procurement processes.

24 Now, in the formulation of these transmission
25 matrixes, the IESO, Hydro One and OPA worked jointly
26 together and arrived to the numbers that are in the --
27 spelled out and listed in the matrixes, and those numbers
28 were developed in accordance with Hydro One, IESO and the

1 OPA.

2 MS. HELT: Thank you.

3 What IESO-identified system limits or restrictions are
4 there currently in the transmission system in the subject
5 area, as you define subject area?

6 MS. CONSTANTINESCU: This question was largely
7 answered in the previous response.

8 MS. HELT: Yes.

9 MS. CONSTANTINESCU: But the system limitations -- so
10 the available transmission capacity is currently limited to
11 a total of 200 megawatts.

12 The system limits, which is the maximum power that can
13 be transferred over the transmission lines under certain
14 system conditions, remains unchanged. That will remain
15 unchanged.

16 The spare capacity, however, that's left on those
17 circuits will be decreasing or will be actually used up by
18 -- if all of the generation proposals connect to those
19 lines.

20 The particular -- the specific geographical area is
21 very rich in renewable resources, and it is -- a number of
22 developers are competing for the capacity left on these two
23 lines.

24 And the procurement process that has -- the
25 procurement program that has been initiated by the OPA and
26 is currently under way RES III, we have seen under that --
27 that initiative, we have seen a lot of competition for
28 those circuits.

1 MS. HELT: Are there further system limits or
2 restrictions anticipated?

3 MS. CONSTANTINESCU: As new generation connects to
4 these circuits, it is expected that the available capacity
5 on the circuits will be decreasing.

6 So from that perspective, the available capacity in
7 the subject area will be reduced.

8 MS. HELT: If the KEI substation is connected to the
9 transmission system in the subject area, would it limit the
10 future access to the 230 kV lines by other persons, for
11 example, generators, distributors, transmitters or loads by
12 reason of (a) electrical capacity, (b) loading, (c)
13 physical space requirements or location, or (d) for any
14 other reason?

15 MS. CONSTANTINESCU: The Kruger Energy Inc. substation
16 in itself is essentially electrically neutral, the
17 substation in itself.

18 So if the substation is connected to the transmission
19 system without any load or generation connection --
20 attached to the substation, and this means there will be no
21 injection of power or withdrawal of power from the IESO-
22 controlled grid, and given that the IESO does not allow
23 transmission reservations for the substation, the
24 substation will be -- will not affect the connection of
25 other persons to the 230 kV line for reason of electrical
26 capacity or loading.

27 On the third point in your question, I cannot comment
28 on physical space, because it is outside my area of

1 expertise.

2 With respect to the last part of your question, in my
3 professional capacity, I cannot think of any other reasons
4 why the substation, in itself, only the substation, may
5 limit future access to the 230 kV line by others.

6 MS. HELT: All right. If KEI connects the substation
7 to the transmission system with no generation attached to
8 the substation, would there be an allocation of connection
9 rights and capacity by the IESO? And, if yes, and in the
10 event of limited transmission system capacity in the
11 subject area, how would the IESO meet its obligation to
12 take reasonable steps to ensure non-discriminatory access
13 to the IESO-controlled grid?

14 MS. CONSTANTINESCU: The answer to the question is
15 "no". There will be no allocation of connection rights or
16 transmission capacity by the IESO, if only the substation
17 connects to the grid with no generation or load attached to
18 the substation.

19 MS. HELT: Thank you.

20 Is it possible for the IESO to make the determination
21 in the question asked above -- dealing with the one that I
22 just asked you and that you indicated the answer was no,
23 there would be no allocation, can the IESO make the
24 determination in the absence of generation equipment
25 specifications?

26 MS. CONSTANTINESCU: As explained in the response we
27 provided to that question before, the substation in itself
28 is essentially electrically neutral.

1 So in a way, without doing an assessment, this is a
2 determination in itself, the fact that the substation is
3 essentially neutral and there will be no allocation of
4 transmission capacity.

5 It is, however, reasonable to assume that the
6 substation would be built in the view of connecting
7 generation of load to the IESO-controlled grid, providing
8 access to the IESO-controlled grid for generation or load,
9 and that it is the generation or load that might have an
10 impact on the system.

11 So in the absence of any technical specifications
12 associated with the generation and the load, the IESO will
13 not be able to carry out a feasibility study.

14 The least amount of information that the IESO requires
15 to perform a feasibility study is the amount and type of
16 generation attached to the substation, or the amount and
17 type of load attached to the substation.

18 In that case, the IESO could perform a feasibility
19 study. The outcome of the study will indicate if there is
20 an adverse impact on system reliability and if the
21 generation behind the station, would be contributed to
22 congestion in the general electrical area.

23 One point I would like to note here is that the
24 completion of the feasibility study will not mean
25 allocation of transmission capacity to the substation.

26 MS. HELT: Just for clarification. Has the IESO
27 received any information with respect to the generation
28 projects that have already been mentioned previously by

1 Kruger, and if so, would the IESO have any comment as to
2 whether or not those projects would limit others in their
3 access?

4 MS. CONSTANTINESCU: We have not received any
5 information from Kruger with respect to the generation
6 projects that they might propose to tie into the
7 substation.

8 MS. HELT: Thank you.

9 On November 26th, 2007 the IESO stated that the SIA
10 and CIA:

11 "...would be a value to the Board in determining
12 whether such a proposal will in fact have any
13 adverse impacts on the development and
14 maintenance of the IESO administered market."

15 Board Staff is seeking clarification of this statement
16 from the IESO. Specifically, what are the specific
17 outcomes of the SIA and CIA that would assist the Board in
18 determining whether the proposed substation has an adverse
19 or will have an adverse effect on the development and
20 maintenance of a competitive market?

21 MS. CONSTANTINESCU: The substation in itself, as I
22 mentioned before, is effectively electrically neutral. If
23 the Board is only interested in assessing the impact of the
24 substation only, in the absence of actual generation or
25 load connected to the substation, and recognizing that the
26 IESO does not grandfather transmission capacity to the
27 substation, an SIA would not provide any value to the
28 Board.

1 The IESO is not opposed to the substation, subject to
2 confirmation that the substation in itself would be built
3 in accordance with the technical standards, and is going to
4 comply to all of the applicable reliability -- market rules
5 and reliability standards.

6 It is, however, our understanding that the Board is
7 concerned with the impact of future generation of load that
8 may be connected behind the substation.

9 In this case, SIA would indicate what is the impact on
10 system reliability, and the possible effect on congestion
11 of the additional generation or load connected behind the
12 substation and that's where we thought that there will be
13 value to the Board in having an SIA completed.

14 Now, as I mentioned in the previous response, the
15 completion of the SIA is not going to confer any
16 transmission rights, transmission capacity rights, to the
17 substation.

18 MS. LONG: Madam Chair, if it's possible, am I able to
19 ask a question of clarification on that point or...

20 MS. HELT: Certainly.

21 MS. LONG: So if I understand your position correctly,
22 what you are saying is that the current SIA which has been
23 filed by Kruger Energy Inc., will really not be of benefit
24 as you are saying that it is, in fact, a neutral addition,
25 I guess, to the system and what the impact that you really
26 need is to see the generation that is going to be attached
27 to that substation? Is that a fair characterization?

28 MS. CONSTANTINESCU: That's correct.

1 MS. LONG: Okay. So would it be that you would need
2 to know 50 percent of the generation that would be
3 attaching to the substation? Or would it be that you would
4 need to know the full 100 percent of the projects that
5 we're going to connect in order to make an assessment?

6 MS. CONSTANTINESCU: In order to make an assessment,
7 we would need to know what it proposes, what's the final
8 proposal, what -- all of the generation it proposes to
9 connect to the substation.

10 It may be that you are choosing to bring that
11 generation in in stages, but we are interested in the
12 impact of the final stage of all of the generation it
13 proposes to connect behind the station.

14 MS. LONG: It would be the type of project, you know,
15 the type of energy -- I mean the type of source we'd be
16 looking at and the total amount?

17 MS. CONSTANTINESCU: It would be for the feasibility
18 study. To carry out the feasibility study, we would need
19 at least the type of generation and the size. The total
20 size of generation.

21 MS. LONG: And just for further clarification. If you
22 already had, let's say, generation applications in front of
23 you that you were assessing on an independent basis that
24 were now in the cue, could that information be transferred,
25 I guess? You're doing an assessment on the actual
26 generation project that then, I mean, is the effect there
27 going to be that cumulatively you could look at those
28 generation projects that you already have in the queue,

1 knowing that they may attach to this substation and be able
2 to do the assessment.

3 I guess I am trying to get a sense of timing. If you
4 already have SIA applications in front of you for current
5 generation projects, does that assist you, knowing that
6 they could connect to this substation?

7 [Ms. Constantinescu confers with Mr. Rattray]

8 MS. CONSTANTINESCU: It would be difficult, it is
9 impossible to do an SIA in the absence of having the actual
10 information of the facilities that connect to the station.

11 Based on former SIAs we have done for other projects,
12 we can assess what may be the spare transmission capacity
13 that is available.

14 So there are a number of SIAs that we have done for
15 the particular area, for this specific area, which indicate
16 what is the -- what's the impact of those particular
17 projects on to the system reliability.

18 Now, that impact is for that particular proposal and
19 it is specific to that proposal.

20 MS. LONG: So it is specific to that proposal as I am
21 assuming that it came into the queue and you are making an
22 assessment based on the actual proposal that came in, and I
23 guess what's come before it? Not what's come after it. Is
24 that fair?

25 MS. CONSTANTINESCU: It came into the queue and the
26 assessment that we did based on certain assumptions about
27 what was before the proposal into the queue, what was in
28 the queue before the proposal.

1 MS. LONG: Right.

2 MS. CONSTANTINESCU: So we do identify the impact of
3 the individual project, based on certain assumptions about
4 projects that are already considered to be in service.
5 Committed and/or in service. I am not sure I have answered
6 your question.

7 MS. LONG: I think you have. We're trying to get a
8 sense of timing from you. I mean, what we're hearing from
9 you is that the assessment of the substation itself is not
10 going to be helpful as an indicator what you need to do is
11 look behind and see the generation that would be connecting
12 to it.

13 I think what we're trying to get a sense of is, we
14 obviously know there are some projects that want to connect
15 there, so to the extent that the IESO has already done that
16 work, in considering those projects, is that information
17 that can be transferred when making an assessment about
18 generation that could be connected to the substation?

19 MS. CONSTANTINESCU: We use all of the information
20 that is available to us to do assessments, yes.

21 MS. HELT: All right, then.

22 I have one further question for the IESO with respect
23 to issue (a) as outlined in the procedural order.

24 Does a generation project that will connect through
25 the KEI proposed substation have any more right to
26 transmission capacity than a generation project that will
27 connect through a different but not yet constructed
28 substation?

1 MR. RATTRAY: Does your question presume the
2 construction of the KEI substation?

3 MS. HELT: If it were to be constructed, yes.

4 MS. LONG: I'm sorry, could you repeat the question?

5 MS. HELT: Sure. Does a generation project that will
6 connect through the KEI proposed substation, presuming it
7 has been constructed, have any more right to transmission
8 capacity than a generation project that will connect
9 through a different but not yet constructed substation?

10 MS. CONSTANTINESCU: I guess irrespective of the fact
11 that a generation project would be connecting through the
12 KEI station or through a future station, the right to
13 transmission capacity would be allocated based on the
14 commitment of the generation project.

15 It is not the substation itself that may be -- that
16 would be the trigger for allocation of transmission
17 reservations. It is a committed generation project.

18 The IESO queue for generation projects is a priority
19 list which gives generation proposals a queue position
20 based on their commitment to be constructed and to connect
21 to the grid.

22 A generation proposal is considered by the IESO to be
23 committed if they have a power purchase agreement with a
24 retailer, or they have a construction cost recovery
25 agreement with a transmitter.

26 These are the two -- these are -- one of these two
27 conditions have to be met by a generation proposal for the
28 IESO to be placing the proposal on their queue, on their

1 generation queue, and for the particular generation
2 proposal to be considered in our assessment of future
3 transmission capacity.

4 MS. BINETTE: Assuming the KEI proposed substation
5 comes -- is constructed, a generation project connecting to
6 it would need a CCRA, as well; is that your view?

7 MR. GAUTHIER: It is very difficult to hear. We are
8 missing 25 percent of everything. We have air-conditioning
9 here behind us.

10 MR. COOKSON: Air-conditioning behind us and --

11 MR. GAUTHIER: We don't understand 30 percent of what
12 you are saying. We don't understand your question. It is
13 unfortunate. I don't know if you can check this.

14 MS. HELT: Perhaps we can move -- we will just go off
15 the air for a moment.

16 --- Recess taken at 10:16 a.m.

17 --- Resuming at 10:17 a.m.

18 MS. HELT: I am just going to put us back on air.

19 Given that Kruger or KEI has indicated they weren't
20 able to hear some of the last questions and responses in
21 their entirety, I am going to ask: Would you like us, for
22 your benefit, to review or go over any of those specific
23 questions and answers, or is it all right to continue with
24 our questioning at this time?

25 MR. COOKSON: Maybe if Ms. Binette can just repeat the
26 last question?

27 MS. HELT: Yes, certainly.

28 MR. COOKSON: That would help a lot.

1 MS. BINETTE: Ms. Constantinescu, you indicated that
2 the IESO looks at whether a generation project has a power
3 purchase agreement, or whether there is a CCRA in terms of
4 assessing or setting up your queue; correct?

5 MS. CONSTANTINESCU: That's correct.

6 MS. BINETTE: So if a project has, I guess, the
7 equivalent of a CCRA with the proposed neutral KEI
8 substation, does that place them in the queue?

9 MS. CONSTANTINESCU: A CCRA is normally signed with a
10 transmitter, and it's a connection cost recovery agreement
11 by which the transmitter builds the connection from their
12 own transmission system to the borders of the generation
13 facility.

14 So based on this definition of the CCRA, I am not sure
15 if that's a mechanism that can be applied in this situation
16 with a substation that is proposed by Kruger Energy Inc.
17 It's not clear whether it is a transmission or it's a part
18 of a generation facility. That's where we're not clear.

19 The CCRA, it's the process that Hydro One uses to
20 perform the work for connection of facilities owned by
21 others and facilities that propose to connect to Hydro
22 One's system.

23 MS. BINETTE: Assuming there is two generation
24 projects side by side on the queue, both have, assume,
25 power purchase agreements, and one opts to put forward that
26 it would connect through this currently electrically
27 neutral KEI substation, and the other does not, is there
28 any advantage to the one that is proposing to go through

1 the KEI substation from your queuing process -- from your
2 assessment process?

3 MS. CONSTANTINESCU: We are looking at impact on
4 system reliability and the effect on congestion.

5 So as far as we are concerned, there will be no
6 difference of the -- from the three examples that you gave,
7 the comparison, the generator -- that, as I understand
8 correctly, both generators have power purchase agreements.
9 One proposes to connect its own transformer station and
10 hook up to the grid, and the other one proposes to connect
11 through Kruger's transformer station. That's the
12 comparison that you are asking for.

13 I don't see why we would treat the two generators
14 differently, as long as they are built in accordance with
15 the technical standards, and they meet all of the
16 reliability requirements and the market requirements, and
17 the substations themselves meet these requirements for
18 reliability.

19 MS. HELT: Those are Board Staff's questions for the
20 IESO with respect to the first issue.

21 We are going to ask the same question of Hydro One
22 with respect to issue A.

23 MR. ENGELBERG: Ms. Helt, may I ask a question here
24 that arises out of the --

25 MS. HELT: One of the IESO responses?

26 MR. ENGELBERG: The response.

27 MS. HELT: Unless there is an objection, certainly.

28 MR. ENGELBERG: Thank you. What I am trying to

1 understand is whether there is one queue or two queues. In
2 other words, if a generation project comes along and gets
3 to the stage where its impact on the system can be
4 determined and, let's say, there are two such projects,
5 does any choice accrue to the generator between choosing to
6 connect to the Kruger substation or choosing to remain in
7 the normal IESO queue?

8 I guess a question that would arise out of that is, if
9 there is only one queue, does Kruger have the ability to
10 present to the system proposed generators that wish to
11 connect to Kruger's substation and would they -- would such
12 generators get any time saving in their joining the system,
13 by choosing to connect to Kruger rather than by going
14 through the normal IESO process?

15 Are these two parallel processes going on all the
16 time? Or will the IESO be telling generators: Connect to
17 Kruger or connect here.

18 MS. CONSTANTINESCU: We wouldn't tell the generators
19 where to connect. This is, what you described here is very
20 hypothetical because a generator, when they come to the
21 IESO with an application, they present all of the
22 facilities that will allow them to connect and inject power
23 into the grid.

24 The facilities -- so they present a connection
25 proposal to the existing IESO grid facilities, not to what
26 may be hypothetically future IESO facilities.

27 From that regard, I would consider Kruger substation
28 as being a hypothetical future connection facility. So if,

1 for example, a generator would come to us with an
2 application and they would say we're going to connect to
3 Kruger substations, that would not be sufficient for us to
4 perform a system impact assessment because we don't have
5 any certainty on the building and connection of the Kruger
6 substation.

7 On the other hand, if a generator comes to us with a
8 plan to build a generating facility and the connecting
9 facilities to the existing transmission system, that
10 represents as far, as we're concerned, a complete project
11 and we would be assessing as such.

12 MR. ENGELBERG: If a generator had completed all of
13 the steps at a moment in time, would that generator then
14 have the ability to choose between connecting to the Kruger
15 station or the IESO system?

16 MS. CONSTANTINESCU: Again --

17 MR. ENGELBERG: Wouldn't the generator choose
18 whichever one became -- would give him the faster
19 connection?

20 MS. CONSTANTINESCU: If the substation would be built,
21 under the assumption that the substation, Kruger substation
22 is built, and connected to the grid, I mean it would be up
23 to the generator, I suspect, to choose a connection.

24 We would not be in a position to dictate or to advise
25 the generator on which is a better way to connect to the
26 grid.

27 MR. ENGELBERG: So does it arise out of that that the
28 generators that Kruger may have in mind right now, that

1 have expressed an interest in coming forward if the station
2 were built, may not be the ones that actually connect to
3 it. It may be people in the IESO queue that will be
4 connecting to the Kruger substation.

5 MS. CONSTANTINESCU: People in the IESO queue already
6 have system impact assessments done, already have power
7 purchase agreements with the OPA, they are committed
8 projects. When they apply -- and I am going to make just
9 an explanation here.

10 When a project applies to the OPA to participate in a
11 generation procurement process, the project has to be well-
12 defined, and by -- meaning by "well-defined," they have to
13 indicate the exact point of connection to the existing
14 transmission system.

15 The OPA goes through their selection process, and they
16 choose the projects, they allow contracts to a number of
17 projects based on the capacity of the system.

18 Once those projects have a contract with the OPA, they
19 go into the IESO queue. They are more or less considered
20 by the IESO to be committed.

21 So right now, in the current infrastructure, the way
22 things work right now, I cannot see how a project might
23 have a PPA and not connect to the grid. Unless we're
24 talking about the RESOP projects, the standard offer
25 projects, which they're connecting to the distribution
26 system. There are different rules that govern those
27 projects. They're not allowed to connect to the
28 transmission system.

1 They have to have a connection to the distribution
2 system. They have to have a contract to the distributor.
3 They have to follow all of the processes that the
4 distributor requires them to, all of the connection
5 processes the distributor requires them to go through.

6 The IESO does not see the RESOP projects, the standard
7 offer projects, which are 10 megawatts or less and
8 connected to the distribution system. We don't carry out
9 assessments for those individual projects.

10 So those are a group, they have their own
11 characteristics, the structure is set up in such a way that
12 it is between the project, the OPA, and the distributor.

13 The IESO and the transmitter. The transmitter, I
14 don't want to speak for Hydro One, but I don't think that
15 the transmitter sometimes may not need to get involved in
16 the connection of the embedded generators.

17 My counsel here is advising me that I should clarify
18 that a project that is already in the queue, and I guess
19 that is what your question was asking, what you were
20 asking. A project that is already in the queue would
21 not -- could not switch to connect to the Kruger substation
22 because they're already defined project. They already
23 assumed that they are built in a certain fashion, and that
24 is what we approved.

25 MR. HUBERT: If I may follow up. Ms. Constantinescu
26 stated that for capacity allocation on the IESO queue, the
27 IESO would need to see a CCRA executed.

1 Just for clarification here. if there were a
2 generation project that were to be connecting to the KEI
3 proposed substation, who would be the parties to such a
4 CCRA, to enable that generation project to gain a queue
5 position?

6 Is the CCRA between the generator and KEI? Or between
7 KEI and the licensed transmitter or some other permutation?

8 MS. CONSTANTINESCU: A CCRA is signed between a
9 licensed transmitter and the generator for connection, and
10 that is the type of agreement that we are looking for, to
11 make the determination that the project is committed.

12 MR. HUBERT: Thank you. I think I will need to follow
13 up on that a little later to understand how such a CCRA
14 will take place, but I will hold my questions, thank you.

15 MR. ENGELBERG: I will ask one final question arising
16 out of it. We don't have a licensed transmitter here. So
17 how would the CCRA be signed in the IESO's view?

18 MS. CONSTANTINESCU: I guess I don't have an answer to
19 that. Maybe...

20 MR. RATTRAY: From our perspective, Mr. Engelberg, it
21 is one of the issues that are directly raised by this
22 proceeding. It is not entirely clear at this point what
23 Kruger has -- is proposing for enabling or facilitating
24 other generation projects to connect through its proposed
25 substation.

26 But from the application as filed, it appears that
27 they are arguing that they are claiming to be exempt from
28 the requirements to be a licensed transmitter on the basis

1 that they are a generator, to connect -- to construct a
2 facility to connect ultimately to the Hydro One 230
3 circuits.

4 In that regard, you would expect them, as a generator,
5 to have to enter into the appropriate connection agreement
6 with Hydro One, with respect to making the connection of
7 specific generation projects through the substation into
8 the Hydro One circuits.

9 But I fully agree that it is not entirely clear at
10 this point as to how they're proposing to proceed.

11 MR. ENGELBERG: Well, I guess we will hear more about
12 that later, from Kruger, but my understanding was -- and I
13 don't want to characterize what it is that Kruger is
14 proposing -- that they are not applying as a generator, but
15 that they are, rather, exempt from the requirement to
16 obtain a licence on the basis that they will be offering
17 access to other generators at a cost basis.

18 And, therefore, they would be more in the nature of an
19 unlicensed transmitter, if there is such a thing, than a
20 generator. But perhaps we will hear more about that later.

21 MS. HELT: Yes, I think that is correct.

22 Just to go back, then, to our questions from Board
23 Staff with respect to issue A, we have asked our questions
24 of KEI and of the IESO. We have a similar -- one question
25 to ask of Hydro One, and it is similar to the last question
26 we asked of the IESO; and that is, specifically, if the SIA
27 and CIA would be of value to the Board in determining
28 whether the proposal will in fact have any adverse impacts

1 on the development and maintenance of the IESO-administered
2 market.

3 If Hydro One has any clarification it can provide to
4 the Board on this issue, it would be helpful.

5 MR. HUBERT: I would assume that an SIA and CIA would
6 provide significant information about what the nature of
7 the proposals are that are connecting to the IESO-
8 controlled grid, and at that point you would be able to
9 establish what is behind the facility that the IESO
10 described as electrically neutral at this time.

11 However, I think there are also -- I think your
12 question goes to the heart of the matter, the development
13 and maintenance of the competitive market, and I would
14 suggest that there are implications even if there is no CIA
15 or SIA in place yet, because there could be connections
16 being made at any time.

17 We don't really understand what the proposal is for
18 how generators would be proposing to connect to the
19 facility and whether they would be seen as distribution
20 connected or just transmission connected. If they are
21 distribution-connected generators, the IESO has stated that
22 they would not be involved at the same level, and therefore
23 the distribution assessments would need to take place.

24 MS. HELT: Thank you.

25 All right, then, we will move on to issue B, and Board
26 Staff has questions for KEI with respect to the proposed or
27 the future operation of the proposed substation.

28 There are three questions, with a few parts to each

1 question, in total. Perhaps after Board Staff finishes
2 asking those questions and if there are any follow-ups, we
3 could take a break, and then we could proceed with
4 questions from the IESO and Hydro One.

5 On September 11th, 2007, KEI stated that, quote:

6 "It will allow other projects unrelated to KEI to
7 access the substation provided those proponents
8 are willing to contribute to the costs KEI incurs
9 in construction and the ongoing reasonable costs
10 of operation, provided KEI is able to connect its
11 contemplated generation project or projects."

12 We are seeking clarification from KEI on a couple of
13 issues. Firstly, does KEI propose to connect KEI and KEI-
14 affiliated generation facilities before other generation
15 projects?

16 MR. COOKSON: The short answer is "yes".

17 MS. HELT: Can you give any further specifics with --

18 MR. COOKSON: We plan to use 40 percent of the
19 capacity of the substation, which is currently proposed at
20 100 megawatts, leaving the remainder available for other
21 potential future generation projects.

22 MS. HELT: Will KEI retain any capacity for itself on
23 the substation in anticipation of future KEI or KEI-
24 affiliated generation projects, rather than making it
25 available to other generation projects that are in a more
26 advanced stage of construction and connection readiness?

27 MR. COOKSON: The short answer, again, to that one is
28 "no". We expect that the 40 megawatts of generation

1 projects we are proposing would be ready to connect at the
2 time the substation was complete, and, therefore,
3 interconnection capacity would not be held in waiting.

4 Projects beyond -- our projects beyond the 40
5 megawatts would adhere to the same process as other
6 projects proposing to connect at the substation.

7 MS. HELT: On November 19th of 2007, KEI stated that,
8 quote:

9 "The process by which generation customers will
10 be allotted the transformation capacity of the
11 substation will be similar to the queuing process
12 established by Hydro One Networks Inc.; that is,
13 first come, first serve basis."

14 Board Staff is asking KEI to explain, in more detail,
15 how the proposed process will be similar and/or dissimilar
16 to the Hydro One process.

17 MR. COOKSON: I am not an expert in the Hydro One
18 process, so I will try to explain to the best of my
19 abilities. It would be on a first come, first serve basis.

20 However, we would want the queuing process to identify
21 projects with a certain -- that it demonstrated a certain
22 readiness to move forward. So that could include such
23 things as having secured land under option agreements.
24 That could include having access to wind turbine generators
25 through binding letters of intent. That could include
26 demonstration of having moved through various permitting
27 processes.

28 But, again, KEI is very open to any -- any other ideas

1 which could facilitate viable, feasible, mature projects
2 moving through that process. We are not experts in this
3 type of process, so we are open to any suggestions.

4 MR. HUBERT: If I may interject for a moment just to
5 clarify, Hydro One's queuing processes are in accordance
6 with the Distribution System Code, and that is the process
7 Hydro One has implemented. So that falls back to the
8 distribution side.

9 MS. HELT: Right.

10 MR. COOKSON: I'm sorry, I missed that over here.

11 MR. HUBERT: Sorry, Mr. Cookson. I was just
12 clarifying that Hydro One's queuing processes comply with
13 the Distribution System Code, so in terms of the details of
14 what those processes are, that's where you would find the
15 obligations on a distributor.

16 MR. COOKSON: Okay, thank you.

17 MS. HELT: And just to follow up on that point, then,
18 what would be the obligations for a transmitter?

19 MR. HUBERT: That would fall to the IESO queuing
20 process. We would follow the IESO connection process,
21 which Ms. Constantinescu has described earlier.

22 MS. HELT: Right.

23 MR. HUBERT: Our role would be primarily the customer
24 impact assessment in that piece and following Hydro One's
25 filed connection procedures in accordance with the
26 Transmission System Code.

27 MS. HELT: Thank you.

28 MR. COOKSON: If I could just add that we would be

1 open to having another body administer that queuing
2 process. It is not something that we are experts in, so we
3 would be open to having that process administered by
4 another body, an independent body.

5 MS. HELT: Thank you.

6 One final question. On November 5th, 2007, KEI
7 advised the Board that it is, quote, "in the negotiation
8 process of a memorandum of understanding with Aim
9 PowerGen."

10 Board Staff is seeking some clarification with respect
11 to that. Specifically, is the negotiation consistent with
12 the proposed queuing process which you mentioned in answer
13 to the previous question?

14 MR. COOKSON: Just a minute.

15 That's a good point. Just to clarify, the current
16 situation.

17 The negotiations with AIM in this case never -- were
18 not conclusive, never ended up in a file memorandum of
19 understanding. That's just to clarify the current
20 situation.

21 We do believe it is consistent with our proposed
22 queuing process, in that any generators moving forward with
23 us in this initiative and assuming a level of commercial
24 risk in the construction of the substation, we believe
25 could be allocated or should be allocated a certain amount
26 of interconnection capacity, because they're moving forward
27 with us -- and the commercial risk of building the
28 substation as opposed to waiting until it is built and then

1 queuing for it.

2 MS. HELT: All right. One further question. How is
3 the negotiation and the proposed memorandum of
4 understanding consistent with the development and
5 maintenance of a competitive market?

6 MR. COOKSON: I guess that's the fundamental question
7 here.

8 We see, in our original proposal, connecting less than
9 half of the capacity available on the proposed substation.

10 We don't have any potential partners right now. We
11 originally started this venture when we met with Chatham-
12 Kent Hydro and it was they, actually, that floated the
13 initial idea of addressing this need of interconnection,
14 this distribution level generation interconnection
15 capacity.

16 But right now we don't have any partners, so it is
17 difficult for us to answer the question based on a
18 hypothetical situation.

19 What we know is we have four projects we would like to
20 interconnect, and we are proposing a -- what we think is a
21 potential solution to connect those projects, as well as
22 other projects. So we are taking less than half of the
23 capacity on the proposed substation.

24 I hope that answers your question.

25 MS. HELT: Yes. Just a moment, please.

26 Other than perhaps some follow-up questions that the
27 Board Staff will have after the IESO and Hydro One proceed
28 with their questions, those are the -- that concludes the

1 bulk of the questions from Board Staff, with respect to
2 issues A and B.

3 At this time, it is quarter to 11:00, it seems like it
4 would be a good time to take a break and when we return,
5 then, we can start with questions from the IESO, if
6 everyone is in agreement with that? So I would suggest we
7 break for 15 minutes or 20 minutes. Why don't we say 20
8 minutes and we will come back after five past 11:00.

9 Thank you.

10 --- Recess taken at 10:45 a.m.

11 --- Upon resuming at 11:11 a.m.

12 MS. HELT: We are back on the record.

13 With everyone's indulgence, Board Staff would just
14 like to ask Kruger a few questions just to try and clarify
15 a few particular matters which we think might be of benefit
16 on a going-forward basis for the rest of today's questions
17 that will be asked.

18 Kruger, you stated that you had four SOP projects that
19 weren't able to carry forward or that were frustrated
20 because of a lack of connection capacity on the
21 distribution system.

22 We haven't really heard much about those four specific
23 projects. Are the 40 megawatt projects -- MW projects that
24 you referred to in your previous answers with respect to
25 capacity and queuing, are those the same projects when you
26 refer to your four projects?

27 MR. COOKSON: Yes. They're four times 10 megawatt
28 projects.

1 MS. HELT: All right. And do you still plan to seek
2 SOP contracts for these projects?

3 MR. COOKSON: Ultimately -- well, with how the rules
4 stand today, yes.

5 MS. HELT: SOP projects need to be connected to a
6 licensed distributor's distribution system. However, the
7 substation as proposed is not going to be part of a
8 licensed distributor's distribution system.

9 So, therefore, how does this proposed substation help
10 connect the KEI SOP projects?

11 MR. COOKSON: That's a very good question.
12 Ultimately, what we were hoping to do and what had been
13 discussed with Chatham-Kent Hydro at the time was
14 transferring the substation to Chatham-Kent Hydro's
15 ownership, and, as a licensed distributor, they would then
16 fit into that -- the definition through -- in the OPA's
17 RESOP rules.

18 But, again, these are all hypothetical situations
19 which it is difficult to comment on today.

20 MS. HELT: Okay. All right.

21 If you are only proposing 40 megawatts, the four times
22 10 megawatts, why are you proposing to build a 100 megawatt
23 substation? What's the purpose of building a 100 megawatt
24 substation?

25 MR. COOKSON: The answer to that question actually is
26 sort of found in all of the filings that have been made to
27 date.

28 We had originally identified -- the first meeting that

1 we had with Chatham-Kent Hydro included another -- a number
2 of other proponents in the area. Chatham-Kent invited
3 those proponents to the meeting to discuss this need.

4 It was in the context of that meeting that a specific
5 number of projects, within a certain distance from the
6 proposed location, were identified by the proponents. So
7 that number was a function of that discussion.

8 MS. HELT: So it is based on -- just so I am clear, on
9 other projects that might amount to the need being 100
10 megawatt?

11 MR. COOKSON: The need that we had identified, to the
12 best of our capacity at the time, working -- or in
13 discussions with Chatham-Kent Hydro and other proponents in
14 the area, yes.

15 MS. BINETTE: Mr. Cookson, if you have detailed
16 information on the four projects that you are proposing, as
17 well as perhaps some information on the projects of the
18 other parties, could you have put that information together
19 in an SIA application so that there was detailed
20 information sufficient for the IESO to carry forward an
21 assessment?

22 MR. COOKSON: Well, yes, yes. We have the --
23 obviously the information on our projects.

24 The information about the other projects, we would
25 have to work in collaboration with these other promoters,
26 but I believe we could.

27 MS. BINETTE: Now, an application was filed in
28 February. Was that -- at least the information that you

1 have on your projects, was that provided in that
2 application?

3 MR. COOKSON: It was not provided. The application we
4 made to the IESO was with respect to just the transformer
5 substation and not the generation projects that would
6 ultimately be connected to it.

7 The first step we wanted to take was the regulatory
8 step with the OEB with respect to that transformer
9 substation, because our counsel, in fact, at the time
10 advised us that having an affiliate as a generator in the
11 area -- we recently completed construction of the 100
12 megawatt Port Alma wind farm in the vicinity, you may or
13 may not be aware of.

14 Our counsel advised us that we needed to file under
15 this section 81 for the transformer substation, because we
16 had this other affiliate as a generator in the area.

17 MS. HELT: All right. Thank you very much. Mr.
18 Rattray.

19 **QUESTIONS BY MR. RATTRAY:**

20 MR. RATTRAY: Thank you.

21 I assume you have had an opportunity, Mr. Cookson, to
22 review the questions that the IESO previously filed with
23 your counsel?

24 MR. COOKSON: Yes.

25 MR. RATTRAY: Okay.

26 We will go through that list and I will ask
27 supplemental questions as appropriate, depending upon your
28 response and based on some of the statements you have made

1 this morning.

2 Turning to question 1, in your notice of proposal in
3 section 1.5.1, you made a statement that indicated that the
4 project will connect future generation projects, and then
5 in a subsequent section, 1.5.4, you indicated that it may
6 in future connection facilities to the grid.

7 There is an apparent inconsistency between those
8 statements. Is that simply a poor selection of words, or
9 is there anything that we can take from the change in
10 language?

11 MR. COOKSON: Well, I guess what I can say is that
12 Kruger expects to connect future generation projects,
13 either of an affiliate of KEI or other generation
14 facilities.

15 MR. RATTRAY: Okay. Is the statement in section
16 1.5.4, which is conditional, that it "may" connect
17 generation facilities, an acknowledgement that the approval
18 of the substation will enable KEI to also provide
19 transmission services?

20 MR. COOKSON: I guess that depends on the definition
21 of "transmission services", but we would -- ultimately, we
22 would plan to transfer the substation to a licensed
23 transmitter.

24 MR. RATTRAY: So your plan is to transfer it to a
25 licensed transmitter?

26 MR. COOKSON: Well, in fact our plan is to try to
27 connect our four generation projects. We are not a
28 transmitter and we don't plan to become one.

1 We just want to connect our four 10 megawatt projects.
2 The substation, in the end, is not our goal. Our goal is
3 to connect our four projects.

4 MR. RATTRAY: Well, I think we will get into that in
5 greater detail a little bit later when we ask some
6 questions about your proposed value-based transfer.

7 MR. COOKSON: Sure. If you just give me a moment
8 here?

9 [Mr. Cookson confers with Mr. Gauthier]

10 MR. RATTRAY: All right. Now, in section 1.5.4, does
11 this reflect the requirement that any future generation
12 project to be connected to the IESO-controlled grid will be
13 required to comply with a connection assessment and
14 approval process?

15 I want to understand how you foresee this working.

16 Assume you are approved to have this substation
17 constructed. Would all future generation projects that are
18 going to connect through your substation -- will they have
19 to go through the IESO connection assessment and approval
20 process?

21 MR. COOKSON: Well, we understood from this morning's
22 answers -- again, I am not an expert in the interconnection
23 approval process, but we understood this morning that any
24 generation projects would be subject to a process, whether
25 it be at the transmission level or the distribution level.

26 But again, we would like to connect our four projects.
27 We would like to transfer the substation to Chatham-Kent
28 Hydro and we would like to do so in the most -- in the way

1 that would best maintain the competitive nature of the
2 market and, again, we are open to any suggestions in that
3 regard.

4 MR. RATTRAY: Okay. So can I take it, then, that you
5 are acknowledging that the requested approval of the
6 substation, in and of itself, would not grant any
7 entitlement to connect specific generation projects to the
8 IESO-controlled grid through that substation?

9 MR. COOKSON: That would be up to the IESO. We heard
10 from Barbara earlier that it would take a -- I think it was
11 a CCRA, and/or a PPA to allocate transmission capacity.

12 So that's not really a question that I can answer.

13 MR. RATTRAY: Well, no. I want to be clear on what it
14 is you are seeking, in terms of an approval for this
15 substation.

16 Specifically, do you agree that if you are granted the
17 opportunity to construct this substation, that approval
18 does not grant an entitlement for any specific generation
19 projects to be connected through that substation?

20 MR. COOKSON: Again, that is what I under understood
21 from Barbara's answer this morning.

22 MR. RATTRAY: You don't dispute that?

23 MR. COOKSON: Well, I mean ... yes, I can't really
24 answer that question.

25 Obviously we are not building the substation for
26 nothing. We are building it because we think we would like
27 to connect our projects to it and we would like to open up
28 some interconnection capacity for other developers in this,

1 as was mentioned before, wind resource-rich area.

2 But I mean, that is a question for the IESO to answer.

3 I believe Barbara answered it this morning. We would
4 -- we recognize the commercial risk moving forward with
5 this venture that you are highlighting here. But I can't
6 answer a question that is really the jurisdiction of the
7 IESO.

8 MR. RATTRAY: All right.

9 MR. GAUTHIER: Just a second, please.

10 [Mr. Gauthier and Mr. Cookson confer]

11 MR. COOKSON: My colleague makes...

12 My colleague raises a good point, that we are not
13 there yet in terms of our reflection. What we proposed
14 here was with respect to the substation and with respect to
15 the projects that we would like to bring on line.

16 So we don't really -- I guess we don't know the rules
17 that would apply in that particular case. And I guess it
18 is not really for us to comment on rules we don't have a
19 full understanding of.

20 MR. RATTRAY: All right. That's a good segue to the
21 next question.

22 You stated that the proposal will not adversely affect
23 the development and maintenance of a competitive market.

24 Is this based on your limited understanding of the
25 rules and connection procedures?

26 MR. COOKSON: No. I think, in fact, that we expect
27 that our generation projects would be connected to the
28 substation and that other generation projects would be --

1 would ultimately be connected, as well. So we would be
2 taking less than half of the capacity on the facility that
3 we are proposing.

4 MR. RATTRAY: So what is the competitive market you
5 have in mind when you say it will not be adversely
6 affected? Is it the IESO-administered market?

7 Is it a competitive market to obtain access to the
8 transmission system?

9 MR. COOKSON: Again, I don't think it is our -- a
10 generator's role to define what the competitive market is.

11 I think it is our role to say that we're open to
12 whatever mechanism would provide the most competitive
13 access to the balance of the megawatt capacity on the
14 station.

15 I think there are other people in this room that are
16 far better positioned to answer what it would take to
17 maintain that competitive market.

18 We just, again, we would like to connect our four
19 projects to the grid, and are open to the most -- the most
20 fair and equitable and competitive way to connect the
21 additional projects to the grid.

22 MR. RATTRAY: All right. On that point, would you
23 accept that there is commercial risk associated with the
24 construction of the substation, given the IESO's position
25 that construction of the substation in and of itself would
26 not grant any grandfathering or reservation of capacity on
27 the transmission system?

28 MR. COOKSON: Yes, we understand that.

1 MR. RATTRAY: Now, in answer to Board Staff
2 Interrogatory No. 5, which was a question in relation to
3 whether or not a transformer licence would be required, KEI
4 advised that it takes the position that it is exempt under
5 the OEB Act under regulation 161/99.

6 I would appreciate if you could clarify and elaborate
7 on the basis of the requested exemption.

8 MS. LONG: With the panel's -- I am hoping, John, I
9 can comment on this from a legal aspect and my client is
10 happy to add to it if you have any specific questions.

11 MR. RATTRAY: Certainly. We would like to have some
12 clarity as to what is the basis that you are claiming to be
13 exempt.

14 MS. LONG: Right. I think from a general overview
15 from what Mike said this morning, just to understand the
16 project. I mean, this is a project that KEI had a
17 discussion with Chatham-Kent about, decided that there was
18 a need, saw a need that could be fulfilled and, you know,
19 was hoping to partner with other people in order to do it.

20 I think what Mike said is that they do not intend to
21 operate the substation or become a transmitter.

22 So, you know, with that in mind, when we filed this
23 notice of proposal back in July of 2007, we also wrote to
24 the chief compliance officer at the OEB and said, We are
25 concerned that we may have to take on the obligations for
26 being a transmitter, or a distributor, because at that
27 point we were generally thinking about the project. Here's
28 how we think we are exempt because of the small amount of

1 activity that we are going to take on as a transmitter.

2 And we think we should be exempt.

3 I am happy to go through the exemption with you - as
4 to why we think we are exempt - but you know ultimately it
5 will be up to the chief compliance officer to decide
6 whether or not we are taking on activities that don't fall
7 within that exemption. So do we not own land in which
8 we're constructing the transmission asset? Are we not just
9 conveying into the IESO electricity grid?

10 Ultimately that will be their determination, and we
11 are happy to have further discussions down the road about
12 this, but I think we are still at the initial stages of, Is
13 this a project that is viable and that we are going to be
14 allowed to do?

15 The ultimate goal of KEI is not to become a
16 transmitter and not to operate the substation, but to
17 transfer it.

18 So I mean, to the limited extent that before it can
19 transfer it, it is taking on any type of transmission
20 activities, then we run into the issue where we do think we
21 should be exempt. But the ultimate goal here is not to be
22 a transmitter, that is taking on these responsibilities.
23 And that's the basis for our request for an exemption.

24 MR. RATTRAY: All right. We understand you ultimately
25 do not want to be a transmitter. But can you come back to
26 the specific question and provide some clarification.

27 Are you claiming that you are a generator in
28 transmitting electricity only for the purpose of conveying

1 it to the IMO-controlled grid?

2 MS. LONG: That's what we expect that we will be
3 doing, or that we would fall under 4.0.21(a) that we would
4 own or operate a transmission system entirely or partially
5 located on land where an industrial or commercial building
6 is located.

7 I mean, I think, you know, in discussions with the
8 chief compliance officer on whether or not we fit, we will
9 look at the specifics of what the project actually
10 materializes into being.

11 I think the parties around this table have to decide
12 what their concerns are and we are willing to address them,
13 instead of, you know, focussing on whether or not we fit
14 into a regulation.

15 As you know, there is discretion to create other
16 regulations in order to meet specific circumstances. We
17 are not saying that that is where we want to go. We think
18 we are going to be doing very limited transmission
19 activity.

20 MR. RATTRAY: Can I take it, then, that it is KEI's
21 position that in order to be eligible under this claimed
22 exemption, KEI would be required to comply with all
23 applicable generator, regulatory and licensing
24 requirements?

25 MS. LONG: As a generator, they will obviously have to
26 adhere to their licence conditions, and, you know, their
27 plan is to apply to become a generator and be licensed,
28 and, as such, will be required to follow the rules and

1 regulations that any generator must.

2 MR. RATTRAY: In response to Board Staff Interrogatory
3 15, which was a question with respect to whether
4 construction of the substation would limit the access of
5 other parties, KEI responded with its estimates of
6 available capacity.

7 Can you provide an update to the answer you provided
8 in November of 2007?

9 MR. COOKSON: Sorry, can you repeat the question?

10 MR. RATTRAY: Well, in response to Board Staff
11 interrogatory 15, I didn't see an answer to the specific
12 question as to whether the construction would limit access
13 of other parties to the 230 kV transmission lines.

14 MR. COOKSON: Okay, I understand.

15 At the time of the filings, we had had discussions
16 with both HONI and the IESO with respect to the capacity
17 available on the lines. In fact, it was the OEB that asked
18 us to -- for clarity on these questions. So we had
19 discussions with IESO and HONI with respect to the capacity
20 on those lines.

21 At the time, we were led -- I would say led to
22 understand that there was approximately 400 megawatts of
23 capacity available on the lines, which would correspond to
24 the transmission constraints matrix from RFP 2.

25 MR. RATTRAY: All right. It's little repetitive
26 perhaps to some of the earlier questions, but I do want to
27 be clear. Is it KEI's position that approval of the
28 project reserves capacity on the transmission lines

1 notwithstanding the lack of specific committed generation
2 projects?

3 MR. COOKSON: I think I have answered that question a
4 couple of times now.

5 MR. RATTRAY: Well, I have yet to have a definitive
6 answer from KEI that you either accept that you cannot
7 reserve capacity by virtue of having the substation
8 approved, or not.

9 I think that really is one of the key issues for this
10 proceeding, and it is necessary that we know what KEI's
11 position on this is.

12 MR. COOKSON: I have to say that I don't -- I
13 provided, to the best of my abilities, the answers to that
14 question that was previously stated. And I can't -- I
15 can't answer it any more clearly.

16 I don't -- the question was answered, I believe, by
17 Barbara earlier as to how the IESO allocates transmission
18 capacity. And, again, I don't even have an understanding
19 of all of the rules to properly answer that question.

20 I think the IESO has a better understanding.

21 MR. RATTRAY: So you would accept the IESO's position
22 on this?

23 MR. COOKSON: I think we would have to -- maybe Mr.
24 Gauthier can answer. I don't think I have anything else to
25 add.

26 MR. RATTRAY: Turning now to the future operation of
27 the proposed substation, in your response to Allus Power's
28 interrogatory, or in response to Allus Power, KEI stated

1 that your objective is to make a value-based transfer of
2 the substation back to Chatham-Kent Hydro, if Chatham-Kent
3 Hydro is amenable.

4 It also said that you will allow other unrelated
5 projects to access the substation provided they contribute
6 to the construction costs, ongoing reasonable costs, and
7 provided KEI is able to connect its contemplated generation
8 projects.

9 I would appreciate your clarification of what you mean
10 by a value-based transfer in relation to the reasonable
11 costs of constructing the substation.

12 MR. COOKSON: That term there was first introduced
13 when we considered the ongoing costs of the substation
14 itself, so we were actually thinking of the leased parcel
15 of land, so whatever the lease costs would be for the
16 period of time that the substation was in operation.

17 MR. RATTRAY: So by that, is it all to be based on the
18 costs associated with the development of the substation?

19 MR. COOKSON: Again, the value-based transfer was with
20 respect to the transfer to C-K Hydro, and we figured if we
21 were transferring, giving the substation to Chatham-Kent
22 Hydro, that they could assume the costs of the land lease
23 under -- the minimal costs associated with the land lease
24 for which the station sits.

25 MR. RATTRAY: Okay. And the distinction I am drawing
26 is costs are obviously one aspect of it, and, by your
27 response, it sounds like you're talking about Chatham-Kent
28 assuming the costs associated with the lease of the land.

1 When you use the term "value-based", it suggests that
2 there is a market rate that you are looking for.

3 MR. PAQUETTE: If I may intervene, I think you are at
4 the level of detail that we are not ourselves. I think the
5 whole intent of that concept was to ensure that as we are
6 acquiring some significant costs in the establishment of
7 the building of the substation, we have a means of being
8 able to recuperate those costs.

9 Now, how will that be done? I don't think we have
10 defined the details of it at this stage. We want to get an
11 understanding if this is doable or not, and then we will
12 get into that level of detail, basically.

13 MR. RATTRAY: But to come back to my concern, is there
14 any distinction, then, between it being based on costs and
15 going for a value-based transfer, which I interpret as
16 being looking for a market rate of return?

17 I mean, if you bought the land for \$1 million, are you
18 looking to sell it for current market rate of 2 million or
19 are you simply looking to recover your costs of 1 million?

20 MR. PAQUETTE: I think we have answered on that that
21 we want to recuperate costs, period.

22 MR. RATTRAY: Has KEI also considered transferring the
23 substation to Hydro One?

24 MR. COOKSON: At the time -- we initially had
25 discussions with Chatham-Kent Hydro. We have not had any
26 discussions with Hydro One regarding the transfer of the
27 substation.

28 MR. RATTRAY: Okay. Why not?

1 MR. COOKSON: Why not? Because the discussions we had
2 were with Chatham-Kent Hydro.

3 MR. RATTRAY: So it's nothing other than you first
4 discussed it with Chatham-Kent?

5 MR. COOKSON: Well, initially it was in a meeting with
6 Chatham-Kent Hydro that the idea was floated and that
7 was -- those constitute the discussions that we have had to
8 date.

9 MR. RATTRAY: So you wouldn't be opposed to discussing
10 it with Hydro One?

11 MR. COOKSON: I can't see any reason why we would be
12 opposed. Again, our goal is to connect our projects to
13 the...

14 MR. RATTRAY: Certainly. Towards that, have you
15 considered transferring ownership and operation of the
16 substation to a transmission affiliate?

17 MR. COOKSON: We have not considered transferring
18 ownership of the substation to a transmission affiliate.

19 MR. RATTRAY: Why not?

20 MS. LONG: Can I be clear. When you say a transformer
21 affiliate, do you mean a KEI transmission affiliate?

22 MR. RATTRAY: A Kruger.

23 MS. LONG: Just so we are clear on that.

24 MR. COOKSON: No, we have not considered that. Our
25 intent is not to become a transmitter.

26 MR. RATTRAY: Is it fair to say that the construction
27 costs that would be recovered from other participants in
28 the project are restricted to reasonable costs?

1 MR. COOKSON: Yes.

2 MR. RATTRAY: And is it intended that KEI projects
3 have priority access to the substation?

4 MR. COOKSON: I think we have already answered that
5 question; that we would reserve 40 megawatts or 40 percent
6 of the proposed capacity.

7 MR. RATTRAY: Then you would be required to make
8 application for the approval of the IESO to connect those
9 projects to the IESO-controlled grid.

10 MR. COOKSON: Again, we would follow whatever rules
11 are in place.

12 MR. RATTRAY: What disclosure have you contemplated to
13 provide to proponents of other projects in order to allow
14 them to assess the reasonableness of the construction and
15 operating costs?

16 MR. COOKSON: As Mr. Paquette mentioned, we haven't
17 gone into that level of detail at this stage. We are -- we
18 would like to have the substation approved, but clearly the
19 most transparent mechanism.

20 MR. RATTRAY: You wouldn't be opposed to a completely
21 transparent mechanism that allowed --

22 MR. COOKSON: Not at all.

23 MR. RATTRAY: -- the project proponents to make that
24 assessment as to whether the costs are reasonable and
25 assess the option of perhaps contracting directly with
26 Hydro One?

27 MR. PAQUETTE: Definitely. These are very good
28 questions but obviously if I may say candidly, we are not

1 there. We want to see if this project is doable on a
2 regulatory standpoint, and then we would get into those
3 levels of details which I think need to be answered. But,
4 the answer is yes to your question.

5 We would be reasonable in all of these costs.

6 MR. RATTRAY: Have you contemplated a role for the OEB
7 in relation to determining the value-based transfer and
8 reasonable costs?

9 MR. PAQUETTE: Well, again, you are a step ahead of
10 us. Whatever needs to be done in terms of the regulatory
11 process, we will follow it. But we are not there yet.

12 MR. RATTRAY: All right.

13 In the absence of the substation being transferred in
14 the short term, what agreements, if any, do you propose to
15 enter into with Hydro One and/or the IESO in relation to
16 the operation of the substation?

17 MR. PAQUETTE: Again, the same answer. I would have
18 to defer to our counsel, if we can give you more
19 information about that. But...

20 MS. LONG: Again, I think that we're talking at the
21 level of what agreements are you going to enter into in
22 order to operate this, and we said it is not our intent to
23 actually operate the substation but to have it constructed,
24 and pass that responsibility on to the most appropriate
25 body.

26 So you know, at this stage for us to hypothetically
27 say we are going to enter into a connection agreement with
28 someone to operate it, I mean, we are open to suggestions

1 here as to who is interested in operating this project, if
2 it even gets off the ground and up and running.

3 That being said, we understand that there is, you
4 know, there's obviously a need for agreement so that
5 everyone is under a complete understanding about how this
6 thing is going to be operated but it is a bit premature at
7 this point for us to say what exact agreements we are going
8 to enter into.

9 I don't think that we could give you an accurate
10 response looking that far ahead.

11 MR. RATTRAY: But you would agree that the substation
12 cannot be permitted to be in a regulatory or operational
13 gap?

14 MS. LONG: No, absolutely. And no one is suggesting
15 that. And by us not committing to the exact agreements
16 that we are going to enter into, you know, we understand
17 that bodies are going to be looking at us to make sure the
18 system reliability is there. That's the whole purpose. Or
19 one of the whole purposes of us building this substation in
20 order to get generation on and not to do anything that
21 would adversely impact the system. So to the extent that
22 there would be any type of "gap" in place as to how it
23 would be operated would be completely unacceptable to
24 everyone sitting around this table, including KEI.

25 MR. RATTRAY: In answer to Board Staff Interrogatory
26 No. 3, KEI said the queuing process that it adopts will be
27 similar to the process established by Hydro One.

28 MS. LONG: Again, if I can just comment on that

1 because I think the evidence that we have heard this
2 morning is that KEI is open to a different type of queuing
3 process.

4 I mean I think we started off by saying we would
5 follow the queuing process that is in place, but I think
6 the evidence this morning has been, other than the 40
7 megawatts of projects that my client is interested in
8 connecting, they do not want to be the arbiter of what
9 generation projects get hooked on to that substation.

10 So to the extent that, you know Chatham-Kent or Hydro
11 One or the IESO is interested in providing us with
12 solutions as to how they think a queuing process should
13 work, how it could be the most fair and efficient, that is
14 certainly something that KEI is willing and actually would
15 probably be very glad to consider.

16 I think a lot of the discussion in this whole
17 application has been with respect to competition and, you
18 know, that's why we're here today. And we want to allay
19 people's concerns that we want to be in charge of the
20 queuing process in determining what generation projects
21 come on line, other than ours.

22 So I don't really want to discuss the material
23 differences between our queuing system and Hydro One's
24 queuing system, because I'm not sure that that is helpful.

25 We are open to a queuing process that works, that will
26 get projects that are ready to go on the substation, and we
27 are willing to hear from anyone here who has ideas as to
28 how they think that would work.

1 MR. RATTRAY: So it is fair to say you have no detail,
2 other than the general statement that you are prepared to
3 consider a third party administering the connection
4 process?

5 MS. LONG: We are absolutely committed to a third
6 party running the process.

7 MR. GAUTHIER: Yes, that's fair.

8 MR. RATTRAY: Are you proposing to file updated
9 evidence that reflects this?

10 MS. LONG: Other than this not being sufficient on the
11 record you would like us to file something?

12 MR. RATTRAY: No, no. It sounded like an idea that
13 was very recent, in terms of suggesting that there would be
14 a third party and it wasn't clear to me whether you are
15 going to pursue that with discussions with potential third
16 parties and to consider, in detail, the queuing process
17 that will be used or is proposed to be used for this
18 project.

19 MS. LONG: Well, it is certainly something that we are
20 willing to consider.

21 I mean, obviously we are here to collaborate with
22 parties with respect to the concerns that they have and if
23 anyone wants to raise anything now, we are happy to hear
24 it. We are always happy to have off-line conversations
25 after this technical conference is over as to how parties
26 around this table think that the queuing system could work.
27 Absolutely.

28 To the extent that we get any details, we are happy to

1 provide them to the Board and circulate among the
2 intervenors for comments.

3 I mean our goal is here is to have this be an open
4 process, so absolutely.

5 MR. RATTRAY: All right. If a proponent's project had
6 a higher state of readiness than a contemplated KEI
7 project, would the proponent be able to secure access to
8 the capacity of the substation in priority to KEI?

9 MR. COOKSON: I mentioned before that we are moving
10 forward with this proposal which has a certain degree of
11 commercial risk associated with it. On the basis that we
12 would be able to connect our four 10 megawatt projects to
13 it.

14 MR. RATTRAY: Yes.

15 And if you were faced with a situation that your four
16 projects ran into various hurdles that delayed them to some
17 degree, and you had other projects who were prepared to
18 connect through the substation, pay the reasonable costs
19 associated with doing so, would they be permitted to
20 connect to the substation? Or would that capacity at the
21 substation be reserved for KEI?

22 MR. COOKSON: We have been developing these projects
23 for some time now.

24 We have got -- we have a certain degree of advancement
25 in all of these projects and we are very confident that
26 these projects would be built at the time that the
27 substation was commissioned.

28 MR. RATTRAY: Yes. I put a question to you, sir, that

1 contemplated there could be delays. You will admit that
2 delays can occur in project development?

3 MR. COOKSON: Yes.

4 MR. RATTRAY: Notwithstanding your hard work and your
5 best efforts?

6 MR. COOKSON: That's the reality. Yes, that's a
7 reality of project development.

8 Again, the -- what we are talking about is putting 40
9 megawatts of our project on to this substation and leaving
10 more than half of the capacity available for future
11 projects.

12 MR. RATTRAY: So you are -- to summarize, in effect,
13 KEI wants to reserve 40 megawatts on the substation for its
14 own projects?

15 MR. COOKSON: I think -- we have been very clear on
16 what we would like to do, which is connect our 40 megawatts
17 and projects to the IESO-controlled grid.

18 MR. RATTRAY: Yes. Well, we have already dealt with
19 the fact that connecting to the substation, from the IESO's
20 perspective, does not guarantee or confer any entitlement
21 to connect to the IESO-controlled grid. So I am focussing
22 on connecting to the proposed KEI substation.

23 Just to be clear, you are proposing to develop this
24 substation, and I understand you have four projects under
25 development that total 40 megawatts.

26 If those projects were delayed and you had, say, 80
27 megawatts of projects being proposed by other developers
28 that are in a more advanced state and are ready to connect,

1 would they be permitted to do so, or not?

2 MR. GAUTHIER: Sir, I think that we answered your
3 question many times. We are very confident to be ready to
4 get our project. In the meantime, the substation will be
5 built, period.

6 MR. RATTRAY: Well, we will take it as a refusal to
7 answer the question.

8 MR. BURRELL: May I follow up? As a condition of
9 turning over the assets, because Kruger indicated that it
10 does not want to be a transmitter, so we assume that the
11 assets would be turned over, as a condition of turning over
12 the asset to whomever this third party is, whether this
13 third party will own or operate or do both of the
14 substation -- for the substation, sir, would that be a
15 condition for Kruger turning those assets over to someone
16 else, in that they have -- Kruger will have first access to
17 that substation? I guess that is the point that we are
18 trying to clarify.

19 So when you turn the assets over, is a condition of
20 turning the asset over -- would that be based on Kruger
21 having access, first access, to the capacity of that
22 substation?

23 MR. COOKSON: The short answer is yes.

24 I mean, we planned to have the four projects built at
25 about the same time as the substation, plan to connect our
26 generation assets to the substation at that time.

27 MR. RATTRAY: All right. We will come back to it and
28 my colleague raised a good point.

1 Let's go back to the proposal that you would transfer
2 to a third party responsibility for the administration of
3 the queuing process.

4 Are you turning over to that third party
5 administration of the queuing process for 60 megawatts or
6 100 megawatts?

7 MR. COOKSON: I guess it would be sixty.

8 MR. PAQUETTE: Sixty megawatts.

9 MR. RATTRAY: Thank you.

10 Can you elaborate for us today the rationale for
11 bringing forward the current proposal without detailing
12 specific generation projects which are to be connected to
13 these facilities?

14 MS. LONG: Well, I mean, I think when we filed the
15 application over a year ago, it was based on a general
16 discussion with Chatham-Kent about a need in the area.

17 I think, you know, we are here today, having spent a
18 lot of time thinking about this project, answering
19 interrogatories, listening to concerns, and while I think
20 the parties had thought about the RESOP projects when they
21 addressed this, I don't think that it was confirmed in
22 their mind absolutely that that would be the only purpose
23 for the substation.

24 I think they have come a ways in that, and, you know,
25 we are here today with what the proposal is, and it has
26 evolved from the time it was filed in June 2007 -- July
27 2007, rather.

28 MR. RATTRAY: All right. Can you explain the

1 difference in approach between this application and the
2 recent Kruger Energy, Port Alma application, which did
3 detail specific generation facilities to be connected?

4 MS. LONG: Well, I think they're two completely
5 separate projects.

6 I think that, you know, we filed this application not
7 appreciating -- I think maybe even the IESO said -- how
8 innovative this approach would be.

9 And, you know, at the time, we filed it with the best
10 information that we had to see whether or not section 81
11 precluded us from owning -- as a generator, owning a
12 transmission or a distribution asset, and, you know, I
13 think the process, we have added more detail.

14 But I think the two projects are completely different
15 and the approach was different, in that we applied for
16 section 81, a leave to construct. It was a bigger project.
17 I think they're different and we took a different approach.

18 I think we have been clear today on what our purpose
19 is with respect to the generation assets that we are
20 looking at, and, you know, I don't know that I can say
21 anything else.

22 MR. RATTRAY: Thank you. Those are our questions.

23 MS. HELT: Thank you.

24 Mr. Engelberg.

25 MR. ENGELBERG: Thank you.

26 **QUESTIONS BY MR. ENGELBERG:**

27 MR. ENGELBERG: Hydro One is really trying to
28 understand more details of Kruger's proposal, with the goal

1 of understanding what the impacts would be on the
2 development and maintenance of a competitive market, which
3 is one of the prerequisites that needs to be satisfied for
4 section 81.

5 So the first thing I really need to ask is something
6 that I believe was stated by Ms. Long in her submissions
7 following up to a question by Mr. Rattray, and that is:
8 Which exemption in regulation 161 of '99 under the OEB Act
9 is Kruger stating that it is relying on in support of its
10 belief that it does not require a licence in order to carry
11 on transmission activity?

12 What I heard was that the transmitter activity that
13 Kruger would be carrying on is very limited, but I looked
14 through regulation 161/99, and there is no exemption for
15 parties who propose to carry on only limited transmitter
16 activity.

17 So perhaps we could be told which of the exemptions
18 under 161/99 Kruger maintains that it is relying on.

19 MS. LONG: When I spoke of limited activity, I didn't
20 mean that as a defined term, but, rather, that the
21 exemptions set out in O. Reg. 161/99 deal with specific
22 situations which we think that we fall under.

23 We are claiming relief under 4.0.2(1)(a) and (d).

24 MR. ENGELBERG: All right. If I look at 4.0.2(1)(a),
25 is it Kruger's position that when the section states:

26 "...transmission system entirely or partially
27 located on land on which one or more of the types
28 of buildings or facilities described in section

1 4.0.1(1) is also located..."

2 is not limited to lands that are owned by Kruger?

3 MS. LONG: That's our position.

4 MR. ENGELBERG: So then your position --

5 MS. LONG: That being said, though, I think that
6 the -- as we have talked about, the land where the
7 substation is going to be located, KEI will be -- will be
8 leasing that land.

9 MR. ENGELBERG: How about the wires that would join
10 that substation to all of the transmitters, to all of the
11 generators? Will they be located on land that Kruger would
12 be the lessee of?

13 MR. COOKSON: Excuse me, can you repeat the question,
14 please?

15 MR. ENGELBERG: Well, the transmission system, I
16 assume, would be made up not only of the substation, but
17 also the wires that would get to the various generators.

18 So is it Kruger's position that it would be the lessee
19 or owner of all of the lands over which those wires go?

20 MR. COOKSON: Well, that's - again, we are getting
21 into a level of detail that we haven't contemplated, but my
22 initial response -- subject to any comments my colleagues
23 have -- is that the lines from the specific generation
24 project would be the property of those generation projects.

25 MR. ENGELBERG: I'm sorry.

26 MR. COOKSON: It would connect to the bus bar of the
27 medium voltage bus bar of the transformer substation.

28 MR. ENGELBERG: So then the wires would not be

1 entirely located on lands that are owned or leased by
2 Kruger?

3 MR. COOKSON: Again, those wires would not be part of
4 the facility we are proposing. Just the medium voltage bus
5 bar would be. That would be the limitation between the
6 facility we are proposing and the potential generation
7 projects that would connect to it.

8 Again, this is, I am trying to, to the best of my
9 ability, answer your questions, but as we stated we have
10 not gone to that level of detail.

11 MR. ENGELBERG: Okay. Just based on what your
12 understanding is now the wires that would go to the bus bar
13 would be part of what system? If they're not part of this
14 particular transmission system?

15 MR. COOKSON: Well, they would be part of the
16 generation projects that would eventually connect to this
17 facility.

18 We have, for example, at the project we just
19 connected, the Port Alma project, we have four collector
20 lines that connect our project to the IESO-controlled grid.

21 So I would imagine a scenario similar to that, where
22 the generators would build their collector lines to connect
23 ultimately to the bus bar of the transformer substation.

24 MR. ENGELBERG: Are the lands of all of these proposed
25 generators adjacent to each other, so that there is no need
26 to go over anyone else's property?

27 MS. LONG: You know, in fairness I don't know that we
28 can answer that question, because we are not sure who the

1 generators are going to be. You know, we have just talked
2 about a queuing process where we pick generators that are
3 ready, that are in the right distance, that we would not be
4 making the decisions about. So it is a bit difficult for
5 Mr. Cookson to opine on where these generation facilities
6 would be located.

7 MR. ENGELBERG: Well, I appreciate that and I wouldn't
8 want it to be thought that Hydro One is asking the
9 questions out of curiosity.

10 It is just that if we need to determine, or if we need
11 to help the Board to determine, what the impact would be on
12 the competitive marketplace, and there is an application
13 under section 81 that is dependent, in large part, upon --
14 as Kruger stated -- no transmitter's licence being required
15 -- we really need to get a better understanding of whether
16 the exemptions that Kruger seeks to rely on are, in fact,
17 sections that would enable Kruger not to acquire a
18 transmitter's licence.

19 So we at least need to know enough detail in order to
20 be able to tell whether that threshold has been met.

21 Well, let me move on to the next question, then. We
22 have heard that it is proposed that Kruger would never
23 operate this facility and that it would be transferred to
24 Chatham-Kent Hydro.

25 What would happen if that did not occur? Whether
26 Chatham-Kent Hydro was not interested in it, or Chatham-
27 Kent Hydro was not interested in paying what Kruger feels
28 to be a value-based transfer, what would happen if that did

1 not occur?

2 MS. LONG: Well, again, I think you have asked a
3 hypothetical question, in that, I think what KEI stated on
4 the record is it is not their intent to operate the
5 substation. If KEI was not interested in taking on that
6 role, then I think what Mr. Cookson has said is he is open
7 to discussions with other parties, such as Hydro One.

8 I think, you know, you and I can disagree on the
9 interpretation of these regulations and you are
10 highlighting this obviously in the context of this
11 proceeding for the Board and Staff to consider, and you
12 have raised the issue, and you know KEI understands that if
13 they did not fall within the exemptions sets out, then they
14 would be required, if they were operating, to be a licensed
15 transmitter.

16 So I think you and I probably can both agree on that,
17 that if the exemptions don't apply, then what is a
18 transmitter if they're operating a transmission system.
19 That is not the goal of KEI to operate, and if, you know,
20 CK Hydro was not an option, they would look for another
21 one.

22 MR. ENGELBERG: Did I understand you then to state
23 that if it does fall upon Kruger to operate the facility,
24 that Kruger would be required, under the OEB Act, to obtain
25 a transmitter's licence?

26 MS. LONG: No. I said provided they did not fall
27 within one of the exemptions set out for exemption from
28 transmitter licensing, then they would be required to. I

1 think that is an important distinction.

2 MR. ENGELBERG: Well, I would like to proceed with
3 that.

4 Hydro One asked a question on May 30th in its list of
5 questions: If Kruger were entitled to an exemption as an
6 unlicensed transmitter, is it Kruger's position that it
7 would still be subject to all of the same technical and
8 regulatory and competitive marketplace obligations as a
9 licensed transmitter would be under the Transmission System
10 Code?

11 That's Hydro One's first question on May 30th.

12 MS. LONG: Sorry, can you repeat the question now that
13 I have it in front of me.

14 MR. ENGELBERG: If Kruger were able to satisfy the
15 Board that it is entitled and qualifies for one of the
16 exemptions under regulation 161/99 so as not to require a
17 transmitter's licence in operating this facility, would
18 Kruger still be subject to all of the same obligations that
19 a licensed transmitter would have to meet under the
20 Transmission System Code and the OEB Act?

21 MS. LONG: Well, I mean, our response would be that
22 the responsibilities of a licensed transmitter and
23 unlicensed transmitter are different.

24 MR. ENGELBERG: Well, I am not sure what the
25 obligations of an unlicensed transmitter are, but I assume
26 that Kruger has looked at this, because Kruger must have
27 prepared for all scenarios, including the scenario that
28 Kruger will be, at least for a period of time, required to

1 operate the facility either because no distributor, such as
2 Chatham-Kent or Hydro One, is interested in purchasing the
3 facility, or there is a time gap between the time such a
4 transaction would take place and your facility would be
5 built.

6 So I would like to know which of the obligations that
7 other transmitters in the province have to meet when they
8 are operating their facilities that Kruger believes it
9 would not have to meet, if, in fact, there are any.

10 Maybe Kruger believes that it, as an unlicensed
11 transmitter, would have to fulfil all of the requirements
12 of a licensed transmitter.

13 MS. LONG: Well, I'm not going to go through the
14 Transmission System Code with you. I think the two things
15 that you are probably interested in highlighting are rates
16 that they would charge if they found themselves subject in
17 any way to having to do that, and the issue of open access.

18 Our position is that they would not be required to
19 provide open access, because they would exempt, not
20 licensed, and therefore not required to do so.

21 If they met the exemption regulation, the requirement
22 is they're only allowed to charge any reasonable costs.

23 So, you know, again, I am trying to be helpful here,
24 but we really did submit this letter over a year ago hoping
25 that we would get some feedback on whether or not our
26 exemptions, based on what we were contemplating doing, fell
27 within the exemption requirements, and, you know, that is
28 really where the extent of our discussions are.

1 So I appreciate that you want to highlight these
2 issues for the panel and for the Board, and I am sure this
3 is something that the chief compliance officer, with our
4 letter and materials in front of him, is also considering.

5 MR. ENGELBERG: Well, following up from your answer,
6 if Kruger would not have to comply with open access as an
7 unlicensed transmitter, how can the Board ensure that there
8 will be an open and competitive market for this facility as
9 it is required to do when considering an application under
10 section 81?

11 MS. LONG: Well, I would hope that the Board would
12 take a look at the specific circumstances that this
13 application poses to it. It has an identified need in an
14 area where you have someone who has come forward in order
15 to bring more generation to the system. So I think that
16 addresses an issue with respect to competition, in that
17 there will actually be more generation entering into the
18 market because of this.

19 I think that we have addressed some of the concerns
20 that the parties have brought up with respect to
21 competition by saying we are open to there being a
22 different type of queuing system.

23 So if you are concerned that the open access issue is
24 an issue and that we will be picking and choosing what
25 generators connect to the substation, I think we have
26 offered up an option today that we would hope would be
27 acceptable to other people, that we would not be making
28 that decision.

1 MR. ENGELBERG: Well, I think it is fair to say that
2 not just Hydro One, but everybody, is concerned about open
3 access.

4 So if Kruger is proposing that there be a fair, open
5 and transparent queuing system, then why is Kruger opposed
6 to saying that it is required to meet the requirements of
7 open access the way other transmitters would who have a
8 licence?

9 MS. LONG: Because I think Kruger has been clear that
10 they do expect that their projects are going to connect to
11 the substation.

12 MR. ENGELBERG: When you say "their projects", are you
13 referring to all of the other parties with whom Kruger has
14 been having these discussions as Kruger projects?

15 MS. LONG: No. I want to be clear on the discussions,
16 and, you know, anyone who was part of the discussions can
17 step in here.

18 But this was a situation where proponents in the
19 Chatham-Kent area had got together with Chatham-Kent to try
20 and address an issue and see how they could resolve it.
21 There were other developers there. It was discussed. KEI
22 decided that perhaps this is something that they could move
23 forward with and hope to partner with other people in
24 putting their projects -- in accessing the substation.

25 So they're open to other people. I think they have
26 expressed that many times. And it is not that they're, you
27 know, looking for other people, that they're going to take
28 over their projects and somehow take up the substation.

1 They're open to people that are interested in helping to
2 construct this infrastructure.

3 So just to be clear, it is not those people that they
4 spoke to a year ago, their projects. They have been open
5 all along to people wanting to connect to the substation
6 and partnering with them in building this.

7 MR. ENGELBERG: So it is those other people that you
8 are referring to when you use the word "their projects"?
9 That's what I'm trying to understand. When you say Kruger
10 is talking about "their projects", are these --

11 MS. LONG: They're talking about their four distinct
12 10 megawatt projects.

13 MR. ENGELBERG: And does Kruger have an interest in
14 those projects?

15 MS. LONG: Does KEI -- I'm not understanding you.

16 MR. ENGELBERG: Are those other projects by companies
17 affiliated with Kruger, corporate affiliates of Kruger?

18 MR. COOKSON: I don't really understand the question.
19 The four projects we have talked about are the four
20 projects --

21 MR. GAUTHIER: The four projects are the four SOP
22 projects, the four 10 megawatt projects, period.

23 MR. COOKSON: I can give you the names of the
24 projects.

25 MR. GAUTHIER: But they're talking about, um...,
26 subcompanies under Kruger, but it is -- in fact, it is just
27 the four projects, SOP; that's it.

28 MS. HELT: If I could just ask if you speak up just

1 for the sake of the court reporter, as well, please.

2 MR. GAUTHIER: I said we're talking about the four SOP
3 projects, only, that's it, not any more by sub companies or
4 whatever of Kruger.

5 MR. ENGELBERG: I'm sorry, I didn't hear that.

6 MR. GAUTHIER: Just the four SOP.

7 MR. ENGELBERG: Are those projects by companies that
8 are unaffiliated with Kruger, unrelated companies?

9 MR. GAUTHIER: No. These are the companies under
10 Kruger.

11 MR. PAQUETTE: The four projects are in limited
12 partnerships fully controlled by Kruger.

13 MR. ENGELBERG: Thank you. That's all I was trying to
14 find out.

15 Now, because it is a requirement under the exemption
16 section of regulation 161/99, how will Kruger ensure and
17 demonstrate to the Board that it will charge a price that
18 is no greater than that required to recover all reasonable
19 costs?

20 MS. LONG: The exemption does not set out and
21 specifically state reasonable costs, and we have had
22 discussions with Board Staff with respect to what
23 reasonable costs are.

24 So what KEI proposes is that obviously under the
25 exemption, those who were charged reasonable costs would,
26 in fact, keep it on its toes so that it knows it is subject
27 to charging reasonable costs, or it loses the exemption,
28 quite frankly.

1 So with that said, it would be a discussion amongst
2 those as to what information they required, and, again, you
3 know, we favour open disclosure in doing that.

4 If you are asking me specifically what documents we
5 would provide, I don't think we are there yet, but the
6 general concept is we obviously understand what reasonable
7 costs are, what the ramifications of not charging
8 reasonable costs are, and, you know, short of there being
9 some prescribed edict from the Board that is really all we
10 can do.

11 MR. ENGELBERG: I wasn't referring so much to
12 documents as what kind of system does Kruger envision that
13 would show the Board that it is charging only reasonable
14 costs and no more than that.

15 MS. LONG: Well, I mean, again, I think we are open to
16 parties coming to us and saying what they would want to see
17 as part of reasonable costs.

18 MR. COOKSON: Maybe I can just say. Whatever system
19 is required. Open book. Invoices. Whatever system is
20 required.

21 MR. ENGELBERG: Now, would that be for the operation
22 of the facility once it gets up and operating? Or would
23 that also be the same test for the contribution to the
24 construction development of the project?

25 MR. COOKSON: Any time. I mean, there are tools to
26 evaluate as a percentage of the capital costs what long-
27 term operating costs are. Various utilities have used
28 those in their formulations.

1 We could use something like that.

2 MR. GAUTHIER: Let me add something about this. We
3 are not intending to make any profit with this substation.
4 We just want - and we said many times - we just tried to
5 recuperate our costs, and open book means every invoice,
6 all of the details of the construction, and the
7 procurement, that's it. And any time when it would be
8 required.

9 MR. ENGELBERG: Well then did Kruger consider building
10 the facility just for the four 10-megawatt projects?

11 MR. GAUTHIER: At this moment, yes.

12 MR. ENGELBERG: I mean limiting its capacity to 40
13 megawatts instead of 100?

14 MR. GAUTHIER: Hmm-hmm.

15 [Kruger panel confers]

16 MR. COOKSON: Maybe I can say, the 100 megawatts that
17 we proposed for the size of this facility was done
18 originally as a result of discussions that were held with
19 Chatham-Kent Hydro, and other proponents with identified
20 projects within a certain distance of the proposed
21 location.

22 So that is where the 100 megawatts comes from. But I
23 think we have been very clear in saying that our objective
24 in this is bringing our ten megawatts of renewable energy
25 to the market. That's our objective.

26 So your question is, again, a hypothetical one. The
27 reality of our application is it was based on our
28 understanding of what projects in the area were frustrated

1 by the current cueing system and RESOP program results, and
2 we were trying to propose a solution.

3 MR. ENGELBERG: Would one of those possible...

4 I'm sorry. Would one of those possible solutions be
5 building the station only to handle the four Kruger
6 projects totalling 40 megawatts?

7 MR. COOKSON: It's not something we have considered at
8 this stage, to be perfectly frank. We never -- that was
9 never an option discussed internally.

10 Our discussions were transparent with Chatham-Kent
11 Hydro, the other proponents in our filings.

12 The idea was always to do this, but, again, you raise
13 an interesting question. I mean, it could be. It could be
14 just to bring our 40 megawatts.

15 MR. ENGELBERG: Does Kruger have any kind of agreement
16 with Chatham-Kent Hydro that there would be a transfer by
17 Kruger and a purchase by Chatham-Kent if Kruger obtained
18 the necessary approvals to acquire this interest.

19 MR. GAUTHIER: No. It is just discussion that we had.

20 MR. ENGELBERG: Thank you. If I could just have a
21 moment.

22 [Counsel confer]

23 MR. ENGELBERG: Ms. Helt, Hydro One has no further
24 questions. I would like to make a short closing statement,
25 but I assume there will be an opportunity for that later.

26 MS. HELT: Certainly. I believe the OPA has a couple
27 of questions to ask at this time.

28 I don't know if parties want to break at this time, or

1 just let's go through with it and I don't know how much
2 longer we will be, but if we do carry on past, much past
3 one o'clock then we can reconsider the question. But I
4 take it from all of the heads nodding people want to keep
5 going right now?

6 MR. ENGELBERG: If we could keep going, yes, please.

7 MS. HELT: All right then leave it to the OPA.

8 **QUESTIONS BY MR. MIA:**

9 MR. MIA: Thank you, Madam Chair. We will be brief, I
10 believe. With your indulgence, our questions are really
11 hopefully to add some clarity and not to -- they're not
12 addressing the specific questions in the procedural order.
13 So if you will indulge us.

14 Just questions for the applicant. In terms of our own
15 standard offer programs, as you know, those programs, the
16 renewable energy standard offer program is currently under
17 review. We are just fine tuning some things there.

18 So we would just like to put it on the record and get
19 your response as to how your proposal would be affected if
20 one of our requirements was to connect to an existing
21 distributor or an OEB-licensed distributor. I will put
22 them all on the table and you can discuss them amongst
23 yourselves if you want and then give us an answer.

24 Restrictions on contract eligibility for multiple 10
25 megawatt projects under the effective control of a
26 proponent, and the possible unavailability of standard
27 offer for any other proponents that may want to connect to
28 this facility.

1 So I just wanted to have your thoughts on how that
2 might affect your project. I mean, you are free to answer
3 that question, if you want, but really, it is to give
4 clarity that we are under review of those programs and the
5 outcome isn't clear yet where we will go with those. And
6 you should be aware of these potential outcomes.

7 MR. COOKSON: I think we are very aware of all of the
8 RESOP program -- the RESOP rules -- as well as the changes
9 that have been, well, proposed and not completely
10 finalized.

11 It is one of the reasons why we asked for this
12 particular technical conference to be adjourned -- or not
13 adjourned, but postponed on a couple of occasions, was to
14 understand what the RESOP program rules would be.

15 We are still seeking some clarity on that.

16 I think I addressed the point with respect to the
17 license, existing licensed distributor beforehand saying
18 that that is not a role that we saw for ourselves, but for
19 Chatham-Kent Hydro or another party ultimately.

20 I am not exactly sure what your questions are with
21 respect to contract eligibility and access to other RESOP
22 proponents, exactly. Maybe you could clarify.

23 MR. MIA: I can clarify. On that second one it is
24 really, if the rules are restructured such that the ten
25 megawatt restriction is not per project but really per
26 proponent under your effective control, so -- and I am not
27 saying this is the way we are going, but arguably you have
28 40 megawatts under your control and that may trigger a

1 restriction on you applying there.

2 Really, the logic behind that sort of restriction as
3 it has been kicked around is that RESOP is really meant for
4 a different type of ball game, and we have competitive
5 processes to encourage renewables that are much bigger,
6 that will drive pricing differently.

7 MR. COOKSON: We would have to address that -- that
8 particular question once we understood the final position
9 of the OPA on eligibility, number of projects.

10 MR. MIA: Fair enough. We are trying to get that
11 sorted out so that we can issue the rules so that there is
12 some clarity for everyone, but I wanted to put that out
13 there.

14 The last one was really probably a similar type of
15 circumstance where other proponents that -- not KEI
16 controlled would seek to connect to your facility, and they
17 would -- again, may not be eligible, for similar reasons or
18 other reasons, for standard offer, and how that might that
19 affect the feasibility of this project.

20 MR. COOKSON: I will have to give you the same
21 response. We have to consider that at that time.

22 We are looking anxiously to the time at which the OPA
23 clarifies the rules on RESOP.

24 MR. MIA: A lot of people are looking at us anxiously.

25 Those are our questions. Joe, do you have anything
26 else?

27 Thank you.

28 MR. COOKSON: Thank you.

1 MS. HELT: Are there any further questions from any of
2 the parties? Yes?

3 MR. KENNEY: Can I just make a comment?

4 MS. HELT: Certainly.

5 MR. KENNEY: Thank you. I just want to say there have
6 been several references to a meeting that Chatham-Kent
7 Hydro initiated with the developers in Chatham-Kent, and I
8 just want to clarify something, that this was done -- this
9 meeting was held in early 2007, and it was done and
10 supported and attended by Hydro One, also.

11 It was just to respond to these generators who were
12 having difficulty with the situation of the constraints and
13 the fact that their position on the grid was below the red
14 line, as it has been called several times.

15 So we did initiate this meeting, but we were supported
16 and Hydro One also attended that meeting to try to come up
17 with solutions to help them.

18 So as you know, the developers are frustrated with the
19 situation -- especially in Chatham-Kent and southern
20 Ontario, with the situation. They are not being able to
21 get connected.

22 So the result of that meeting was that we all felt
23 that an additional transmission infrastructure was required
24 to facilitate these connections.

25 So Hydro One and Chatham-Kent Hydro both discussed
26 this situation, and Hydro One basically said there was
27 nothing they could do, and we offered to explore the
28 potential opportunity to construct something.

1 Very quickly, in our exploration and studying the
2 standard offer rules, as these all fell under those
3 standard offer rules, we realized that it wasn't a position
4 we could take to build a transformer station and construct
5 one for those purposes. It would be an expansion of our
6 existing distribution system.

7 So having said that, we did then inform the
8 developers, all of them, in a letter that just stated to
9 them that we were in no position to assist them at this
10 time.

11 So that's just to clear up any questions about what
12 that meeting was about, and I will leave it at that.

13 MS. HELT: Thank you, Mr. Kenney.

14 Mr. Engelberg, you wanted to make some closing
15 submissions. I don't know, Mr. Rattray, if you have any
16 closing comments you would like to make?

17 MR. RATTRAY: No.

18 MS. HELT: No. Go ahead then, Mr. Engelberg.

19 **SUBMISSIONS BY MR. ENGELBERG:**

20 MR. ENGELBERG: Thank you. As Ms. Constantinescu has
21 stated, the electrical area in question is not rich in
22 renewable resources -- excuse me, is rich, which is why the
23 number of applications that Kent TS exceeds the technical
24 limits at that station.

25 Hydro One's concern is that in constructing the
26 proposed substation, KEI would become a transmission
27 service provider.

28 The development and maintenance of a competitive

1 market hinges on transmission service providers providing
2 open access, non-discriminatory access, to their
3 facilities, and transmitters complying with the
4 transmission system code, the market rules and the IESO
5 connection processes.

6 It is very unclear, even after today's technical
7 conference, how KEI, as a provider of transmission
8 services, would fit into the existing processes and
9 requirements.

10 We didn't really hear anything that gave us any
11 comfort regarding the answers to those questions.

12 If section 81 didn't refer to the requirement for the
13 Board to look into how a proposed project or a proposed
14 acquisition affects the development and maintenance of a
15 competitive market, perhaps it could be argued that this is
16 -- that we are looking at these matters too early, but the
17 fact is that requirement does exist under sections 81 and
18 82 regarding the review of an acquisition.

19 So it is Hydro One's submission that we need to look
20 now at what would happen, rather than simply granting an
21 approval now and saying that we can look -- take a look,
22 later on, at how the development and maintenance of a
23 competitive market might be affected by the approval of a
24 project that, by its own admission, would not grant open
25 access, or certainly not pursuant to the existing rules
26 required of other transmitters under the Code and the
27 market rules.

28 Those are Hydro One's submissions.

1 MS. HELT: Thank you, Mr. Engelberg. Are there any
2 other comments from any of the parties?

3 **SUBMISSIONS BY MS. LONG:**

4 MS. LONG: If I just might make a brief statement on
5 behalf of KEI to say that we appreciate the opportunity to
6 come today and try and answer questions that people have
7 had about the project and to say that, you know, we
8 recognize this is a unique project which does raise
9 questions for people.

10 But I don't think that that should deter us from
11 working cooperatively to try and reach the end result,
12 which is addition of interconnection capacity.

13 I think that very recently the minister has made very
14 clear a renewed interest in getting connection projects
15 connected in areas where there are transmission
16 constraints.

17 KEI met with Chatham-Kent and other developers,
18 identified a need, and has come forward with a proposal.

19 They have listened to what people have said. They
20 have tried to address issues that people had with respect
21 to the queuing process and with respect to them becoming an
22 operator, and they have been open to suggestions that
23 people have had as to how to make this process work.

24 So, in summary, we would like to say that we are open
25 to what people have -- what their comments are, but, you
26 know, KEI also does need to reach some kind of decision as
27 to whether or not they can move forward with this
28 substation, and they would like to move forward with it.

1 So to the extent that quick discussions can happen and
2 the Panel can make some recommendations and we can identify
3 what the real issues are that the parties have, it would be
4 helpful.

5 MS. HELT: Thank you, Ms. Long.

6 That, then, concludes today's technical conference. I
7 would like to thank everyone for their questions and
8 answers today.

9 And I believe the transcript will be available
10 shortly. Thank you.

11 MR. GAUTHIER: Thank you.

12 MR. COOKSON: Thank you.

13 --- Whereupon hearing adjourned at 12:42 p.m.

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28