



# ONTARIO ENERGY BOARD

**FILE NO.:** EB-2024-0063

**Generic Proceeding - Cost of Capital  
and Other Matters**

---

**VOLUME:** Presentation Day

**DATE:** September 5, 2024

**BEFORE:** Michael Janigan

**Presiding Commissioner**

Lynne Anderson

**Commissioner**

Pankaj Sardana

**Commissioner**

**THE ONTARIO ENERGY BOARD**

**IN THE MATTER OF** the *Ontario Energy Board Act, 1998*,  
S.O. 1998, c. 15 (Schedule B);

**AND IN THE MATTER OF** a generic proceeding  
commenced by the Ontario Energy Board  
on its own motion  
to consider the cost of capital parameters  
and deemed capital structure  
to be used to set rates

Presentation Day held in person  
and by videoconference from 2300 Yonge Street,  
25th Floor, Toronto, Ontario,  
on Thursday, September 5, 2024,  
commencing at 9:34 a.m.

-----  
PRESENTATION DAY  
-----

BEFORE:

MICHAEL JANIGAN	Presiding Commissioner
LYNNE ANDERSON	Commissioner
PANKAJ SARDANA	Commissioner

A P P E A R A N C E S

IAN RICHLER Board Counsel

FIONA O'CONNELL Board Staff

TINA LI

KEVIN MANCHERJEE

ANTONIO JOHNSON

LILLIAN ING

PRESENTERS:

SEAN CLEARY Association of Major Power  
Consumers of Ontario (AMPCO)

JAMES COYNE Concentric Energy Advisors

DANIEL DANE

JOHN TROGONOSKI

AJ GOULDING London Economics International  
AMIT PINJANI (LEI)

SHASHWAT NAYAK

RALPH ZARUMBA Nexus Economics, for Electricity  
FRANCIS PAMPUSH Distributors' Association (EDA)

PARTICIPANTS:

IAN MONDROW Association of Major Power  
SEAN CLEARY Consumers of Ontario (AMPCO)/  
SHELLEY GRICE Industrial Gas Users Association  
(IGUA)

CHRISTINE LONG Alectra Utilities

MICHAEL LISTER

ELENA YAMPOLSKY

PAUL RAWLING

DT VOLLMER Caldwell First Nation

A P P E A R A N C E S

TOM LADANYI	Coalition of Concerned Manufacturers and Businesses of Canada (CCMBC), Energy Probe Research Foundation
LAWRIE GLUCK	Consumers Council of Canada (CCC)
SARAH STOTHART TED WIGDOR TERESA SARKESIAN	Electricity Distributors' Association (EDA)
CHRIS TOWNE CARLY SHAW KARY MARTIN	Entegrus Powerlines Inc.
MARK KITCHEN RYAN SMALL	Enbridge Gas Inc.
CRAWFORD SMITH	Electricity Distributors Association (EDA)
CLAIRE BEBBINGTON	ENWIN Utilities Ltd.
TIM HESSELINK JACYN KOSKI	EPCOR
TRACY REHBERG-RAWLINGSON	Halton Hills Hydro Inc.
YOON KIM KALEB RUCH BRITTANY CALHOUN	Hydro One
KELLY O'NEILL APRIL BARRIE	Hydro Ottawa
RANDY MURPHY	Kingston Hydro Corporation
NICHOLAS DAUBE	Minogi Corp., Three Fires Group (TFG)
VINCE BRESCIA RUTH YORK McCREA	Ontario Energy Association (OEA)

A P P E A R A N C E S

AMY LONG SUZANNE PRESSEAULT	Orangeville Hydro
HERMAN MO STEVE ZEBROWSKI MATT KIRK	Ontario Power Generation (OPG)
BOHDAN DUMKA	Society of United Professionals (SUP)
MARK RUBENSTEIN JAY SHEPHERD	School Energy Coalition (SEC)
AARON BLAZINA	Synergy North Corporation
MARK R. JOHNSON TRACEE COLLINS	Upper Canada Transmission 2, Inc.
MARK GARNER BILL HARPER	Vulnerable Energy Consumers Coalition (VECC)

I N D E X   O F   P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:31 a.m.	1
Land Acknowledgement	2
<b>LEI PRESENTATION</b>	3
Presentation by Mr. Pinjani	3
Questions by the Board	16
<b>CONCENTRIC PRESENTATION</b>	26
Presentation by Mr. Coyne	26
Presentation by Mr. Trogonoski	35
Presentation by Mr. Dane	39
Questions by the Board	43
--- Recess taken at 11:08 a.m.	55
--- On resuming at 11:26 a.m.	55
<b>NEXUS PRESENTATION</b>	56
Presentation by Mr. Zarumba	56
Presentation by Dr. Pampush	59
Questions by the Board	70
--- Luncheon recess taken at 12:19 p.m.	78
--- On resuming at 1:21 p.m.	78
<b>AMPCO PRESENTATION</b>	79
Presentation by Dr. Cleary	79
Questions by the Board	100
--- Whereupon the proceeding adjourned at 2:16 p.m.	110

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT KP1.1: LEI PRESENTATION	3
EXHIBIT KP1.2: CONCENTRIC PRESENTATION.	55
EXHIBIT KP1.3: NEXUS PRESENTATION.	55
EXHIBIT KP1.4: DR. CLEARY'S PRESENTATION.	55

U N D E R T A K I N G S

Description

Page No.

---

NO UNDERTAKINGS WERE FILED IN THIS PROCEEDING.

1 Thursday, September 5, 2024

2 --- On commencing at 9:31 a.m.

3 MR. JANIGAN: Good morning. Welcome to presentation  
4 day. In this proceeding, we are considering the cost of  
5 capital and other matters to set rates for electricity  
6 transmitters or electricity distributors, natural gas  
7 utilities, and rate-regulated electric generators.

8 My name is Michael Janigan and I will be Presiding  
9 Commissioner in this proceeding. With me on this panel is  
10 Commissioner Lynne Anderson on my left, and Commissioner  
11 Pankaj Sardana on my right.

12 Before we proceed to the land acknowledgement I would  
13 briefly speak to the procedure we hope to follow. We will  
14 not take appearances in the usual manner but I will call  
15 upon counsel for each of the four parties presenting  
16 evidence in turn to introduce their witness or witnesses.  
17 The Panel has had the benefit of reviewing the background  
18 of each of the four experts and we don't require any  
19 further introductory information concerning their  
20 qualifications in this proceeding today.

21 Only the members of the Panel will be providing  
22 questions to each witness following their presentation.  
23 There will be no affirmation required of the witnesses.  
24 However, today's proceeding will be transcribed. To that  
25 end, try to please speak clearly and try as much as  
26 possible to avoid speaking too quickly to enable the court  
27 reporter to transcribe accurately.

28 This presentation day is being held for the purpose of

1 clarity, to ensure the Panel understands what each witness  
2 is advising and how that conclusion was reached. The Panel  
3 will not be testing or challenging the evidence, and the  
4 questions asked by the Panel or not asked by the Panel do  
5 not necessarily indicate any disposition of a Panel member  
6 towards content or conclusions in an expert report.

7 Can we proceed with the land acknowledgment, please.

8 **LAND ACKNOWLEDGEMENT**

9 MR. JOHNSON: Good morning. The Ontario Energy Board  
10 acknowledges that our headquarters in Toronto is located on  
11 the traditional territory of many nations including the  
12 Mississaugas of the Credit, the Anishinaabeg, the Chippewa,  
13 the Haudenosaunee and the Wendat peoples. This area is now  
14 home to many diverse First Nations, Inuit and Métis  
15 peoples. We also acknowledge that Toronto is covered by  
16 Treaty 13 with the Mississaugas of the Credit. We are  
17 grateful for the opportunity to gather and work on this  
18 land and recognize our shared responsibility to support and  
19 be good stewards of it. Thank you.

20 MR. JANIGAN: Thank you. I would now ask Mr. Richler  
21 to present his witnesses for presentation.

22 MR. RICHLER: Thank you, Commissioner Janigan. Good  
23 morning, Panel. My name is Ian Richler. I'm counsel for  
24 OEB Staff. If I may, I'll just quickly introduce the other  
25 people sitting at the Staff table. To my left, Fiona  
26 O'Connell, Tina Li, Antonio Johnson, Kevin Mancherjee, and  
27 Lillian Ing behind me. And our witnesses from LEI, to our  
28 left, AJ Goulding, president, Amit Pinjani, director, and

1 Shashwat Nayak, senior consultant.

2 And before I just hand it over to them, Commissioner  
3 Janigan, in your hands, but if you would like, we could  
4 mark the presentation that was filed as an exhibit.

5 MR. JANIGAN: Yes, please.

6 MR. RICHLER: So, LEI's presentation, we will call  
7 that Exhibit KP1.1. And with that, I would turn things  
8 over to LEI.

9 **EXHIBIT KP1.1: LEI PRESENTATION**

10 MR. PINJANI: Thank you. Let's share the screen.

11 **LEI PRESENTATION**

12 **PRESENTATION BY MR. PINJANI**

13 Good morning, Commissioners. We have organized this  
14 presentation in three sections. First is a brief summary  
15 of overarching messages and key takeaways. In the second  
16 section, we expand upon key areas of differences between  
17 LEI's and one or more experts' recommendations. And third  
18 is an appendix summarizes LEI's recommendations across the  
19 22 issues. Given the 30-minute time slot, we will focus on  
20 the first two areas today. The third section can be  
21 reviewed by commissioners later, the contents of which are  
22 consistent with the executive summary in the LEI report  
23 filed on June 21, 2024.

24 Going to the next slide. This slide lays out the five  
25 key principles underlying LEI's recommendations across the  
26 list of issues being discussed in this proceeding. These  
27 principles are as follows: meeting the fair return  
28 standard;; administrative simplicity, relative to status

1 quo; transitioning from status quo only if observed  
2 benefits are material; fairness and approach to both  
3 utilities and consumers; and transparency and  
4 predictability.

5 Overall, LEI has recommended that several aspects of  
6 the status quo be retained. A few examples include  
7 adjusting the authorized capital structure only when a  
8 significant change in risk profile is assessed by the OEB,  
9 upon application by relevant parties. Second, ownership  
10 structure is not relevant when determining cost of capital  
11 parameters. And third, maintaining annual updates for key  
12 cost of capital parameters, along with reassessing the cost  
13 of capital policy every five years in a process similar to  
14 the ongoing proceeding.

15 Where relevant, LEI has also suggested modifying  
16 certain aspects relative to status quo. Examples of such  
17 recommendations include introducing proactive impact  
18 assessments prior to implementing material regulatory  
19 changes, requiring forward cash flow modelling and scenario  
20 analysis associated with impact on key credit metrics when  
21 proposing a change in authorized capital structure. And  
22 replacing the 50 basis points for transaction costs  
23 associated with equity issuances with cost based treatment,  
24 similar to the BCUC regulatory treatment in their most  
25 recent general cost of capital proceeding as of 2023.

26 Moving to the next slide. This slide presents a few  
27 overarching messages that LEI believes are important to  
28 state upfront. First, risk is a function of timing and

1 likelihood of recovery. As such, while energy transition  
2 is in process, there is no evidence that energy transition  
3 impacts either timing or recovery of cash flows for the  
4 regulator utilities, particularly in the upcoming  
5 regulatory period. That is 2025 to 2029.

6 Second, there is no evidence that OEB regulated  
7 utilities have been unable to raise capital on reasonable  
8 terms.

9 Third, risk is a function of the activity and not  
10 dependent upon the nature of the investor, meaning size,  
11 type of organization, or community status are less relevant  
12 if within the control of the investor.

13 Fourth, change in compliance burden associated with  
14 LEI recommendations, for example, reporting new debt and  
15 equity issuances and mandating cash flow modelling is  
16 minimal given such information already exists with the  
17 utilities.

18 Fifth, LEI believes that unique issues associated with  
19 First Nations and Indigenous groups are critical, however  
20 are best addressed in a separate proceeding. To this end,  
21 LEI has previously reviewed case studies associated with  
22 First Nations participation in a separate report from 2023.

23 Sixth, while some experts have emphasized differences  
24 between Ontario authorized returns and U.S. authorized  
25 returns, it is arguable whether some U.S. regulators are  
26 more generous than justified.

27 Finally, for ROE determination, while LEI believes  
28 there is no academic justification averaging multiple

1 methodologies, we recognize there may be pragmatic reasons  
2 for the regulators to do so.

3       On the top right-hand side of the slide, we explain  
4 why LEI's recommendation associated with mandating cash  
5 flow modeling for assessment of capital structure is  
6 consistent with LEI's views against over-reliance of  
7 analyst earnings when determining authorized ROEs. There  
8 are a few underlying reasons. First, regulated utilities  
9 themselves have more accurate information than analysts.  
10 Second, forward cash flow modelling is consistent with  
11 analysis that banks would conduct themselves and/or require  
12 the utilities to conduct prior to financing. Third, this  
13 requirement does not rely on whether external analysts  
14 cover a specific company or not. And finally, the  
15 objectives are different. That is cash flow modelling is  
16 associated with assessment of capital structure, while  
17 over-reliance on analyst forecasts is associated with ROE  
18 determination.

19       Moving on to the next section. LEI has expanded upon  
20 seven key areas of differences of opinion between LEI's and  
21 one or more expert's recommendations. While there are some  
22 additional aspects as well, LEI has focused on the most  
23 relevant ones for today. These areas include, first, LEI's  
24 recommendation associated with mandating scenario analysis  
25 for impact on key credit metrics when assessing capital  
26 structure. Second, why allowing incremental 50 basis  
27 points and authorized ROE for transactions costs associated  
28 with equity issuances is not justified.

1 Third, use of Canadian risk-free rate is consistent  
2 with LEI's methodology for estimating market risk premium.

3 Fourth, why LEI's estimate of MRP or market risk  
4 premium is reasonable in light of the information at hand.

5 Fifth, beta estimation, and why the use of Blume  
6 adjustment inflates beta.

7 Sixth, why utilization of CAPM makes most sense,  
8 instead of averaging multiple methodologies.

9 And seventh, why a comparison between electricity  
10 distributors achieved ROE and authorized ROE does not imply  
11 increased regulatory risk.

12 Moving to the next slide, LEI believes forward-looking  
13 scenario analysis showing impact on key credit metrics is  
14 necessary to provide a full picture to regulators regarding  
15 the impact of change and equity thickness proposed by  
16 applicants.

17 Such analysis is also critical for both investors and  
18 rating agencies. As discussed briefly earlier, lenders  
19 already require such an analysis to be performed by  
20 companies prior to closing on lending transactions. Credit  
21 rating agency also perform similar analysis when reviewing  
22 ratings for companies on a periodic basis.

23 In an IR response Concentric has acknowledged that  
24 cash flow modelling is one of several perspectives that  
25 form business and financial risks. While Concentric notes  
26 that this is a partial indicator of forward-looking risk  
27 that should be factored into equity ratio considerations,  
28 LEI believes this is one of the most important elements

1 that regulators need to consider.

2 In previous proceedings associated with assessment of  
3 capital structure, LEI has performed such analysis, which  
4 is kind of shown in the snapshot here on the slide. We  
5 believe it would be significantly more efficient if  
6 utilities performed such analysis themselves, for  
7 evidentiary record in such proceedings.

8 Moving to the next slide. LEI has recommended  
9 replacing the 50 basis points adder for transaction costs  
10 associated with equity issuances with cost-based treatment.  
11 Equity issuances do not happen with predictable regularity,  
12 which makes it appropriate for these costs to be recovered  
13 as and when the utility incurs such expenses.

14 While some jurisdictions have allowed a 50 basis  
15 points adder in the past -- sometimes we are referencing to  
16 other regulatory decisions -- it is notable that the BCUC  
17 predicted the adder in its 2023 generic cost of capital  
18 proceeding, stating the following, I quote:

19 "The Panel finds that the proposed flotation cost  
20 adder is too vague to be a just and reasonable  
21 expense recoverable from ratepayers. These  
22 expenditures, if and as incurred, can be  
23 recovered from the ratepayers following review  
24 and approval as part of each utility's revenue  
25 requirement process in the normal course."

26 LEI has not seen any empirical evidence to justify the  
27 50 basis points adder. In LEI's view, such an adder is  
28 likely to overcompensate utilities. To illustrate via an

1 example, LEI reviewed reported total equity in the rate  
2 base from Enbridge Gas between 2019 and 2023, as shown on  
3 the graphic here on the slide.

4 Based on the data reported by Enbridge Gas, LEI  
5 estimated new equity added to the rate base in the range of  
6 \$141 million to \$281 million annually over this period.  
7 Allowing the 50 basis point transaction cost adder means  
8 allowing transactions costs in the range of \$24 million to  
9 \$28 million annually. That is approximately 10 percent to  
10 17 percent of estimated new equity issuances.

11 There is no evidence to suggest that Enbridge Gas has  
12 actually incurred 10 to 17 percent in transaction costs  
13 associated with new equity issuances each year.

14 In fact, an IR response by the OEA states, "Recent  
15 research by the Enbridge treasury team found that the  
16 average flotation costs for a sample of Canadian and U.S.  
17 utilities were equal to slightly more than five percent of  
18 gross proceeds." While LEI is not privy to this research,  
19 this example illustrates overcompensation.

20 LEI believes that cost-based treatment as approved by  
21 the BCUC makes most sense for such transaction flotation  
22 costs.

23 Moving to the next slide. In determining ROE, via the  
24 capital asset pricing model, or CAPM, LEI has selected a  
25 risk-free rate utilizing Canadian data that is a long  
26 Canada bond forecast, or LCBF.

27 However, LEI's estimation of market risk premium, or  
28 MRP, utilizes U.S. data. To explain this approach, LEI

1 started out with considering Canadian data for estimating  
2 both the risk-free rate and the MRP.

3 For risk-free rate, the LCBF was considered to be  
4 appropriate for multiple reasons. First, Canada and the  
5 U.S. have comparable sovereign credit rating, with no  
6 relative country-risk premium.

7 Second, the LCBF term of 30 years is consistent with  
8 the long-term nature of assets and liabilities of Ontario  
9 utilities.

10 And third, the current deviation between the U.S. and  
11 Canadian 30-year bond yields is unusual, and one of the  
12 factors driving the difference is timing, or example, with  
13 the Bank of Canada reducing benchmark interest rates sooner  
14 than the U.S. Federal Reserve.

15 It is notable that the last 30-year average difference  
16 between U.S. and Canadian 30-year bond yield is  
17 insignificant, as observed by the graphic on this slide.

18 With regards to the MRP, LEI initially considered the  
19 TSX total returns index. The MRP based on this index  
20 resulted in 2.81 percent, which in LEI's opinion is  
21 inconsistent with investors' risk premium and return  
22 requirement expectations.

23 Investors are likely to consider their MRP opportunity  
24 cost based on the U.S.-Canada integrated capital markets.  
25 However, LEI does not see any compelling reason to reject  
26 the LCBF as an appropriate proxy for risk-free rate, given  
27 the same investors that would reject the low MRP based on  
28 TSX index would accept LCBF as the relevant risk-free rate.

1 Moving to the next slide. LEI has recommended an  
2 average market risk premium of 8.32 percent based on  
3 reviewing the last 30-year market data, that is, data for  
4 S&P 500 total returns, minus U.S. 30-year treasury bond  
5 yields.

6 For MRP, there are reasonable justifications to  
7 consider the 10-year, 20-year and 30-year market data.  
8 These include the following: First, the investor  
9 expectations of MRP for the next five years are likely to  
10 be shaped by the high market returns observed in the last  
11 10 to 15 years.

12 It is notable that the total annual market returns,  
13 including dividends, for S&P 500 have exceeded 13 percent  
14 in nine years out of 15 years since 2009. That is annual  
15 market returns have exceeded 13 percent in approximately 60  
16 percent of the time, since 2009.

17 Second, while the recent market data is certainly  
18 important to consider, LEI does not believe it makes sense  
19 to ignore the data from the 1990s and 2000s. For instance,  
20 since 2001, federal reserve policy rates, annual GDP growth  
21 rates and unemployment rates align with rates observed in  
22 the 1990s and 2000s. As such, LEI believes it is  
23 reasonable to consider the 1994 to 2023 period in its MRP  
24 estimate.

25 Moving to the next slide. To estimate the beta, LEI  
26 utilized a three-step process. First, LEI populated the  
27 raw data for peer companies.

28 Second, the raw betas were un-levered using the

1 operating -leverage of each of the peer companies, which  
2 was done to diversify away the firm-specific unsystematic  
3 risk.

4 And third, the average un-levered beta of the peer  
5 group was re-levered, using the OEB-allowed deemed capital  
6 structure. This is a reasonable approach, as un-levering  
7 beta removes the impact of a peer company's debt,  
8 theoretically isolating the business risk from financial  
9 risk. This gives a clearer picture of the inherent risk of  
10 the company's operations and allows for a fairer comparison  
11 between companies with different capital structures.

12 Further, re-levering beta adjusts the un-levered beta  
13 to deflect the company's actual or target capital  
14 structure.

15 LEI believes that Blume adjustment is not required,  
16 particularly for regulated utility sectors because of the  
17 following reasons:

18 First, no empirical evidence is presented to justify  
19 the argument that the beta for regulated utilities moves  
20 towards 1.0 over the long term. In fact, the observed  
21 average beta between 1968 and 2023 for regulated  
22 electricity utilities is 0.49, as shown in the graphic here  
23 on the slide.

24 Second, the weights applied in the Blume adjustment,  
25 that is, two-thirds weight towards raw beta, and one-third  
26 weight towards 1.0, are typically justified by citing a  
27 study from June 1975, which states, and I quote:

28 "Companies of extreme risk, either high or low,

1           tend to have less extreme risk characteristics  
2           over time."

3           In LEI's view, the regulated utility sector cannot be  
4           classified as extreme risk, either low or high.

5           Finally, in an IR response, OEA refers to studies by  
6           Professor Fernandez between 2009 and 2023, which compare  
7           the actual stock returns of 30 Dow Jones industrial  
8           companies against the returns of S&P 500, and concludes  
9           that beta of 1.0 is a superior estimate for all companies,  
10          except two.

11          LEI notes that none of the 30 Dow Jones industrial  
12          companies are regulated utilities and all reflect the risk  
13          attributes of regulated utilities. As such, LEI believes  
14          that the Blume adjustment for regulated utilities results  
15          in inflated best beta estimates by arbitrarily adjusting  
16          the beta towards one.

17          Moving to the next slide. LEI has recommended that  
18          the ROE to be determined utilizing CAPM only. Using  
19          multiple methodologies does not necessarily result in  
20          superior ROE estimates. There are a few reasons for this  
21          assertion. First, CAPM with reasonable beta and market  
22          risk premium inputs sufficiently accounts for real world  
23          uncertainty. Second, CAPM is a flexible model. If a risk  
24          is not accounted for in the standard CAPM model, for  
25          example Country Risk Premium, there are well established  
26          methodologies to just the standard model.

27          Third, CAPM is the most widely used method to  
28          determine ROE. Dr. Cleary, for example, notes in his

1 evidence that CAPM is more heavily relied upon in practice  
2 due to its conceptual advantages. It is also notable that  
3 regulators in many advanced international jurisdictions,  
4 such as the UK and Australia, use only CAPM to determine  
5 the appropriate ROE. Using multiple methodologies with  
6 unrealistic assumptions will not reduce the uncertainties  
7 in estimating the ROE. On the other hand, such a method  
8 can add more noise to the data, thereby obscuring a more  
9 reasonable and realistic ROE estimate.

10 Finally, circularity is another concern. For example,  
11 the risk premium approach utilizes already approved ROEs as  
12 a key variable in determining an appropriate measure for  
13 approved ROEs.

14 Moving to the next slide. LEI believes that the  
15 discounted cash flow or DCF methodology is unsuitable for  
16 the determination of ROE. This is for multiple reasons.  
17 First, the DCF method's reliance upon estimates of future  
18 growth of cash flows is a key weakness. Analysts' earnings  
19 forecasts tend to overvalue the cost of equity and are  
20 consistently over-optimistic. And second, when valuing a  
21 company or an asset to using DCF methodology, a terminal  
22 value is frequently considered to capture the value of a  
23 business beyond the prediction period, which is typically  
24 10 to 30 years as using a steady state growth over the  
25 long-term. As such, DCF methodology is poorly suited for  
26 ROE determination using only a 5-year forward-looking  
27 outlook and is likely to result in an unrepresentative  
28 estimate of the ROE.

1 Even in this proceeding, the ROE estimates using the  
2 DCF model, that is 10.77 percent by LEI, 10.92 percent by  
3 Nexus and 11.09 percent by Concentric, are approximately  
4 three standard deviations above the average ROE authorized  
5 by North American regulators. This implies a probability  
6 of less than 0.15 percent in a normal distribution.  
7 Overall, the DCF methodology typically tends to push up the  
8 ROE estimates relative to just and reasonable returns.

9 Moving to the final slide, I believe. The purpose of  
10 this slide is to emphasize that underachievement of ROEs  
11 relative to authorized ROEs does not imply increased  
12 regulatory risk. It is not prudent to conclude from the  
13 available data associated with achieved ROEs for  
14 electricity distributors that Ontario's regulatory  
15 mechanisms have not reduced risk.

16 A few noteworthy points need to be made. First, since  
17 2015, the achieved ROE for electricity distributors has  
18 been generally stable, ranging between approximately  
19 8 percent to 9 percent, other than in 2020, which was  
20 impacted primarily because of COVID-19.

21 Second, while several distributors on average have  
22 under-earned relative to deemed ROE, between 2015 and 2022,  
23 multiple distributors on average have over-earned as well.  
24 This can be observed by the chart on the bottom right-hand  
25 side of the slide. Dr. Cleary also points out in an IR  
26 response that the largest Ontario distributor, Hydro One,  
27 which accounts for approximately a third of all Ontario  
28 distribution, earned above its allowed ROE every year over

1 the 2019 to 2023 period, with an average earned above  
2 allowed ROE of 1.17 percent between 2018 and 2023.

3 LEI notes that if certain distributors consistently  
4 under-earn, setting a higher authorized ROE would not  
5 resolve the underlying reasons for achieved ROE levels. If  
6 there is reasonable evidence that there has been a  
7 significant change in the risk profile, the option exists  
8 to apply for an assessment of their equity thickness via an  
9 application to the OEB. I believe that's it. Thank you,  
10 all.

11 This concludes our presentation for today. Thank you  
12 for your attention.

13 MR. JANIGAN: Thank you, Mr. Pinjani. I'll ask  
14 members of the Panel if they have any questions of LEI on  
15 this matter.

16 **QUESTIONS BY THE BOARD**

17 MS. ANDERSON: I do, and I'm trying to decide whether  
18 they cross over into what we'll talk about at the oral  
19 hearing. I mean, there's a couple things. One, you've  
20 mentioned certain compliance things that you're  
21 recommending certain filings. So, what are you  
22 anticipating that we do with those filings if every utility  
23 is filing every time they issue debt, that kind of thing?  
24 Are you envisioning that's just part of our annual review  
25 or our regular review of cost of capital or -- so what are  
26 you thinking? Because when something gets filed, we only  
27 want it filed if we're going to do something with it.

28 MR. GOULDING: Do I need to push a button? Apologies.

1 I think that position is certainly in accord with ours of  
2 only imposing an administrative burden when there is a  
3 value to doing it. I think our starting point was that  
4 this would be an annual filing that's only triggered if  
5 there's an actual issuance. And the reason for doing so is  
6 to have actual data that allows for a check against the  
7 inputs that are being used in the generic cost of capital.

8 And so, it's not meant to be a mindless filing. It's  
9 also not meant to be a difficult filing in the sense that  
10 this is information that would already be included in a  
11 utilities financial reports. I mean, I'm anticipating  
12 it's, you know, one page, effectively. It's not new  
13 information that has to be processed. So, from that  
14 perspective, the idea is, okay, you know, are we seeing  
15 trends in issuance costs increasing? Right?

16 And while, you know, obviously our preference is that  
17 issuance costs be incorporated into the overall revenue  
18 requirement, having some understanding of whether, and we  
19 don't believe this is going to be the case, you know,  
20 whether there is some kind of a perverse incentive that  
21 issuance costs are going to rise because utilities aren't  
22 going to be paying attention to getting competitive quotes,  
23 I really don't believe that that's going to be the case,  
24 but it can give a sense of whether the market is moving  
25 faster in a different direction than the adjustment  
26 mechanisms that are built into the framework can cope with.  
27 So, it's not meant to be anything, you know, terribly  
28 obtuse. Right? It's meant to be a check that says, okay,

1 you know, this is the way that the formula works. Here is  
2 some actual data and let's just be mindful. Is there a  
3 problem or not? And my anticipation is that in most  
4 circumstances, in most scenarios of market conditions, this  
5 is just going to reaffirm that there isn't a disconnect.

6 But we think, particularly because of the diversity in  
7 the degree of publicly available information from the  
8 various utilities, this would give the OEB some additional  
9 inputs. And if those filings need to be confidential, they  
10 certainly can be.

11 MS. ANDERSON: Okay. Thank you. Since you're talking  
12 about the issuance costs or transactions costs, and so,  
13 yes. Your recommendation that it be part of the revenue  
14 requirement instead of part of, I guess, the debt, and I  
15 know that will be a subject at the oral hearing, but first  
16 of all, just on the math basis, can you help me understand  
17 the translation between the 15 to 17 percent that you come  
18 up with to the 50 basis points, just a high level?

19 MR. PINJANI: So, just to cover that point, we're not  
20 able to come up with that math. So the 10 to 17 percent is  
21 our estimate of what was allowed, because of 50 basis  
22 points adder. So, if you take the 50 basis points and  
23 multiply that by the ROE allowed in that period, that gets  
24 you that 14 -- the dollar number. And you divide the  
25 dollar number by the total issuance. And that's how you  
26 get the 14 to 17 percent.

27 MS. ANDERSON: Right. And then you compared that with  
28 actual costs?

1 MR. PINJANI: We don't know the actual costs.

2 MS. ANDERSON: You don't know the actual costs. Got  
3 it.

4 MR. PINJANI: What we only know is a statement in IR  
5 response, saying that these costs are around five percent.

6 MS. ANDERSON: Right. And so I know you are not the  
7 only ones that have suggested the 50 basis points was high;  
8 others think it's fine. But did you consider just a  
9 proposal that would simply lower the 50 basis points and  
10 include it in that interest cost? Or you just thought this  
11 was a cleaner approach of getting to the actual cost?

12 MR. PINJANI: In my personal view, it's a cleaner  
13 approach to do this on a revenue requirement, because they  
14 can be infrequent as well, so even if you lower the  
15 number to, let's say, 25 basis points.

16 MS. ANDERSON: And then were you envisioning that  
17 there would be a deferral account, or something to record  
18 it in, if this happens in the middle of a term, so that  
19 then it would be -- that would be recovered at the time of  
20 rebasing? Is that what you were thinking?

21 MR. PINJANI: Yes.

22 MS. ANDERSON: Okay. Thank you. The other question,  
23 and it's probably one that might come up with the other  
24 presentations, as well, and, you know, there's peer  
25 companies that are picked out to do the analysis. And I  
26 often wonder when I look at the Ontario sector, we are  
27 setting this cost of capital for 70-some odd utilities.  
28 You know, they range from a few -- well, we've got about

1 eight, seven or eight that have less than 5,000 customers.  
2 We have, you know, several that are over a million.

3 And so, do all of these proposals that you have work  
4 for the little guys and the big guys? I mean, I think we  
5 often, when we are looking at this, we are talking about  
6 debt issuers, but many of ours have, you know, debt with  
7 their municipality. Most of the utilities are government  
8 owned. So do all your proposals work when I'm looking at,  
9 you know, the range from those with 3,000 customers to  
10 those with over a million?

11 MR. GOULDING: I think the underlying policy  
12 question would be is it appropriate were the customers of a  
13 utility with 3,000 customers to pay more because that  
14 utility has not consolidated, or not?

15 What we have tended to do is to take the position  
16 that, overall, risk is determined by the activity, and that  
17 all of these utilities are engaged in similar activities.

18 Now, in addition, because there are some aspects of  
19 the cost of capital framework that are based on actuals, up  
20 to a deemed cap, right? There is some variation for the  
21 fact that if you are a 3,000-customer utility and you are  
22 raising funds, it's going to cost you more on a percentage  
23 basis. Right? Your interest rate is likely going to be a  
24 little bit higher, and so forth, just because of the small  
25 quantity of funds that you are raising.

26 So, I think that there's a balance. And some of these  
27 questions you can address with financial theory. Others  
28 are a matter of policy. And what we have tried to say is

1 if your policy is that we are not going to reward being  
2 small, right? That that's a choice that the municipalities  
3 themselves make, and they may have good reasons for doing  
4 so. That, in that particular case, allocating them a  
5 higher return on equity isn't a just and reasonable  
6 outcome. But your policy objectives may well lead you to  
7 different conclusions, depending on what you want to  
8 incentivize.

9 MS. ANDERSON: So it's not an economic question, it's  
10 a policy question more than --

11 MR. GOULDING: Yeah. I would say it's only partially  
12 an economic question. I mean, financial theory would say  
13 we focus on the risks of the activity, and that's what we  
14 compensate.

15 But, from a policy perspective, if we want to say,  
16 look, we really like having municipal control and having  
17 utilities that are hyper-responsive to local needs, and so  
18 we are going to give them a little bit more on their return  
19 on equity, then that objective isn't really a financial  
20 objective. That's a social objective.

21 MS. ANDERSON: Thank you. And just moving on, just a  
22 clarification on the cash flow modelling that you have  
23 talked about, your proposal is only when someone is looking  
24 to move from a deemed capital structure? So, you are still  
25 proposing that there be some kind of deemed capital  
26 structure. And then -- but if you want to move from it,  
27 then you have to -- then you propose they do cash flow  
28 modelling? Do I have that correct?

1 MR. GOULDING: Yes. I would state it slightly  
2 differently, and my colleague Mr. Pinjani can step in at  
3 any time if I give a view different from his. But what we  
4 are talking there is really about the equity thickness.  
5 Right.

6 MS. ANDERSON: Yes.

7 MR. GOULDING: And so, at any time, a utility can come  
8 in and say, my risks are very, very different. and I  
9 believe that I require more equity to compensate for those  
10 risks. And a proceeding can be started.

11 And I think that gets back to the fact that this  
12 framework has both generic and utility-specific aspects  
13 that help serve as shock absorbers, if you will, if indeed  
14 there are some unique aspects that can be tested that would  
15 justify a different equity thickness for a particular  
16 utility.

17 MS. ANDERSON: Right. So, for instance, if we  
18 establish a certain equity thickness that is generally  
19 applicable, and someone wants something different, then you  
20 can come in with your cash flow analysis?

21 MR. GOULDING: Yes, that's correct.

22 MS. ANDERSON: Okay. And then I guess my last  
23 question: Obviously, there are a lot of comparisons to the  
24 States. You've picked some Canadian data, as well. I  
25 think it's probably generally correct to say that most of  
26 the utilities in the States, or at least many of them, are  
27 privately owned. Many here in Ontario are government  
28 owned. Does that make any difference to you?

1 MR. GOULDING: So I think when we think about Ontario  
2 utilities, they are government-owned, but they are  
3 corporatized. So, in theory, they are acting like, you  
4 know, any Ontario commercial entity that is a for-profit  
5 entity. They just happen to have a non-profit shareholder.

6 So while in the U.S., depending on your metric in  
7 terms of customers or assets, approximately maybe 70  
8 percent of customers are served by investor-owned utilities  
9 -- subject to check, but I think I'm in the right ballpark.  
10 I think that the right benchmark, I wouldn't want to go in  
11 and try and look at co-ops, for example, in the U.S., which  
12 have a completely different regulatory structure, or  
13 municipal utilities in the U.S., generally regulated by  
14 council. The Ontario framework of having an economic  
15 regulator is consistent with the framework that those  
16 comparators face.

17 Now there are differences in terms of the application  
18 of PBR, whether or not a market is liberalized. So there  
19 are definitely differences that are reflected in the  
20 different choices that various experts make in terms of  
21 comparators.

22 But I think that fundamentally, because Ontario  
23 utilities are themselves for-profit entities, that I would  
24 not critique the use of comparators that are investor-owned  
25 utilities. I think that is the right approach.

26 MS. ANDERSON: Okay. Thank you. Those are my  
27 questions.

28 MR. JANIGAN: Thanks, very much. I have a question

1 that follows up on your observation that the regulatory  
2 treatment in terms of rates in the United States tends to  
3 be more generous than that of regulators in Canada. And I  
4 may have missed this in the evidence, but your conclusion  
5 is based on a general review of the data? Or is there  
6 specific data that you have referenced in relation to  
7 making that comparison?

8 MR. GOULDING: So, I'll leave Mr. Pinjani to  
9 supplement, but I think we have referenced ROEs in our work  
10 and we've also responded to some IRs in that regard. And  
11 so, I think there's probably broad agreement amongst the  
12 experts that the ROEs in Ontario are on the low end, as  
13 noted, there are challenges in pulling together  
14 comparators. We have chosen to use pure plays and then  
15 create a synthetic vertically integrated Ontario utility.  
16 An alternative as we mentioned is to look only at  
17 vertically integrated utilities. But nonetheless, I  
18 believe the data is both in our report and certainly other  
19 experts have provided different views, but some similar  
20 data.

21 MR. PINJANI: And I think it's to do with not just the  
22 ROE, but also capital. On both sides, you'll see that  
23 observed data shows that U.S. in general has a higher  
24 average authorized equity thickness as well as higher  
25 average ROE.

26 MR. JANIGAN: Now, do you expect if the OEB adopted  
27 your recommendations that those rates would move closer  
28 together or would stay pretty much the same in terms of

1 difference?

2 MR. GOULDING: I mean, that's partially a question to  
3 the periodicity of rate cases in the sense that, you know,  
4 not every utility in the U.S. goes for a rate case every  
5 year. Now, given that many utilities are arguing for  
6 substantial increases in capital investment, we are seeing  
7 more rate cases more frequently. So, I think that in the  
8 U.S., you still have affordability concerns and you have  
9 the potential for declining rates, so I would not say that  
10 I would expect convergence to Ontario levels, but that I  
11 would expect that the jurisdictions that are currently  
12 similar in terms of the allowed returns in the U.S. will  
13 continue to be similar to Ontario.

14 So, I'm not expecting a broad divergence among those  
15 that are close. The challenge is in, let's say  
16 jurisdictions with special risks, California. Right? So,  
17 California has a unique wildfire liability regime that  
18 results in a different risk profile. They have kind of  
19 worked that out a little bit, so maybe the allowed returns  
20 are eventually going to fall because there's a different  
21 kind of insurance coverage.

22 But the other thing that we see in the U.S. is that  
23 there is arguably a degree of regulatory capture. Right?  
24 You have utilities like Georgia Power that serve the bulk  
25 of the state, that serve both electric and gas that have  
26 nurtured relationships with their regulators for decades,  
27 and until something goes wrong, and even Plant Vogtle  
28 didn't disrupt the relationship between Georgia Power and

1 its regulators, I would expect those jurisdictions are  
2 going to be a little bit more on the higher side in terms  
3 of allowed returns.

4 MR. JANIGAN: Okay. Thank you very much. Those are  
5 all the panel's questions. Perhaps we could have the next  
6 panel seated. I believe Mr. Smith --

7 MR. SMITH: Yes. Good morning, Commissioners.  
8 Pleasure to see everyone. Yes, we have -- it's Crawford  
9 Smith on behalf of the OEA.

10 MR. JANIGAN: Well, we'll have two or three minutes  
11 here to sort of change the guard.

12 MR. SMITH: Sort it out. I'll just ask the folks from  
13 Concentric to come forward. And I don't know whether we  
14 have name tags for them or not, but that would be great.

15 MR. JANIGAN: Okay. I think we can commence.

16 MR. SMITH: Yes, please.

17 MR. COYNE: I think we're good to go on this end if  
18 the Board is?

19 MR. JANIGAN: Yes, please proceed.

20 **CONCENTRIC PRESENTATION**

21 **PRESENTATION BY MR. COYNE**

22 MR. COYNE: Well, good morning, Board members, Staff,  
23 and parties to this proceeding. Just to go back to  
24 introductions, my name is Jim Coyne and together with my  
25 colleagues, Dan Dane to my left and John Trogonoski to my  
26 right, we will be presenting the findings and  
27 recommendations from our report and study that address the  
28 full list of issues identified by the Board in this

1 proceeding.

2 In addressing you today, I'm mindful of a similar  
3 presentation we gave to this Board 15 years ago in the  
4 Board's last major consultation on these issues. And in  
5 that presentation we highlighted five major conclusions.  
6 The first of those was the current formula does not satisfy  
7 the fair return standard. The second was government bond  
8 yields do not track equity costs in all market conditions.  
9 The third, U.S. utilities and Canadian utilities are  
10 comparable. The fourth, the formula needs to be rebased  
11 and a new adjustment mechanism adopted. And the fifth,  
12 government-owned utilities and investor-owned utilities  
13 should receive the same cost of capital.

14 We were pleased that after deliberations by the Board,  
15 the Board concurred on each of these major conclusions and  
16 charted a course that we believe has served the Board, the  
17 industry, and stakeholders well over the past 15 years.

18 If we could go ahead the next slide. Then, as today,  
19 we believe the industry in its regulation are at an  
20 inflection point. In 2009, it was in the wake of the  
21 financial crisis and the Great Recession of 2007 and 2008,  
22 when capital markets were in turmoil. Today, as I'll  
23 discuss in a moment, it's an industry-specific challenge,  
24 but our conclusions will reinforce those we reached back in  
25 2009.

26 Our focus will be on our key findings and  
27 recommendations with a slightly deeper dive on the key  
28 issues of ROE, equity thickness and carrying costs on

1 deferral and quick balances. Our presentation materials  
2 include an appendix which address each of the 22 issues  
3 raised by the Board and contrasts our position with that of  
4 the other experts.

5 If we could go to slide four, please. Thank you. At  
6 the outset, I would like to highlight seven key findings  
7 and recommendations based on our analysis and broader  
8 assessment of Ontario in the context of the North America  
9 utilities industry, economy, capital markets and the  
10 regulatory environment.

11 First, as I mentioned, the OEB is investigating the  
12 cost of capital and inflection point. There is no better  
13 way to describe this than the words of the credit rating  
14 agency, DBRS Morningstar, where they state:

15 "The industry's ongoing allocation of substantial  
16 capital towards initiatives such as climate  
17 adaptation, modernization and energy transition  
18 has reached unprecedented levels, with many  
19 utilities rolling out capital expenditure  
20 programs that are 10 percent to 20 percent  
21 greater compared with previous cycles."

22 So, clearly it's not business as usual. The demands  
23 of the industry to meet low growth transition and less  
24 reliance on fossil fuels and to modernize the  
25 infrastructure will require unprecedented levels of both  
26 public and private capital.

27 Secondly, Ontario utilities raise capital in an  
28 integrated North American market in which U.S. and Canadian

1 utilities are viewed as comparable by investors. We have  
2 done considerable research on this topic and now, more than  
3 ever, investors see the market for utilities as a North  
4 American one.

5 Thirdly, the current Ontario formula ROE of 9.21  
6 percent and equity ratios of 36 to 40 percent are  
7 insufficient to meet the requirements of the fair return  
8 standard. Business risks have increased, as have capital  
9 costs for utilities. While the Board's existing formula  
10 has worked as designed, it is not current meeting the fair  
11 return standard for Ontario's electric distributors,  
12 transmitters, and gas distributors.

13 Our analysis shows that an ROE of 10 percent and a  
14 minimum equity ratio of 45 percent will satisfy the  
15 requirements of the fair return standard and allow  
16 Ontario's utilities, excluding OPG, to effectively compete  
17 for capital with their North American peers over the coming  
18 years.

19 Fifth, we also conclude that Ontario utilities are not  
20 recovering their full cost of capital through deferral and  
21 variance accounts and on CWIP. Our recommendations address  
22 this imbalance.

23 Sixth, a cap on debt costs, as proposed by some  
24 experts, would not fully recover the prudently incurred  
25 cost of debt for all Ontario utilities.

26 And finally, taken together, our recommendations will  
27 provide continued access to capital at reasonable rates and  
28 financial flexibility for Ontario's utilities to meet the

1 current and foreseeable challenges facing the industry.

2 Next slide, please. One cannot discuss the cost of  
3 capital, of course, without recognizing the legal  
4 requirement of meeting the fair return standard.

5 Emphasizing the importance of this point, the Supreme Court  
6 of Canada summarized in a 2015 decision, and I quote the  
7 Supreme Court:

8 "The required return is one that is equivalent to  
9 what they could earn from an investment of  
10 comparable risk. Over the long run, unless a  
11 regulated utility is allowed to earn its cost of  
12 capital, further investment will be discouraged,  
13 and it will not be able to expand its operations  
14 or even maintain existing ones. This will harm  
15 not only its shareholders, but also its  
16 customers."

17 It's important to recognize that the fair return  
18 standard encompasses both the ROE and the capital  
19 structure. While all the experts recognize the fair return  
20 standard, we believe it's important to understand it is a  
21 three-pronged test, and this Board was very clear in its  
22 2009 report when it indicated that, and I quote the Board:

23 "The Board agrees with the comments made to the  
24 effect that the cost of capital must satisfy all  
25 three requirements which can be measured through  
26 specific tests, and that focusing on meeting the  
27 financial integrity and capital attraction tests  
28 without giving adequate consideration to

1           comparability test is not sufficient to meet the  
2           fair return standard."

3           We do not believe that all the experts in this  
4 proceeding adhere to that standard established by this  
5 Board in consideration of its legal requirement.

6           Next slide, please. We recognize that while this  
7 Board has a legal requirement to set the cost of capital to  
8 meet the fair return standard, it also has a broad  
9 responsibility to serve the public interest. While these  
10 might be thought of as in conflict, in fact, they are  
11 compatible.

12          It's a difficult decision for any board to approve an  
13 increase in consumer costs, which would occur if the Board  
14 follows our recommendations, unless it also believes it is  
15 acting in the public interest.

16          Let me explain why we believe our recommendations are  
17 aligned with the public interest. Our recommendations  
18 would accomplish the following things: one, provide a  
19 solid financial foundation for Ontario's utilities; two,  
20 will allow Ontario's utilities to compete for capital on  
21 favourable terms with their North American peers over the  
22 coming years; three, assure that Ontario's utilities will  
23 have the resources required to meet the current and  
24 foreseeable challenges facing the industry; fourth,  
25 recognize that Ontario operates in a North American  
26 economy, a North American utilities industry and North  
27 American capital markets.

28          The balance of interest between consumers and

1 shareholders who require a compensatory return are met by  
2 these recommendations.

3 To drive home this point, the next slide, please: I  
4 would just like to cite two reports that were just released  
5 over the course of the past week. A study just released by  
6 the management consulting firm, McKinsey, in a decision by  
7 the Massachusetts Department of Public Utilities underscore  
8 these points of alignment. McKinsey points out that while  
9 significant progress has been made over the past 15 years,  
10 there is a gap in deploying renewable energy technologies  
11 that would achieve public policy goals in energy  
12 transition. And they go on to cite all the reasons why  
13 that gap exists. But financing the projects necessary to  
14 achieve these goals is key among them.

15 And the Massachusetts utility regulator, in approving  
16 electric sector modernization plans just this past week,  
17 found that these investments would ultimately provide net  
18 benefits to consumers.

19 So this is the context of the inflection point that we  
20 mentioned. Substantial new investments are required in  
21 each segment of the industry and unprecedented levels of  
22 capital from both public and private sources will be  
23 required to meet common public policy goals in Canada, in  
24 the U.S. and globally.

25 Providing the appropriate returns to public and  
26 private investors is in the public interest, and recognizes  
27 the importance of meeting these goals.

28 Next slide, please. Let me now turn to the return on

1 equity. The next slide, please. One back. Thank you.

2 Concentric recommends a base ROE of 10 percent for  
3 Ontario's regulated electric and gas distributors and  
4 transmitters. We arrive at this recommendation with the  
5 perspectives of multiple models and multiple proxy groups,  
6 and also relying on our experience using these models  
7 extensively before regulators both in Canada and the U.S.  
8 at both the provincial, state and federal levels.

9 Our observation is that no proxy group or model is  
10 perfect, but you can see the range of estimates here is  
11 fairly tight, between 9.36 and 10.62 percent, and converges  
12 around 10 percent, which is the basis of our  
13 recommendation.

14 Based on our analysis, we are confident that this ROE  
15 and recommended minimum equity ratio will satisfy the three  
16 tests of the fair return standard.

17 The way to meet the fair return standard and balance  
18 the interests of consumers is not to take away any aspect  
19 of the fair return standard, but to adopt a conservative  
20 approach in meeting them, as we have in our analysis.

21 Next slide, please. Contrasting our recommended ROE  
22 with those of the other experts, there is a surprisingly  
23 wide range, from 7.05 percent to 11.08 percent. To  
24 understand these differences, you need to examine the proxy  
25 group selected, the models employed, the inputs to those  
26 models and the reasonableness of the result. This is a  
27 challenge within our allotted time, so I will hit some key  
28 points.

1           Next slide, please. Similar to our analysis, and I  
2 will begin with Nexus here, Nexus also uses multiple models  
3 and a North American proxy group, but appears to assume the  
4 existing 40 percent equity ratio in its analysis and the  
5 11.08 percent recommended base ROE. Because Nexus accounts  
6 for financial leverage in its analysis, we assume that  
7 their recommendation would be much closer to our 10 percent  
8 if they had assumed our recommended 45 percent equity  
9 ratio, but I would defer to Nexus to comment on that.

10           Let me turn to LEI. LEI recommends, as we just heard,  
11 resetting the base ROE to 8.95 percent within a range from  
12 8.2 to 10.22 percent. We point out several areas of  
13 disagreement between our approach and LEI's in our report.  
14 Among them, Concentric disagrees with the following aspects  
15 of LEI's analysis. One, primary reliance on a single model  
16 to estimate the authorized ROE rather than multiple  
17 methodologies. Two, certain inputs to the CAPM analysis,  
18 including LEI's use of raw betas rather than Blume adjusted  
19 betas and also the level of the market risk premium  
20 employed. We disagree with LEI's concerns with the DCF  
21 model to estimate the cost of equity for regulated  
22 utilities, and the exclusion of an adjustment for flotation  
23 costs and financial flexibility, which is a departure from  
24 the OEB's past practice of allowing an adjust for 50 basis  
25 points. However, if LEI were to adopt its alternative  
26 number 6 presented in its report where it averages the  
27 results of all three models, the DCF, the CAPM and the risk  
28 premium, and include the 50 basis bullet point adjustment,

1 LEI's base ROE would be 9.79 percent, very close to our  
2 10 percent.

3 Turning our attention to Dr. Cleary, his use of a  
4 small Canadian proxy group and his judgments concerning  
5 model inputs yield an untenable result. Dr. Cleary's  
6 recommendations of 7.05 percent is 145 basis points below  
7 the lowest authorized return for any other Canadian utility  
8 and does not meet the requirements of the fair return  
9 standard on that basis alone. Unless he could somehow  
10 demonstrate that Ontario's utilities were of a completely  
11 different risk class, which he has not done.

12 Let me now turn to my colleague Mr. Trogonoski, who  
13 will elaborate on the North American perspective of utility  
14 investors and our specific recommendations to adjustments  
15 on the ROE formula. Next slide, please.

16 **PRESENTATION BY MR. TROGONOSKI**

17 MR. TROGONOSKI: Thank you, Mr. Coyne, and good  
18 morning, Panel members. It's a pleasure to be here with  
19 you again this morning. I would like to talk briefly about  
20 the North American perspective and the importance of that  
21 viewpoint. The Board was really a leader in 2009 when it  
22 recognized the value of including both Canadian and U.S.  
23 companies in the proxy group for purposes of establishing  
24 the cost of capital for Ontario utilities. And whenever we  
25 talk with equity investors or equity analysts or credit  
26 rating analysts about their views, we repeatedly hear from  
27 them how they consider the utility industry to be a North  
28 American industry.

1           And this is really a critical point, because it means  
2 that Canadian companies are competing for capital with  
3 similar risk companies in both Canada and the U.S. So, if  
4 Ontario utilities have a lower authorized ROE or a lower  
5 deemed equity ratio than their North American peers of  
6 comparable risk, it places them at a disadvantage in  
7 competing for capital at a time when significant investment  
8 is required in the industry. And it's important to go back  
9 to the fair return standard here and remember that it  
10 requires the return, and the return includes both the ROE  
11 and the deemed equity ratio, that return must be comparable  
12 to that available to investors in companies with similar  
13 risk.

14           And Dr. Cleary is the only expert in this proceeding  
15 who limits his analysis to a group of five Canadian utility  
16 companies and, by contrast, we believe it's reasonable to  
17 include both U.S. companies and Canadian companies because  
18 they do have comparable business, operating, and regulatory  
19 risk. The industry has seen a number of cross-border  
20 investments in the last 20 years, especially with regard to  
21 Canadian companies acquiring utilities in the U.S., and  
22 we've worked on several of those transactions between U.S.  
23 and Canadian investors and the deals are just further  
24 market evidence that investors do consider investments on  
25 both sides of the border as they assess their alternatives.

26           Furthermore, we would note that some have questioned  
27 on whether Ontario utilities have raised capital in the  
28 U.S. market, but that's not really the most important issue

1 here. What matters more importantly is that investors do  
2 have options on both sides of the border, and they are  
3 seeking comparable returns on their investments. So, if  
4 they can get a higher return in a different company in a  
5 different country, they will do that if the risk of those  
6 two companies is equivalent.

7 And finally on this point, I believe the regulators in  
8 both British Columbia and Alberta have both recently  
9 concluded that using a North American proxy group is their  
10 preferred approach and, in particular, the BCUC had a nice  
11 summary of this point that we have here on our slide where  
12 they say:

13 "We find that having a proxy group of North American  
14 comparators trumps any jurisdictional or structural  
15 differences and in making this determination we rely on the  
16 fact that financial and capital markets are highly  
17 integrated and that utility regulatory regimes in North  
18 America are sufficiently similar for the purpose of  
19 establish a comparable ROE."

20 If we can go to the next slide, please. So, here we  
21 have a summary for you of the current OEB formula  
22 parameters. At the top of the slide and below that are  
23 recommended changes to those parameters. And, as you know,  
24 there are really four parameters that are included in the  
25 formula. We are recommending refinements to certain of  
26 those parameters to reflect more recent updated market data  
27 and also several modest changes to several of those  
28 parameters.

1           So, the four parameters are the base ROE, which as Mr.  
2 Coyne discussed earlier, we recommend be reset at 10  
3 percent. The second parameter is the long Canada bond  
4 forecast, or LCBF. The third parameter is the utility  
5 credit spread. And the last parameter are the adjustment  
6 factors that are used to adjust for changes in government  
7 bond yields and utility credit spreads.

8           So, turning first to the LCBF, similar to the  
9 recommendations from LEI, we're also recommending moving to  
10 a different source for the long Canada bond forecast.  
11 Currently the formula uses a consensus economics forecast  
12 of a 10-year bond, and it adds a spread between the 10- and  
13 30-year bond to that forecast to make it a 30-year bond  
14 forecast. Our recommendation is to use a 30-year  
15 government bond forecast that's available from several  
16 major Canadian banks, and this avoids the problem that has  
17 occurred in recent years with using the 10/30 spread that  
18 has been inverted due to conditions in capital markets  
19 during the inflationary period of the last couple of years.

20           Secondly, turning to the utility credit spread, as we  
21 say in our report, this value has been within a fairly  
22 narrow range since it was adopted by the Board. So, since  
23 2010 it has ranged from approximately 1.35 up to 1.50  
24 percent. The spread is important, however, because it does  
25 reflect the business risk profile of utilities in the debt  
26 market, and we recommend updating the value of the spread  
27 to reflect current market conditions. As we show there on  
28 our slide, it would be approximately 1.41 percent as of the

1 end of May of 2024.

2 And finally, with regard to the adjustment factors,  
3 we're recommending modest changes to these values to  
4 reflect the fact that correlations between authorized ROEs  
5 and government bond yields and utility credit spreads have  
6 declined to some degree in recent years. In our report, we  
7 ran a regression analysis based on the relationship between  
8 authorized ROEs and government bond yields and A-rated  
9 utility credit spreads, and that regression showed that the  
10 adjustment factor for the LCBF should be reduced from the  
11 current 0.5 down to 0.4. And for the utility credit  
12 spread, the adjustment factor would be reduced from 0.5  
13 down to 0.33.

14 So, that finishes our summary of the ROE section of  
15 our presentation. And back to Mr. Coyne now.

16 MR. COYNE: Thank you. And Mr. Dane will be  
17 completing our discussion by summarizing our  
18 recommendations on equity thickness and returns on deferral  
19 and variance balances and on CWIP.

20 **PRESENTATION BY MR. DANE**

21 MR. DANE: Good morning. I would like to reiterate  
22 that the fair return standard encompasses both the ROE as  
23 well as the deemed equity ratio. Ontario uses a generic  
24 ROE, as we know, and equity thickness is used to recognize  
25 differences in risk. We recommend retaining that model,  
26 although we believe that at each rate setting application,  
27 an analysis of the comparability of Ontario's equity ratios  
28 should be performed, not solely an analysis of whether risk

1 has changed.

2 In this proceeding in our assessment of equity  
3 thickness, we address two main questions. The first was  
4 does the risk ranking as measured by equity ratios continue  
5 to be reasonable? And two, do the equity ratios as a class  
6 meet the fair return standard and, specifically, the  
7 comparable return component of that standard?

8 To answer both questions, we analyzed several utility  
9 risks, including those relating to energy transition,  
10 climate risk, cybersecurity risk and regulatory risk. We  
11 also reviewed those risks in comparison to our peer groups  
12 of North American utilities, finding that, in aggregate,  
13 the business risk profiles of the North American proxy  
14 groups reflect similar risks to Ontario utilities, except  
15 OPG.

16 And our conclusion is also that the risks for Ontario  
17 utilities have increased over time, driven primarily by  
18 energy transition, climate and physical risks, as well as  
19 cybersecurity risks.

20 As an example of our analysis, we looked at risks  
21 related to the energy transition, which is one of the  
22 questions the Board had in its issues list, and which is  
23 leading to a transformation of all aspects of the industry.  
24 Energy transition creates significant planning risks and  
25 capital needs for electric companies, it contributes to  
26 OPG's pursuit of highly intensive and first-of-a-kind  
27 nuclear projects. And energy transition also means that  
28 Ontario's natural gas distributors are facing the prospect

1 of declining demand and stranded asset risk.

2 And yet, despite our findings of comparable risks to  
3 the peers that we reviewed, as well as increasing risk for  
4 Ontario utilities, Ontario's equity thicknesses fall below  
5 those of its peers, as shown in this chart. Therefore, we  
6 recommend equity ratios be adjusted in this proceeding to  
7 address this disparity.

8 And while arguably, given our conclusions regarding  
9 the need to compete for capital across North America, that  
10 adjustment could reasonable be made at 50 percent or more.  
11 Our recommended 45 percent minimum equity ratio is a  
12 conservative measure of equity thickness.

13 To that point, the 45 percent is the minimum  
14 appropriate equity thickness to meet the fair return  
15 standard, and it forms on integral part of our  
16 recommendations, coupled with our ROE recommendations that  
17 my colleagues just discussed.

18 Can we move to the next slide, please. In terms of  
19 the risk ranking of Ontario utilities, which has gas  
20 utilities at the bottom of the spectrum, electrics in the  
21 middle and OPG as the highest risk segment, we find that  
22 natural gas has become riskier than electric distribution,  
23 driven primarily by energy transition-related risks.

24 OPG as the only pure-play regulated generator in North  
25 America, with a large nuclear presence, continues to  
26 reflect a distinct and elevated level of risk.

27 And while we find that gas distribution is riskier  
28 than electric distribution and transmission, we disagree

1 with Dr. Cleary's recommendation to reduce Hydro One's  
2 equity ratio. This would only exacerbate the equity ratio  
3 gap that I discussed on the previous slide, while also  
4 sending a negative investment signal at a time of  
5 increasing capital needs. And it would also threaten  
6 credit deterioration at Hydro One.

7 Can we move to slide 18, please? I will wrap up with  
8 a discussion of carrying costs on deferral and variance  
9 accounts, and on construction work in progress, or CWIP.  
10 DVAs, as they are called, and CWIP, represent longer term  
11 deferrals and delayed recovery of significant costs for  
12 utilities. And so, at a fundamental level, a key  
13 consideration is that the cost of capital associated with  
14 those delays be recovered by the utilities.

15 And when we are talking about the manner in which  
16 utilities finance these deferrals, it's on their balance  
17 sheets, which is done with a mix of debt and equity, not  
18 purely short-term debt, as is currently assumed in the  
19 carrying costs for DVAs, and not purely with long-term  
20 debt, as is currently the assumption with CWIP.

21 In particular, when we look at the capital costs  
22 during construction, which is the carrying costs on CWIP,  
23 the approach in most jurisdictions in the U.S. and Canada  
24 is to apply the weighted average cost of capital or some  
25 variant of the weighted average cost of capital, which  
26 reflects both debt and equity components, not only a long-  
27 term debt rate, as is currently done in Ontario.

28 And so, we recommend that the weighted average cost of

1 capital, or WACC, be applied here, allowing that for  
2 shorter term deferral in variance accounts, the prescribed  
3 interest rate may continue to be reasonable.

4 Application of the WACC to these accounts provides the  
5 opportunity for utilities to recover all costs associated  
6 with a utility's invested capital which, as we discussed,  
7 is of critical importance at this inflection point for the  
8 industry.

9 That concludes our discussion, our presentation. I  
10 will just reiterate that we provided an appendix with our  
11 presentation that summarizes the issues, along with areas  
12 of alignment and disagreement among experts.

13 So thank you, and we will take questions.

14 MR. JANIGAN: Thank you, very much, panel. Mr. Coyne,  
15 do you have something to add?

16 MR. COYNE: No. Just getting ready for your  
17 questions.

18 MR. JANIGAN: Okay. I am sorry. Mr. Sardana.

19 **QUESTIONS BY THE BOARD**

20 MR. SARDANA: Good morning. I just have a couple of  
21 questions. Mr. Coyne or Mr. Trogonoski, leaving aside some  
22 of the larger Ontario LDCs, in particular Enbridge, how  
23 many Ontario LDCs actually compete for capital outside of  
24 Canada? I mean, I would even put Hydro One in that  
25 situation. Hydro One has issued in the U.S., I believe,  
26 but how many Ontario LDCs would practically issue or get  
27 money from outside of Canada?

28 MR. COYNE: I think we answered an IR on that question

1 and, John, I don't know if you recall better than I do, but  
2 we were asked that very question. And my recollection was  
3 that there were two or three companies that actually raise  
4 debt and/or equity capital cross-border. And...

5 MR. TROGONOSKI: I believe both Hydro One and Enbridge  
6 have issued debt capital in the U.S. And other companies  
7 in the Canadian proxy group have as well, including Fortis  
8 and AltaGas. So it does happen.

9 MR. COYNE: Coupled with that point, the one that we  
10 wanted to emphasize was that even for companies that aren't  
11 issuing capital cross-border, their investors, who we work  
12 with -- let's just say Ontario Teachers, for example, or  
13 the BC Pension Fund, et cetera, we work with them, looking  
14 actively at investments in U.S. utilities as well as  
15 Canadian utilities.

16 So the investors themselves have the option of buying  
17 Toronto Hydro debt or buying Southern Company debt or  
18 Georgia Power debt. So that's where the market clears, in  
19 our view, is at the investor and not necessarily with the  
20 utility, although some are raising capital on both sides of  
21 the border.

22 MR. SARDANA: Yes, that's a fair point. But of the  
23 companies, the larger utilities, say Toronto Hydro and  
24 others, have they had any trouble with their issuances in  
25 terms of attracting capital? I mean, most of these issues  
26 seem to be well oversubscribed.

27 MR. COYNE: Not that we are aware of. We have not  
28 documented difficulties raising capital. We are aware that

1 Enbridge at this point in time is on a negative credit  
2 watch, so maybe there are concerns there concerning impacts  
3 of transition as well as financial leverage.

4 Our point is not that the companies have had a  
5 difficult time raising capital in the past; it's that we're  
6 in a new world, and they will be deploying significant  
7 amounts of capital to meet the challenges of energy  
8 transition and beyond. And in order to stay abreast with  
9 their North American peers, they need stronger balance  
10 sheets than they have today.

11 MR. SARDANA: Okay. Thank you. And maybe that's a  
12 bit of a segue into my next question. You mentioned the  
13 McKinsey study, and you mentioned that, you know, they were  
14 having trouble with financing some of these projects. Was  
15 the financing trouble that they were having a function of  
16 the capital structure or the inherent project risk  
17 underlying these projects?

18 MR. COYNE: As I read the study, they pointed to  
19 investor uncertainty regarding future returns for these  
20 projects and on certain policies, so those coupled with  
21 technology uncertainty have made it a more challenging  
22 investment environment than McKinsey thought was necessary  
23 to meet these aggressive climate goals. So, it was three  
24 pronged. It was technology related, policy related and just  
25 concerns amongst investors as to what those future returns  
26 would be.

27 MR. SARDANA: Okay. Thank you.

28 MS. ANDERSON: Yes, I do. So, there's one slide where

1 you talk -- I'm not sure who was it in saying that we might  
2 have growth in the order of the 10 to 20 percent because of  
3 the energy transition, so it gets me thinking about it from  
4 a shareholder's perspective. And a 10 to 20 percent  
5 growth, one would assume, is going to increase rate base,  
6 which is going to result in significantly increasing net  
7 income that would then lead to dividends to the shareholder  
8 even at the current ROE.

9 So, you know, looking at it from that perspective of  
10 the fair -- I mean, a fair return standard is the return on  
11 invested capital, yes, but from a shareholder's  
12 perspective, you know, even with the growth, aren't they  
13 looking potentially to get greater dividends even at the  
14 ROE as it is? And so increasing, you know, what's the  
15 impact now? You're the customer. The impact is you get to  
16 a 45 percent equity and a 10 percent ROE. Now there's even  
17 more net income potentially going to dividends to a  
18 shareholder.

19 So, like, we look at it from the fair return standard  
20 on invested capital, but what about from the shareholder's  
21 perspective? Aren't they, you know -- With this growth in  
22 transition, we talk about the risk, but what about the  
23 reward side of it, is increased rate base? So, how do I  
24 take that into account?

25 MR. COYNE: Sure. Yes, I think you pointed out the  
26 two prong aspects of increasing investment to meet  
27 challenges. The expectation is that, yes, the utilities  
28 will be investing additional quantities of both equity and

1 debt as long as the returns are compensatory to do so. And  
2 our point to the Board is that if the Board is providing  
3 returns that are competitive from a North American  
4 standpoint, then utilities will want to make those  
5 investments because they will be receiving a compensatory  
6 return, and that investors and debt likely will also feel  
7 as though these are good investments in Ontario, as they  
8 have felt in the past.

9 But in order to do so and to make those investments,  
10 our point to you is that there is some increase in that  
11 return that's required. Otherwise, Ontario's utilities are  
12 raising capital at a disadvantage, and that appears two  
13 different ways. One is if you're in equity markets and you  
14 go to your investors and you say, look, I can offer you a  
15 9.21 percent return in Ontario or I can offer you a 10.75  
16 percent return in Florida, they're going to say, thank you  
17 very much, I'll take the Florida return. I find that to be  
18 better.

19 And so, what we're looking to establish with these  
20 recommendations is an equilibrium for Ontario's utilities  
21 that will not put them at a disadvantage when it comes to  
22 raising that capital. But yes, if they do make those  
23 increases, increased investments in rate base, it will  
24 increase those earnings over time. That's correct.

25 MS. ANDERSON: Okay. Thank you. And my next question  
26 is around your views of no cap on the debt rate. That's  
27 one of your recommendations, not to set a cap on the debt  
28 rate. And did you take into account -- were you

1 considering that based on external debt or did you take  
2 into account that many, many utilities have promissory  
3 notes with their municipal shareholders, that kind of  
4 thing, and so it's a related-party transaction, as it were?  
5 So would your views change at all from that perspective?

6 MR. DANE: I believe the extension of the cap is  
7 recommended by other experts was to Enbridge and OPG. And  
8 so, our focus is really on whether that's applicable for  
9 them. And we provided evidence in an interrogatory that  
10 shows that, for instance, even at a similar credit rating,  
11 OPG's expected credit spreads are above others in the  
12 industry. So, the concern from our perspective is really  
13 that one cap won't necessarily apply to all utilities,  
14 particularly if it's set at a benchmark that's not  
15 reflective of the individual risks of the underlying  
16 companies. So, it's more from that perspective that we're  
17 focused.

18 MS. ANDERSON: So, you didn't really consider the  
19 perspective of a promissory note from a municipal related  
20 party? You didn't analyze that perspective?

21 MR. DANE: Not specifically. I think our point here  
22 is more generally applicable regardless of the source of  
23 the debt, is that the deployment of that debt is into  
24 companies of certain levels of risk. And even at --  
25 whether it's from a municipal or from a public market, they  
26 still have to analyze the risks of the entity and would  
27 demand similar returns based on those risks.

28 MR. COYNE: And I must say that based on our North

1 American rate experience, and I would ask my colleagues if  
2 they have any different experience than I do in this, but  
3 I'm not aware of any regulator that caps debt as suggested  
4 here. The traditional approach, as you're aware of, is to  
5 examine the prudence of those costs. Were they raised  
6 under reasonable terms and things of that nature. But a  
7 cap is difficult to impose because, especially in Ontario,  
8 as you mentioned, commissioner, you have 70 plus utilities  
9 with different credit ratings and they raise capital and  
10 debt capital at different times and through different  
11 channels. So, to us it represents a very blunt instrument  
12 for something that requires more individual care as these  
13 entities come before you for rate cases.

14 MS. ANDERSON: Okay, thank you. Moving on to the  
15 three pronged test, so one of the tests is financial  
16 integrity. So, I'm not aware of any experience in Ontario  
17 where kind of the financial integrity of one of our  
18 regulated entities has been in question. So, is that --  
19 so, what do you mean by financial integrity when you're  
20 thinking about the fair return standard?

21 MR. COYNE: We think of it, for a utility, it  
22 typically means maintenance of an investment-grade credit  
23 rating in Canada and able to access debt and/or equity  
24 capital under all market cycles. And, at a more  
25 fundamental level, about to meet its debt obligations on an  
26 ongoing basis. So, I think financial integrity is one of  
27 the minimum thresholds of the fair return standard.

28 MS. ANDERSON: Would you equate that to financial

1 viability, or is that, like -- in other words, viabilities  
2 you're about to go bankrupt or...

3 MR. COYNE: I would, yes.

4 MS. ANDERSON: Okay, thank you. Slide 7 just got me  
5 raised and I haven't researched these quotes, but both of  
6 the quotes sort of twigged in me that they talk about  
7 technologies and solar and the energy transition. And so,  
8 when you're looking at some of these, were these about the  
9 generation side of, you know, the sector? And were you  
10 distinguishing between vertically integrated utilities and  
11 the fact that here we mostly, other than OPG, mostly T&D?  
12 So, the scaled deployment of all these technologies made me  
13 think they were talking more along the lines of generation  
14 and energy transition, that kind of thing.

15 MR. COYNE: Maybe I could speak to the left-hand  
16 portion of the slide and ask Mr. Dane if he would speak to  
17 the right-hand side. In terms of the McKinsey study, you  
18 know, like McKinsey does, it was a fairly global view of  
19 the issue. So they were looking at the energy and  
20 regulated utility sector in fairly broad terms. And so,  
21 they were speaking primarily to the deployment of renewable  
22 energy resources. And I think of those probably as focused  
23 on the generation and production side.

24 But it is also the case, as we know, that in order to  
25 accommodate those resources, massive investments are  
26 required in the transmission infrastructure as well as the  
27 distribution infrastructure in order to be able to manage  
28 new types of generation resources, and also non-traditional

1 generation assets that are being deployed across the  
2 system.

3 But I think that the McKinsey study is more focused  
4 globally on how much renewable energy is going to be  
5 required to get to net zero by 2050 and the gap that they  
6 see existing there.

7 So, theirs wasn't a sector-specific focus. But I  
8 think if you read between the lines, it is focusing on the  
9 gap on the renewables side.

10 MS. ANDERSON: Thank you.

11 MR. COYNE: Let me ask Mr. Dane if he could address  
12 the Massachusetts decision was purely related to the T&D  
13 companies in the state.

14 MR. DANE: That's correct. The Massachusetts  
15 Department of Public Utilities here, in approving the  
16 electric sector modernization plans, those are for  
17 distribution companies, the three electric companies in  
18 Massachusetts. And those plans focus on the next five  
19 years, both in terms of the utilities' plans for increased  
20 reliability of the system, as well as about \$2.5 billion in  
21 spending on the system. And, again, this is for  
22 distribution only.

23 And just a little bit of further context there. The  
24 DPU, or the department, as they're called, cost recovery is  
25 still being worked out in terms of the ESMPs, as they're  
26 called, but they did allow, or they did approve a short-  
27 term reconciling recovery mechanism to start the utilities  
28 on their way in terms of these plans. So to your question,

1 it's for distribution only in that case.

2 MS. ANDERSON: Distribution, thank you. So my last  
3 question gets into my trying to get my head around the  
4 recommendation on WACC applying to DVAs and CWIP. So,  
5 let's talk the DVAs in particular.

6 Yes, I get that it's a deferred cost on the balance  
7 sheet. Actually, under IFRS, I guess it does flow through,  
8 a flow-through, the statements; I will have to get up on my  
9 accounting, there.

10 But the nature of them, does that not matter, the  
11 nature of what those DVAs were? Most of them, and I know  
12 there's some that are capital related, but most of them are  
13 an operating expense, or the difference between a revenue  
14 and an expense of, like, a variance account. And I know  
15 you said the recommendation is only for things that last  
16 more than a year; I think you said short term should be the  
17 status quo. But I am trying to get my head around applying  
18 a WACC to something that was an operating initially, if it  
19 had been recovered in that year.

20 So, can you help me understand why you would get a  
21 profit on something that was a deferred operating cost?

22 MR. DANE: Sure. I mean, to your question about the  
23 short-term, long-term nature, we answered some  
24 interrogatories on that as well, and we recognize that  
25 there may be some practicalities there. So, while we still  
26 would -- our recommendation would be the WACC to DVAs, we  
27 recognize that there could be a differentiation, for  
28 example, between group one and group two, group one being

1 more readily reconciled versus group two, et cetera.

2 But our focus is really on the commitment of capital  
3 by the utilities in those cases. And so, in the midst of a  
4 rate plan, they could be committing capital that they had  
5 to spend on those operating expenses. But then it gets  
6 hung up for a number of years, potentially, until it's  
7 dealt with in the next rate setting application.

8 So our focus is really on the fact that that capital  
9 is tied up for a longer period of time. And, as we say in  
10 our report, and I mentioned a few minutes ago, that's used  
11 with a -- that is done with a mix of debt and equity. And  
12 so tying those all together forms our recommendation about  
13 weighted average cost of capital return for those accounts.

14 MS. ANDERSON: Okay. And then just the other question  
15 was a clarification on, I think it was your slide 18, it  
16 mentions CWIP in rate base. And so, not AFUDC. Can you  
17 explain?

18 MR. DANE: In the quote?

19 MS. ANDERSON: Yes. It says rate base is defined as  
20 net plant, property, working capital and the construction,  
21 like CWIP, in rate base.

22 MR. DANE: Right. And I think that's specific to this  
23 quote where Bonbright is describing the concept between  
24 sources and uses of funds. And so I read this to be for  
25 those jurisdictions that allow CWIP in rate base --

26 MS. ANDERSON: Okay.

27 MR. DANE: -- whether you wouldn't earn a return,  
28 which is not the case here. So I think that's -- we didn't

1 want to put a partial quote in.

2 MS. ANDERSON: I got it.

3 MR. DANE: But I could see that would be confusing.

4 MS. ANDERSON: Yeah, okay, No, thank you. That's it,  
5 from me.

6 MR. JANIGAN: Thank you. Commissioner Mr. Sardana has  
7 one more question.

8 MR. SARDANA: Sorry, I should have asked this earlier.  
9 Clearly OPG is in a construction cycle and a refurbishing  
10 cycle right now; it is probably going to last a few more  
11 years. But once that cycle is over and they are operating  
12 these new refurbished reactors and perhaps the SMRs as  
13 well, would your view of their risk change at that point,  
14 when they turn from a construction -- you know, where  
15 there's a lot of risk in your view, and others, to more of  
16 an operational company now, for the next 30 or 40 years?

17 MR. DANE: Yes. No, it's a good question, and I think  
18 ultimately we would want to assess their risk at that time.  
19 And I think that's part of our recommendation about  
20 revisiting cost of capital every five years, rate setting  
21 plans being generally made for five years.

22 So certainly, if OPG is through its -- through this  
23 capital plan time period, that would affect their risk.  
24 But things change over time, so I wouldn't want to  
25 necessarily commit that it would change as an overall  
26 picture. But certainly we would want to take that into  
27 consideration.

28 MR. JANIGAN: Thank you, very much. Panel, I have no

1 questions for you. And we will take a break until 11:25.  
2 And we will at that point in time hear the Nexus  
3 presentation.

4 --- Recess taken at 11:08 a.m.

5 --- On resuming at 11:26 a.m.

6 MR. JANIGAN: Were all three presentations marked as  
7 exhibits?

8 MR. JOHNSON: Yes. I was going to say just before I --  
9 in my haste to get out of the way, I forgot to mark my own  
10 presentation as an exhibit.

11 MR. RICHLER: So, we can mark the Concentric  
12 presentation as Exhibit KP1.2 and then while we're at it,  
13 we can mark the Nexus presentation as KP1.3, and Dr.  
14 Cleary's presentation as KP1.4.

15 **EXHIBIT KP1.2: CONCENTRIC PRESENTATION.**

16 **EXHIBIT KP1.3: NEXUS PRESENTATION.**

17 **EXHIBIT KP1.4: DR. CLEARY'S PRESENTATION.**

18 MR. JANIGAN: Okay. Ms. Stothart, could you introduce  
19 your Panel, please.

20 MS. STOTHART: Yes, absolutely. Pleasure to be here.  
21 Sarah Stothart on behalf of the Electricity Distributors  
22 Association. I'll also be joined by my colleague, Peter  
23 Ruby, later on in this proceeding, but he wasn't able to  
24 join today.

25 Turning to my panel, I have on the left Dr. Frank  
26 Pampush, and on the right, Ralph Zarumba. They are both  
27 from Nexus Economics, and with that, I'll turn it over to  
28 them for their presentation.

1 MR. RICHLER: Sorry, sir, just please make sure the  
2 green light is on your microphone and speak directly into  
3 the microphone, thanks.

4 **NEXUS PRESENTATION**

5 **PRESENTATION BY MR. ZARUMBA**

6 MR. ZARUMBA: Is this better? My apologies. We have  
7 been retained by the Electricity Distributors Association  
8 in this matter to address some of the issues in this  
9 proceeding, but not all. We are primarily focused on the  
10 ROE issues and some implications from the ROE issues and  
11 some of the variables that impact it.

12 Where are we today? We do not believe that the OEB is  
13 meeting the fair return standard with the current ROE based  
14 on the existing mechanism. We further respectfully  
15 disagree with London Economics that their proposal would  
16 meet the standard.

17 Two, we believe that the Board issued a very strong  
18 document with quite a few guidelines, we believe, that are  
19 appropriate and proper -- could we move to the next slide,  
20 please -- that should be recognized and retained in the  
21 future. After reviewing the filings of the other experts,  
22 we find that some consensus exist in areas. I think that  
23 should be recognized and it might streamline the process.

24 We would like to emphasize that we believe that Canada  
25 and the United States are a single capital market. In  
26 trying to differentiate between the two in terms of  
27 calculating the returns is incorrect and would simply  
28 introduce what we economists would call a disequilibrium.

1           Last, a word about the energy transition, which I  
2 believe Mr. Coyne, quoting from McKinsey report, talked  
3 about an inflection point. We believe this introduces a  
4 strategic risk into -- for the electricity distributors.  
5 Have we adjusted the ROE for the strategic risk? No. But  
6 we do want to point out that we believe that some of the  
7 other regulatory mechanisms which the OEB provides to the  
8 utilities needs to be reviewed to reflect is this change in  
9 the industry. I'll go into a little bit more detail on  
10 that later in the presentation.

11           Next slide. As I mentioned earlier, there are some  
12 areas of consensus in the approach to calculating ROEs, and  
13 then I've also compared it to some of the findings of the  
14 2009 Board decision. For example, all parties, except for  
15 London Economics, agrees that the transaction cost should  
16 be included in the ROE calculation. That is consistent  
17 with the 2009 Board decision. All parties, except for  
18 London Economics, agree that multiple models should be used  
19 to calculate the ROE. Again, this is consistent with the  
20 2009 Board decision. Last, with the exception of Dr.  
21 Cleary, all experts accept that U.S. utilities should be  
22 included in the list of comparable firms.

23           Next slide. We've already had a significant amount of  
24 discussion about the fair return standard, so I'm just  
25 going to briefly go over this slide and remind you that  
26 there's an opportunity cost, a comparable investment. And  
27 I'm going to go back to the point about there being a  
28 single capital market between Canada and the U.S. and

1 recognize that if Ontario does not provide a reasonable  
2 investment with all other variables being held equal, the  
3 utilities will be put at a disadvantage for attracting  
4 capital. There is the financial integrity standard.  
5 There's been some previous discussion and questions about  
6 is there problems with utilities attracting capital? Are  
7 they having problems? My comment to that question is: At  
8 the point where utility is having problems attracting  
9 capital, that is equivalent to not that a smoke alarm is  
10 going off; that is equivalent to the house is on fire. I  
11 have seen in my career utilities that were unable to  
12 attract capital, and it's only the rather extreme  
13 situations when that occurs.

14 Next slide, please. We have provided a graph that  
15 shows a benchmarking -- this is from our report -- of what  
16 we consider to be U.S. and Canadian utilities and what they  
17 have received in terms of authorized ROEs. We've re-  
18 levered this to 40 percent equity thickness so that  
19 everything is comparable. I have further identified firms  
20 that I believe are similar to Ontario in terms of adopting  
21 a more aggressive stance towards the energy transition.  
22 Those are the bold lines in the graph. The dots in the  
23 lines are the Canadian utilities, the Canadian peers. The  
24 blue line in the bottom is Ontario.

25 So, what could we determine from reviewing this graph?  
26 Ontario is significantly lower than many of the peers. The  
27 narrow blue lines are United States utilities that we did  
28 not identify as being peers in terms of behaviour; they're

1 just the rest of the group of companies. The thick lines  
2 are California, Massachusetts, New York, which we believe  
3 are similar to Ontario in many ways. They have multiyear  
4 rate plans, similar to Ontario. They have adopted  
5 aggressive energy transition policies, similar to Ontario.

6 The dots are Canadian utilities. The reason that they  
7 are dots and they're not lines is that we only have a  
8 single year of information for those companies. It's not  
9 that they're being treated any differently, but you notice,  
10 again, that our conclusion is that Ontario is below what we  
11 would consider to be peer benchmarks. That would indicate  
12 that Ontario may not be achieving the fair return standard.  
13 With that, the next several slides will be addressed by my  
14 colleague, Dr. Pampush.

15 **PRESENTATION BY DR. PAMPUSH**

16 DR. PAMPUSH: Yes. Good morning. It's an honour to  
17 be here. Thank you. I'll walk through several of these  
18 graphics that are quite similar in their look, their  
19 appearance, and they show different things, but let me  
20 start off with this one. I'll sort of give you a walk  
21 through of it.

22 I have the Nexus Economics result, my 11.08 percent,  
23 and I also have others, Dr. Cleary, what I call LEI has  
24 filed their 8.95 percent, Concentric, 10.0. And then it's  
25 really, I call it, LEI consistent with 2009 Board order.  
26 Understand that this is me, Nexus, Frank Pampush, who has  
27 looked at the LEI report and said, well, if you do this and  
28 this, here is what the result would be. So it's me, you

1 know?

2 But for summary purposes, I'm pulling it from the LEI  
3 report and that is what I would refer to it. And I'll go  
4 into detail on that in a moment.

5 I also want to just walk you through this in the sense  
6 of those red vertical lines. What are they showing us?  
7 What I did with all of my calculations is I computed  
8 confidence intervals on them, 95 percent confidence. And  
9 those things are based on something that I think all of us  
10 are a little bit more familiar with, and that's the term  
11 margin of error.

12 In a political season, we have heard plenty of  
13 examples: Candidate A is pulling at 50, candidate B is at  
14 49, but that's all within our margin of error of plus or  
15 minus 3 percent. It's not an error. That's just what they  
16 call it. It's not really a mistake. They just understand  
17 that, when they are polling, they are not asking every  
18 single person in the whole world what they think. They are  
19 asking a sample, and all samples have margins of error.

20 My confidence limits, based on the 95 percent level of  
21 confidence is the mean, 11.08, minus the margin of error,  
22 and that comes to 10.39. That's the left-most vertical  
23 bar. And the right-most vertical bar, 11.81, is the mean  
24 plus my margin of error. And I computed those based on the  
25 variability of my own data.

26 For example, when I had the capital asset pricing  
27 model and I have a group of comparable, risk-comparable  
28 firms, their betas are different. So I can see the noise

1 in that data and, from that, I can compute margins of  
2 error. And that's what I do.

3 So the purpose of that is saying let's take, for  
4 example, what I call the LEI consistent with 2009 Board  
5 order at 10.4 percent. If it's within the margin of error,  
6 just like those politicians polling at 50 and 49, I cannot  
7 say it's different than my result. We have microscopes,  
8 and we are trying look in, and we can't focus them any  
9 stronger than what they are.

10 So, at 10.4, it might be in there. Concentric, this  
11 is very interesting. Their computations, Concentric's  
12 computations, are based on equity thickness of 45 percent.  
13 I didn't address equity thickness. I accepted it as  
14 parametric, and so I used the existing 40. If I were to  
15 use 45 instead of 40, my 11.08 goes down, my confidence  
16 limits shift left.

17 Alternatively, if I were to say, okay, Mr. Concentric,  
18 we're going to re-lever you to 60-40 instead of to the 45,  
19 theirs would bump up. Would it be inside that limit? I  
20 don't know, I haven't done it. But I just wanted to give  
21 you a sort of a sense of what's going on.

22 And, of course, Dr. Cleary's results are just  
23 outliers, just far different.

24 May I have the next slide, please? So, here, this is  
25 my computations of LEI. And I want to make sure that my  
26 friends at LEI understand that I am not trying to put words  
27 in their mouths or anything like that. I have the LEI as  
28 filed, 8.95.

1           Then I said, to make this in my view consistent with  
2 the 2009 Board order, I am going to make just two  
3 adjustments: I am going to add back in transactions costs,  
4 and I am going to evaluate multiple models, both of which  
5 have firm justification, firm reasoning.

6           First, I just add in the transactions cost. That's  
7 the 50 basis Points, 8.95 to 9.45. Now I am going to pull  
8 those back out, and I am going to go to multiple models.  
9 LEI had their capital asset pricing model. They had a DCF  
10 for electric; it was either 10.53 or 10.35. But they had  
11 DCF result, and they had their annual adjustment mechanism  
12 econometric equation. And I looked at that and I said, oh,  
13 they're using an econometric equation to forecast  
14 authorized returns -- using the S&P database on U.S.  
15 electric utilities, they are forecasting authorized returns  
16 based on interest rates.

17           Well, I have some interest rates right now, right  
18 here, that I could populate that model with and see what it  
19 implies. And my view was if this is good enough for the  
20 annual adjustment mechanism, why not also see what it  
21 implies for the base ROE?

22           So I populated it, and that was my third result that I  
23 am averaging in to get the LEI multiple model's, 9.9. Then  
24 I add in the transactions cost, get to the 10.4; it is  
25 within my margin of error, that left-most one, at 10.36.

26           And then I just adjusted the risk premium model for  
27 leverage, because U.S. electric utilities tend to average  
28 50-50. So, once again, I just said, well, if this is going

1 to apply to Ontario, and if Ontario were to maintain the  
2 60-40 debt equity split, it would imply the 10.59.

3 So, those were basically -- the purple line is the  
4 10.4 that you saw in the prior graph.

5 May I have the next, please. The three models, these  
6 are very popularly used, as I have seen in a variety of  
7 jurisdictions, the capital asset pricing model. You know,  
8 by the way, I had to dig it up from my first year of  
9 graduate school textbook in econometrics, Henri Theil,  
10 1971; so we are going back away: "Models are to be used  
11 but not believed." He understands as an econometrician  
12 that we have to use models, but that each model has its  
13 weak point. That's the reason.

14 And you can read it at page 21 of the 2009 Board  
15 report. It discusses why multiple models are useful. Each  
16 model has its own idiosyncrasies, places where in the  
17 particular capital market it works better than the other.  
18 The unfortunate thing is one of the most important numbers  
19 in all of economics and finance is the cost of equity, and  
20 we can't see it. We have to infer it from these imperfect  
21 models.

22 Another quote: this is from Eugene Fama, a Nobel  
23 Prize winner in economics, who was talking specifically  
24 about the cap model. He was pointing out one issue after  
25 the other in the application of the cap model. But he said  
26 all interesting models involve unrealistic simplifications.  
27 It's a complex world we live in, and we just can't handle -  
28 - we need to think through clearly based on foundational

1 principles what we are looking at, and then we can add  
2 complexity to it. So each one of these models is going to  
3 have its issues.

4 Cap model says the only thing that matters is what the  
5 marginal investor thinks of the mean and variance of  
6 expected returns. That's it. And then it evaluates. It's  
7 a single line. It takes all of the capital market  
8 uncertainty and places it on a single line and says, you  
9 know, if it's just an average investment, it's going to get  
10 the average return, the average equity return, which is the  
11 market risk premium plus the risk-free rate.

12 If there's a little bit less risk, and that little bit  
13 less risk is measured by the beta that we are all familiar  
14 with, then you move up or down that line. But you never  
15 leave the line.

16 You know, all of these models depend on discounted  
17 cash flow model. That is based on the fundamental theory  
18 of value. It says all economic assets, the value of those  
19 assets is equal to the expected future cash flow that those  
20 assets will generate, discounted at the relevant risk-  
21 adjusted rate of return. That's the fundamental theory of  
22 value.

23 We, as practitioners, sneak in and we pull out the  
24 value and we put in the price. We assume markets are  
25 efficient. We assume that investors are rational. We  
26 assume that price at all points in time is equal to value.  
27 And if those things are true, then the DCF model works.

28 Risk premium model, that's really sort of an ad hoc

1 thing. Concentric, Nexus did pretty much the same thing.  
2 LEI, with their annual adjustment mechanism, that impounded  
3 and put to work as a base ROE calculation. I liked what  
4 they did. I thought, oh, this is interesting. I'm going  
5 to do what they did. But they regressed authorized returns  
6 on risk-free rate and Moody's BWA to get that variability.  
7 The only twist is I did with it is I put everybody on the  
8 same leverage and then made my calculations. So, you had  
9 three approaches even in this one.

10 May I go to the next slide, please. CAPM results,  
11 again, you have multiple parties, multiple methods, well, a  
12 single method here, really, multiple parties, multiple data  
13 sets, a lot of congruence in the results. What I did here  
14 with the LEI as filed as the 8.95, here I was looking at  
15 this more as a practitioner, as a forecaster, a prediction  
16 analyst. The market risk premium was based on U.S. data.  
17 The betas were based on U.S. data. I said, well, don't  
18 swap in a Canadian risk-free rate. Use the U.S. risk-free  
19 rate in that instance, and that's where I got the 9.80  
20 from. The rest, Concentric using historical MRP, I could  
21 not tell the difference statistically between my result and  
22 theirs.

23 May I have the next slide, please. This is my  
24 discounted cash flow and, again, you can see that there is  
25 some harmony there. Again, way different people. Now, so  
26 way different people, way different modelling experiences  
27 and different data sets. The only one that's a significant  
28 outlier is Dr. Cleary. I haven't done a total deep dive on

1 why that would be the case, but it's just statistically  
2 significantly different than the rest, let's just say.

3 The next, please. And finally, the risk premium,  
4 there's some similarity. The Concentric U.S. electric,  
5 LEI, I did one thing. I computed -- well, I did two  
6 things. One is that figure 69, I computed what it implied  
7 for authorized returns based on their regression equation.  
8 And then, because those U.S. utilities are by and large 50-  
9 50, I levered it to the 60-40 debt equity, and that's my  
10 LEI adjusted for leverage. Once again, my numbers and I  
11 just, you know, wanted to keep it short and sweet as far as  
12 labelling this graphic. And that was the 10.80. Again,  
13 Dr. Cleary was substantially different than the rest.

14 May I have the next slide, please.

15 MR. ZARUMBA: This graph addresses our claim that the  
16 Canadian and U.S. financial markets are going together,  
17 essentially a single market. And what this graph shows is  
18 information on the Canadian 10-year bond and 10-year U.S.  
19 treasuries from 1962 to the present.

20 Now, you'll notice that in 1993 there's a green  
21 vertical line. That marks when the North American Free  
22 Trade Agreement was enacted. So, we look at the period  
23 pre-NAFTA, the difference between Canadian and U.S. 10-year  
24 bonds is about 102 basis points, 1 percent. However, if we  
25 look at the period post-NAFTA, the difference averages to  
26 be 1.3 basis points, 1/100s of a percent. So, that would  
27 suggest that there really should be no, in the long run,  
28 there should be no difference in the risk-free rate between

1 the two countries, that the two have aligned. They could  
2 have short-term differences, short-term differences  
3 triggered by all sorts of events that I would characterize  
4 as noise, but this essentially supports, you know, the  
5 harmonization of the two economies.

6 There is a graph in the appendix, which is just  
7 additional information. That also shows the balance of  
8 trade between Canada and the U.S., where Canada is -- the  
9 U.S. is Canada's primary trading partner, over 70 percent  
10 of the trade. If we did it other way around, it's not as  
11 dramatic, but Canada, I believe, is the third largest  
12 trading partner to the U.S. So, we're very highly linked  
13 and to think that there is a significant difference, I  
14 think, is an incorrect assumption.

15 The next slide addresses choices of peers, and in this  
16 slide we will respectfully disagree with Dr. Cleary, who  
17 chose Canadian utilities as peers, five Canadian utilities.  
18 I looked at three of those Canadian utilities. In fact, I  
19 think I worked for all three of these firms at one point in  
20 my career. And I took a look at how much of their revenues  
21 is derived from Canada, the U.S., or outside of Canada and  
22 the U.S.

23 Emera, Fortis and Algonquin received the majority of  
24 their revenues, over 50 percent, from U.S. investments,  
25 which begs the question: What is a Canadian utility? We  
26 essentially are, you know, a single market, and they're  
27 investing cross border. Algonquin, at 3 percent, I believe  
28 that's entirely attributable to one small natural gas

1 distribution company in New Brunswick. The rest of  
2 Algonquin is a utility in Bermuda. So, you know, what is a  
3 Canadian company? What is a U.S. company? It's, you know,  
4 we have to look at a group of peers that captures companies  
5 from both countries.

6 My last slide in the presentation addresses strategic  
7 risk, which I consider to be a very important issue for the  
8 OEB not only in this proceeding, but just in all other  
9 matters, and I would like to note that it's my  
10 understanding that the OEB has opened up a proceeding  
11 looking at the incremental capital mechanism, which I think  
12 is, you know, an excellent move forward, although I would  
13 also suggest you look at the other regulatory mechanisms,  
14 like the IRM. And the reason I make that recommendation is  
15 I looked at capital investment between -- I think somebody  
16 might have a mic on and may not intend to. Look at capital  
17 investments historically and what we believe will occur in  
18 the future. You look at the historical time period.

19 THE STENOGRAPHER: Sorry, but the presenter is muted.  
20 I can't hear anybody now.

21 MR. JANIGAN: Sorry about that. Would you continue,  
22 Mr. Zarumba?

23 MR. ZARUMBA: My pleasure, and no apologies are  
24 necessary. I am going to start over with slide 13.

25 Slide 13 illustrates investment trajectories,  
26 historically. And what we are projecting based on some  
27 analysis performed by the Electricity Distributors  
28 Association which was, with the foundations found in the

1 IESO forecast. So these are official Ontario numbers.

2 I am going to point out two interesting findings.

3 Historical investment has pretty much tracked the number of  
4 customers, and that is not surprising. And I am quoting a  
5 2014 Navigant Consulting report for work done on behalf of  
6 the OEB that basically stated that customers -- at this  
7 time, it was residential customers -- either had flat usage  
8 per customer or declining use per customer. And that was  
9 across pretty much all of the distributors at that time. I  
10 think there were maybe three or four outliers that actually  
11 had some growth.

12 However, we move into the future -- different  
13 scenarios. You have some very significant growth, per  
14 customer growth, which implies growth per customer.

15 So what is going on here? This basically is  
16 reflecting the changes in customer behaviour, changes in  
17 market. What does this imply? In my opinion, it implies  
18 greater risk. As I stated before, we did not adjust our  
19 ROE analysis to take into account strategic risk. However,  
20 I think that this does suggest that some of the mechanisms  
21 that the OEB employs may need to be updated because, for  
22 example, the total factor productivity analysis is based on  
23 number of customers. But implied in that analysis is that  
24 the kilowatts per customer are staying relatively stable.  
25 And that is probably not true in the future.

26 Is this analysis just simply speculation on the part  
27 of the Nexus project team? I will point you to slides 40  
28 and 41, which is some information from a filing from

1 National Grid Massachusetts that showed their summer  
2 kilowatt per work order, what has happened historically for  
3 the last several years. It has increased significantly,  
4 and this is just more of the energy transition from a  
5 jurisdiction that, in my opinion, is very similar to  
6 Ontario.

7 So I am going to conclude that in lieu of any type of  
8 an ad hoc adjustment to the ROE, that the IRM and the other  
9 regulatory mechanisms should probably be revisited. They  
10 were periodically revisited in the past. I believe it's  
11 been well over 10 years, so it's due.

12 That concludes our formal presentation.

13 MR. JANIGAN: Thank you, very much. Are there any  
14 questions? Commissioner Sardana?

15 **QUESTIONS BY THE BOARD**

16 MS. ANDERSON: Thank you, Mr. Janigan. Just maybe one  
17 exploratory question on this very slide, on the load  
18 growth: Did you get a chance to take a look at load growth  
19 versus GDP over the same time period, and even a forecast  
20 of GDP? Did the EDA or the IESO provide that?

21 MR. ZARUMBA: No. And I think, since we are in a  
22 transition, I don't believe that metric would be a strong  
23 metric. If you have a stable state where the industry is  
24 not changing, that maybe would not be a bad approach  
25 because GDP would be correlated with customers. And if  
26 load per customer was staying relatively flat, okay.

27 This is a change in the industry, and I would like to  
28 point out that I think I have seen two other changes like

1 this in my career, which is now getting kind of long. In  
2 the 1990s, with the introduction of wholesale market  
3 changes and retail open access, and the introduction of  
4 nuclear power generation, which I captured at the beginning  
5 of my career in that 1980s, when we were trying to figure  
6 out how to pay for those plants, because there were the  
7 issues about overbuilding, and the fact that these plants  
8 came in at higher costs than anticipated.

9 So I think that's maybe a little long-winded answer to  
10 your question, why we looked at it in the way we did, and  
11 the fact that we have to recognize that the industry is  
12 changing.

13 MR. SARDANA: Okay. And then perhaps this is a  
14 follow-up. There seems to be a presumption, then, that  
15 all utilities are at capacity right now and that, you know,  
16 the next kilowatt is going to require oodles of capex. Are  
17 most utilities at capacity in their infrastructure?

18 MR. ZARUMBA: I did not do that analysis but if, you  
19 know, in terms of a -- I am working for the Electricity  
20 Distributors Association. Electric distribution systems,  
21 you know, grow incrementally to serve customers and  
22 increase load -- both, as you well know as formerly being  
23 from a distributor.

24 MR. SARDANA: Mm-hmm. Thank you.

25 MR. JANIGAN: Ms. Anderson?

26 MS. ANDERSON: So, confidence levels. I understand  
27 the concept. I probably need to do some more reading of  
28 your work. Can you reference a particular place where I

1 could understand more of how you came up with those  
2 numbers? Because, I mean, I understand you mentioned  
3 things like variations in beta, which would be related more  
4 to CAPM and I looked at your slide 6, which has confidence  
5 levels on sort of the overall ROE, then looked at the  
6 confidence levels sort of very similar to the confidence  
7 levels on slide 10, which was the risk premium methodology,  
8 but they're very different levels for the discounted cash  
9 flow.

10 Like, did you do them individually and then average  
11 them somehow or -- I'm trying to understand the sort of the  
12 mechanism to come up with those confidence levels?

13 DR. PAMPUSH: Right. I did do them individually. So  
14 on the cap model, for instance, the primary variability in  
15 my analysis was the different betas across the different  
16 firms. I would have loved, but I did not do, the  
17 variability in the market risk premium. So, that would  
18 probably have, for the cap model -- and sort of I'll hop  
19 over to your second question on that. So, on the cap  
20 model, I had my confidence limits for the cap model.

21 Then when I ran over to the DCF model, I had  
22 differences in growth rates, and that was the primary  
23 driver of variability there. And I put the -- on that  
24 graph, that would be just -- those vertical lines, those  
25 confidence limits there, were based on just the DCF.

26 So, you're right. For the overall -- and I'll tell  
27 you how I get to the overall in a second. But for the  
28 overall, I had that. And then for each individual, I had

1 something different.

2 Now, what I did to get the overall is something that  
3 they use in what are called meta studies. The Centers for  
4 Disease Control, they have to look at all these different  
5 studies that might be going with a drug or something. Some  
6 of them have just a few patients, some of them have lots of  
7 patients, some of them have little -- so they have methods.  
8 Their primary method for saying, well, this is how I'm  
9 going to aggregate these studies and see what they're  
10 telling me is to use what's called the inverse variance  
11 approach.

12 So, when I computed these confidence intervals,  
13 upstream from that I had computed the variability in that  
14 data. And then, so I took, like, one over the variance or  
15 -- it wasn't actually one over the variance it was one over  
16 the standard error, but point being one over the variance  
17 for my cap model, one over the variance for my DCF, one  
18 over the variance of the risk premium, and then I  
19 aggregated those together. So, you know how oftentimes  
20 you'll see, well I did it 0.3, 0.3, 0.3, you know, one-  
21 third, one-third, one-third for each of them? I did it by  
22 I'm going to put the most weight on the procedure, you  
23 know, the method that had the least variability. And in  
24 mine, if the least variability was on the cap model, I  
25 think that got in the 40s. The DCF was next, also maybe in  
26 the lower 40s percent I'm talking. And then the risk  
27 premium had a lot more scatter associated with it. And if  
28 I recall, it got 12 or 14 percent weight. And that's how I

1 came up with my overall average and also how I came up with  
2 my overall confidence limits that are different. They're a  
3 weighted average, if you will, of those other three -- of  
4 the three primary methods.

5 MS. ANDERSON: Okay. So, if I would summarize it, you  
6 put more weight on those with less variability, is probably  
7 the key takeaway, when you were, you know, coming up with  
8 the overall confidence for the ROE on slide 6?

9 DR. PAMPUSH: Correct.

10 MS. ANDERSON: Okay. Thank you. So, with slide 12,  
11 you talk about the fact that Canadian utilities operate --  
12 if I can find my slide 12 now. Yes. Canadian  
13 electricities compete with U.S. utilities for capital and  
14 three of the five are largely U.S. utilities in their  
15 operations. So, the point you're making is for the peer  
16 group, you think you should use both Canadian and U.S.? I  
17 think that's the point to take?

18 MR. ZARUMBA: That is correct.

19 MS. ANDERSON: What do I take from the fact that that,  
20 you know, is that true of the Ontario market? Is where my  
21 kind of questions come. I don't know. I mean, there are  
22 some that obviously operate outside of Ontario, but out of  
23 my 70 regulated utilities, they don't. Most don't. So,  
24 does that change my thinking of whether you're using both  
25 U.S. and Canada for the peer groups?

26 MR. ZARUMBA: Well, this has to do with the peers and  
27 what your statement is saying is, well maybe I need a  
28 special peer group just for Ontario, but is Ontario really

1 different than everybody else? I think, you know, they are  
2 electric utilities of one variety or another, and therefore  
3 the peer group should be the broader group.

4 I mean, I used these three to show that when you  
5 narrow it down to just Canadian utilities, you could argue  
6 these three utilities, these three companies, should not be  
7 included in the analysis because they're more U.S. than  
8 they are Canadian. And there was an argument made that  
9 U.S. utilities have higher betas. Well, these companies  
10 then probably shouldn't be included. And then I'll point  
11 out that if we stay with it, okay, we're now we're down to  
12 a peer group of two Canadian utilities and one of them is  
13 already in Ontario, so you can make the argument they  
14 should not be included in the analysis because of their  
15 circularity. Well, now you're down to a peer group of one,  
16 which I think everybody agrees is probably inappropriate.

17 MS. ANDERSON: Okay. I think it was slide 13 you talk  
18 about -- maybe it was just prompted me on slide -- you  
19 talked about the risk, the fact that we've got this growth  
20 risk and related to energy transition, you're calling it  
21 strategic risk. But with growth, is it all risk or is  
22 there some reward as well?

23 MR. ZARUMBA: Well, let me point out one thing. These  
24 projections are based on what somebody, you know, some very  
25 smart people think the world will look like in the next 25  
26 years, but it's not based on any sort of historical  
27 patterns, which to me it adds uncertainty, which is not  
28 risk. It's something much more difficult to manage.

1           In terms of rewards, there was comments earlier today  
2 about, well, these utilities are growing, they should be  
3 happy. Yes, but the issue is, you know, what if the growth  
4 doesn't come when it's supposed to? What if the growth  
5 never comes?

6           In our report, I reference some work from the U.S.  
7 energy information administration that dates back to  
8 nuclear power adoption, you know, many decades ago in the  
9 United States. And a lot of that was developed based on  
10 assumptions about load growth and they had load forecasts  
11 that occurred in the 1960s which had incredible amount of  
12 growth, then load growth forecasts in the 1970s, not quite  
13 as much growth. And then let's go to the 1980s. Oops,  
14 almost no growth. And that is, you know, the type -- we  
15 don't have very good information right now about the future  
16 because we are trying to figure out what the new world is  
17 going to look like, which is why, you know, everybody in  
18 this room is facing that challenge. And it's going to be  
19 very exciting times, but it's not -- there is no easy  
20 answer. To say is that going to reward utilities?

21           In the past there have been something called  
22 disallowances because assets were not used and useful. And  
23 I think that there are those possibilities in the future.  
24 And that's why I think we need to take a broader look. You  
25 know, ROE is one thing, but outside of cost of capital  
26 issues, at regulatory mechanisms in general and how they  
27 are managed. You know, take a look at some other  
28 jurisdictions have abandoned TFP. They're looking at, you

1 know, other mechanisms to address capex. As a possibility,  
2 I'm not advocating a solution, I'm just saying I think it's  
3 time for everybody to start thinking.

4 MS. ANDERSON: Okay. So, I'm clear, you haven't  
5 incorporated strategic risk. Your view of strategic risk  
6 is the energy transition in general, so you haven't  
7 incorporated that sort of future of energy transition into  
8 your numbers. Is that correct?

9 MR. ZARUMBA: That is correct.

10 MS. ANDERSON: And I saw that it looked like others  
11 were incorporating that as part of business risk?

12 MR. ZARUMBA: And I respectfully disagree with the  
13 other experts. I think business risk is associated with  
14 day-to-day operations of an organization that is relatively  
15 stable. And, you know, very small incremental changes,  
16 which would be the period that was captured in the Navigant  
17 study in 2014.

18 What's happening? Customers are using about as much  
19 as they used to, maybe a little less, but everything is a  
20 function of customers. And I am arguing we are at -- as  
21 the McKinsey that Mr. Coyne quoted, we are at an inflection  
22 point.

23 And what makes things uncertain is we are not quite  
24 sure how people are going to behave. It is all based on  
25 prognostication of things that we don't have experience  
26 with.

27 MS. ANDERSON: Okay. Thank you.

28 MR. ZARUMBA: Thank you for your good questions.

1 MR. JANIGAN: Thank you. I just have one question. I  
2 am confused as to the impact of potential energy transition  
3 on essentially the recommendations here. My understanding  
4 was that because of the likelihood of energy transition,  
5 that it was imperative that the ROE match the ability to  
6 attract capital for that energy transition, even though  
7 it's not happening now. Would that sort of be a summary?

8 MR. ZARUMBA: I think the ROE should be based on the  
9 analyses that have been put on the record in this  
10 proceeding. I obviously think that the recommendations  
11 that we prepared are appropriate, and there's some debate;  
12 that's fine.

13 I think we need to recognize that the energy  
14 transition will occur. We have not incorporated that into  
15 our analysis, but we wanted to alert this issue to the  
16 Board because we believe that it could impact the other  
17 regulatory mechanisms which you have authority over, the  
18 IFM, the -- you know, basically all of the mechanisms.

19 A big question in my mind would be should you retain a  
20 total factor productivity approach, or, like many in what I  
21 consider to be similar jurisdictions, move to a partial  
22 factor productivity approach and handle capital in some  
23 other way that helps manage the risk.

24 MR. JANIGAN: Okay. Thank you, very much for that.  
25 Those are all my questions. And I believe we will take a  
26 lunch break now and come back at 1:20.

27 --- Luncheon recess taken at 12:19 p.m.

28 --- On resuming at 1:21 p.m.

1 MR. MONDROW: Just before I do, and I've spoken with a  
2 couple of my colleagues, there was mention a few times this  
3 morning of the McKinsey study and the Massachusetts  
4 decision and I think they were even reflected in some of  
5 the slides, and I was going to suggest if it's all right  
6 with the Board that those documents be filed in due course.  
7 And I don't believe that the OEA, Mr. Smith, nor Mr.  
8 O'Leary have any objection.

9 MR. SMITH: No, perfectly fine.

10 MR. MONDROW: Thank you, sir. And so, with that, I'll  
11 introduce you to Dr. Sean Cleary who is in the witness box,  
12 as it were. I know him as -- and I know we're not doing  
13 qualifications, I know him as a Ph.D. finance in Smith  
14 School of Business, but apparently he's also an outlier and  
15 substantially different. So, with that very brief  
16 introduction on behalf of AMPCO for the purpose of this  
17 this evidence and supported by the customer groups, we're  
18 happy to have a different opinion before you. Dr. Cleary.

19 **AMPCO PRESENTATION**

20 **PRESENTATION BY DR. CLEARY**

21 DR. CLEARY: Thank you having me here today. I'm  
22 happy to speak about my evidence and how it compares with  
23 those of the other experts involved in the proceeding.

24 So, if you could go to the next slide, I'll just give  
25 you a quick overview of what I'm going to discuss. ROE  
26 matters, at a high level, some notes on allowed ROEs, and  
27 then the base ROE estimates, which I think most of the  
28 experts have talked about and I will as well. And also the

1 LCBF and utility spread factors, how to estimate them, the  
2 adjustment factors, and then a little bit in conclusion on  
3 allowed equity ratios.

4       So, if we could go to the next slide. And I think  
5 most people involved in these proceedings would agree that,  
6 and certainly every proceeding I've been involved in, that  
7 the market as a whole, regulated operating utilities are  
8 less risky than the market as a whole. So, I think it's  
9 interesting with all the references to me being the outlier  
10 and whatnot that none of the other experts make any  
11 reference to their expected market return and how their  
12 recommendations stack up with real market data. I provide  
13 some evidence showing, you know, experts managing tens of  
14 trillions of dollars, over 25 of them predict about 6.1  
15 percent over the next 5 to 10 years. Historical evidence  
16 suggests about 8.5 percent if you take the real returns and  
17 add about 2 percent expected inflation, and I come in  
18 somewhere in the middle there about 7.5 percent.

19       So, if you turn to the next slide, you can see that if  
20 we consider that 7.5 percent of mine as the upper bound for  
21 what the required return on equity is for regulated  
22 operating utilities, my estimate comes in slightly below  
23 that, which is what you would expect if they're less risky  
24 than market, whereas the estimates of LEI, Concentric and  
25 Nexus are considerably higher than that. So, that, to me,  
26 suggests that they believe that regulated operating  
27 utilities in Ontario should be earning more than what  
28 market participants expect on the market going forward over

1 the next 5 to 10 years.

2 So, if we go to the next slide, please, I'm going to  
3 talk a little bit about Concentric's and Nexus'  
4 recommendations in particular, and I guess the reason their  
5 estimates come in so high is they seem to be gravitating to  
6 the allowed ROEs particularly in the U.S. that are much  
7 higher than in Canada as I think we're all aware of by now,  
8 and, you know, somewhere in the nine-and-a half to 10  
9 percent range. And there's heavy emphasis on that in their  
10 models with the various inputs and assumptions they make,  
11 which I'll discuss later, and upcoming into support them  
12 that they always kind of should be around what the U.S.  
13 allowed.

14 And in particular, if you look at Concentric's ER  
15 recommendations of 45 percent, it recommends that's to  
16 bring it in line with U.S. utilities when their own  
17 evidence even shows it's right in line with the Canadian  
18 utilities.

19 So, if we could actually just go to the next slide and  
20 I'll pick up on just a couple other points. Back to that  
21 10 percent recommendation of 45 percent equity ratio  
22 recommendation by Concentric, that's higher than what they  
23 recommended for Newfoundland Power, you know, just 10  
24 months ago. And even in those proceedings they noted  
25 several risks that Newfoundland Power faced due to its  
26 small size, due to its weak macro and demographic  
27 conditions and potential issues with future demand and slow  
28 potential growth, which is in contrast to they're arguing

1 it's a big risk to the Ontario utilities that they have  
2 this opportunity to grow fast.

3 I have also noted, inconsistent I would say with their  
4 Alberta recommendations, again, just about 15, 16 months  
5 ago of nine-and-a-half percent, which is lower than 10  
6 percent they're recommending for Ontario utilities, and 40  
7 percent equity ratio. But at the time, the recommendation  
8 was to bring the deemed equity ratios in line with the  
9 comparable risk in Ontario.

10 So, if they thought Alberta utilities were a  
11 comparable risk to Ontario utilities 15 months ago, then  
12 why are they now suggesting that Ontario -- implicitly  
13 suggesting, I should say -- are riskier because they have a  
14 higher ROE and 5 percent extra equity thickness?

15 Okay. So, now a little bit, if you can move to the  
16 next slide, please, thank you. A couple of comments on  
17 allowed ROEs and I'll get into the estimates themselves.  
18 If you look at this chart which is in my evidence, the top  
19 line in the blue line, that's the allowed ROE since 2004 in  
20 Ontario, and of course since 2010s would be when the  
21 formula was adopted. And what you can see there is it's  
22 fairly steady. It started at 10 in 2004 and it went all  
23 the way -- sorry, then it's down to 9.21 percent, so it has  
24 come down somewhat. But if you look at the bottom lines  
25 there, the RF would be the 30-year government yield, the  
26 purple line on the bottom. And the green line, which is  
27 the A-rated utility yield, which has a direct bearing on  
28 the cost of equity to utilities because the cost of equity

1 will always be your cost of debt plus a risk premium. We  
2 will argue over what that risk premium should be, but  
3 definitely that's basic Finance 101. Right? Because the  
4 same entity, their debt is less risky than their equity.

5 And if you look at that chart, you can see that there  
6 was a significant decline along that chart on the bottom  
7 but not a corresponding decline in terms of allowing ROEs.  
8 And as a result, the A-rated utility spread has changed  
9 from 3.8 percent in 2004 and 4.6 percent spread over the  
10 allowed -- over risk-free rate to what it sat at when I  
11 prepared this analysis, 4.5 percent for the A-rated spread,  
12 so that increased 80 basis points, and 5.9 percent for the  
13 spread over government utilities, so that increased 140  
14 basis points, which is a significant increase.

15 Next slide, please, and I'll just kind of follow up a  
16 little bit on this. These are just kind of noting those  
17 stats that I noted. If you look at the bottom line there,  
18 it tells you the average ROE spread over that period was 6  
19 percent over the risk-free rate. Now, if you put that into  
20 a CAPM model, which we're all getting kind of used to  
21 listening to, that corresponds to a market risk premium of  
22 12 percent if we use a beta of 0.5 for the utilities. Or  
23 if we use a beta of 1, it's a risk premium -- market risk  
24 premium 6 percent, which is also at the high end of market  
25 risk premiums. So, it's just created a situation where,  
26 according to CAPM, the allowed ROEs have been too high.  
27 And I think the point has been made here and all of the  
28 experts do use the CAPM, so I think it's an important point

1 to recognize. Nobody is disputing the reliability of it or  
2 the fact that it's a legitimate model. Let's put it that  
3 way. You also see the average ROE spread was 4.6 percent.  
4 Now, in the bond yield plus risk premium that I use that's  
5 used widely by CFOs and financial analysts, it's in the CFA  
6 curriculum, that is at the upper end of that typical spread  
7 of 2 to 5 percent that you usually use with 3 being for an  
8 average risk utility, so that also indicates excess  
9 compensation.

10 Next slide, please. And finally, you know, this  
11 point, that means that if you're basing, as the OEB formula  
12 does, you're basing the cost of equity on two important  
13 factors that affect its cost of equity, government rates  
14 and the rates they can borrow at, A-rated utility yields,  
15 and those are both declined but the allowed ROE hasn't,  
16 then something is going wrong here. And it's not unique to  
17 Ontario. It's across Canada. It's even more prevalent in  
18 the U.S., and I cite a couple of studies there that note  
19 that. Okay?

20 If we just go to these hearings, and we refer to  
21 allowed ROEs in other jurisdictions, then it becomes a  
22 circular argument because if they haven't had a hearing and  
23 we are having one, they haven't lowered their ROE first.  
24 So, I recognize it's difficult to be the first to start to  
25 lower it, but the bottom line is that kind of resistance,  
26 you know -- what do you call it, inertia, if you will --  
27 has led to the fact that they just gradually, through time,  
28 these costs -- these inputs into the cost of equity have

1 declined, but the allowed ROEs have not declined in step.

2 So, one last point on this. And if you could turn to  
3 the next slide, please. Where are we seeing evidence that  
4 this is the case? And one of the things -- I look at the  
5 price-to-book ratio analysis in my analysis. I don't  
6 include the cost of equity estimates in my final estimate,  
7 but I look at it as a way to think, what does the market  
8 think is going on here?

9 And the fact that the -- you know, if the allowed ROE  
10 is exactly equal to their cost of equity, then the price-  
11 to-book ratio should be 1.0. Okay? It means it's allowing  
12 -- it's earning enough profit and it's earning zero  
13 economic profit, which means it's earning enough in  
14 accounting profit to account for its reinvestments and so  
15 on and so forth.

16 With it sitting at 1.45 for Canadian utilities and  
17 having averaged 1.65 over the recent seven-year period,  
18 that suggests there's some economic excess economic rent  
19 going on there.

20 And if you look at Hydro One, which is, as pointed out  
21 earlier, the mostly pure-play regulated operating utility,  
22 it was 2.04. And they are subject to the OEB formula and  
23 the allowed ROEs here. So it doesn't seem to suggest that  
24 the market thinks that they are earning too low an allowed  
25 ROE.

26 In the U.S., of course, we see a little bit higher,  
27 which is consistent with the allowed ROEs we see there, and  
28 the higher allowed equity ratio. Okay.

1 To the next slide, please? So the other thing and,  
2 again, this is a topic that has come up this morning. The  
3 heavy reliance on U.S. comparators by all three of the  
4 other groups of experts, LEI, 83 percent by my count,  
5 Concentric, 76 percent in its North American proxy group,  
6 which relies most commonly --

7 Sorry, I just saw on the screen, it's Dr. "Clearly" up  
8 there, instead of Dr. Cleary. Sorry, this is a family joke  
9 because so many of the IRs, I see "Dr. Clearly says this."  
10 Anyway, my apologies.

11 Nexus, 88 percent. So, you can see they are heavily  
12 weighted, you know, over four-fifths of their sample is  
13 based on U.S. utilities. But Appendix B of my evidence  
14 shows they have higher business risk. Appendix C shows  
15 they have almost double betas. So by putting those betas,  
16 80 percent of them are U.S. betas. That means they are  
17 going to get, by definition, higher beta estimates than me.

18 Moving to the next slide, please. So, where does this  
19 put us in terms of -- let's go through the three different  
20 types of models. First of all, the CAPM that we have  
21 already talked about. So, you can see the model. Really,  
22 there's only three inputs in there. You need a risk-free  
23 rate, a beta and a market risk premium. Okay?

24 The market risk premium I think it kind of gets lost  
25 in Here, that it's actually supposed to measure the  
26 expected return on the market minus the risk-free rate.  
27 Okay? Sometimes, it is just more convenient to look at the  
28 MRP.

1           Okay. So if we look at the Rf estimates, we can see  
2 that, not too much difference until you get to Nexus,  
3 because Nexus uses the U.S. risk-free rate as opposed to  
4 the Canadian risk-free rate.

5           Concentric and LEI base it on forecasts, which I am  
6 going to talk about in a second. But today, the forecasts  
7 are pretty much flat, so it's not much difference. In some  
8 proceedings it can make a significant difference, so I  
9 stand by my guns on that, in terms of usual actually GOC.  
10 And I actually put in that the actual was 3.19 as of  
11 August 29 and, as of yesterday, it was 3.17, so after the  
12 Bank of Canada announcement. So it's still right in there.

13           Next slide, please. Now I use the actual, because I  
14 believe it's the most -- you know, that was as of June. If  
15 you are going to do it for the next test period, I would  
16 say you use as close to the end of 2024 as is feasible for  
17 you, administratively -- September 30 or even October 31,  
18 if it's possible.

19           LEI uses 3.19 percent, the average of the 30-year  
20 forecast. Concentric uses the 10-year forecast from  
21 Consensus Economics. And then for some reason adds the  
22 historical spread of 0.33 percent, even though that spread  
23 is around zero today, and was negative at the time of their  
24 evidence. That is one of the problems of using those 10-  
25 year forecasts and adding a spread to it. This spread  
26 varies through time.

27           Nexus for some reason uses 4.06 percent, which is the  
28 average of 30-year U.S. yield forecasts.

1           The problem with using those forecasts is, in CAPM --  
2 this is not really considered by the other experts -- the  
3 model itself as it's derived, it's supposed to be the risk-  
4 free rates you can earn today. The fact you think they are  
5 going to be 3.45 a year from now doesn't mean you can buy a  
6 risk-free investment today and earn 3.45 percent. Okay?  
7 The U.S. one I would argue is not the appropriate one, and  
8 also entails foreign exchange risk.

9           So the other thing, with this notion of using  
10 forecasts instead of using the actual, well, if you look at  
11 Appendix A of my evidence, I show that there's a 40 -- over  
12 a significant period of time, I can't remember it offhand,  
13 there's a 40 percent upward bias estimate. Those forecasts  
14 tend to always say that rates are going up. Not always,  
15 but over -- more consistently than going down. And it's  
16 actually identical to the number that Concentric found in  
17 their evidence when they were looking at the borrowing  
18 rates for utilities. So, it was complete consistent with a  
19 40-basis point upward bias.

20           So my question is why do we go through all this  
21 trouble to use forecasts? And I would cite some other  
22 studies; it is not just my evidence, but there are all  
23 kinds of studies in the academics where they look at U.S.  
24 bond rate or U.S. risk-free rates, showing that this bias  
25 exists, and you are betting off to use the actual.

26           That is by the way why the Bank of Canada just doesn't  
27 forecast the future dollar of the Canadian dollar, because  
28 they used to forecast. And they said, using the existing

1 always works out better. Now I know it's apples and  
2 oranges, but it's the same kind of logic.

3 Also, it's a lot more work and, I think in the long  
4 run, it doesn't work as well.

5 So if we go to the next slide, please. Let's talk  
6 about the MRP Estimates, because there are three estimates  
7 in CAPM. And the second is -- well, the second or third,  
8 however you organize it -- is the MRP. And what you see on  
9 the left there is I put in the MRPs, the historical MRPs  
10 from the Dimson et al. study, which is 116 years of  
11 evidence that shows, in Canada, the arithmetic average was  
12 4.2 percent. The geometric average is actually much lower,  
13 3.1. And, in the U.S., it is 5.8 percent. Okay?

14 You look at the Fernandez 2024 study, and I think  
15 someone referenced some of his work earlier today, but he  
16 updates these forecasts for future. Like, what are you  
17 using in your CAPM models for MRPs. And he surveys  
18 professionals, he surveys academics, and puts them all  
19 together, and usually has a large sample size.

20 And, for Canada, for 2024, at 5.2 percent; for the  
21 U.S., it's 5.5 percent. And those are typically between  
22 4 and 6 percent somewhere, which is what I know from  
23 practice that analysts always use when they use their CAPM.  
24 But, you know, maybe three in seven in extreme  
25 circumstances, but almost always between four and six.

26 If you actually did it the other way and looked at my  
27 forecasts for the expected return on the market of 6.1  
28 percent for Canada and 6.8 percent for the U.S., and

1 subtracted the existing risk-free rate from that, you would  
2 get an even lower number of 3.0 to 2.74 percent.

3       You can see that I am right in line with that, at  
4 5 percent. And that's, you know, the typical analyst, what  
5 they do. And you talk about, you know, accessing capital  
6 and that. Well, guess what? It's the people who are  
7 managing the trillions of dollars who are the ones who are  
8 going to estimate what they are willing to pay for your  
9 stock, which in turn estimates your cost of equity. Right?  
10 It's not what we argue in this room; it's what they do when  
11 they are doing their analysis.

12       So, I took the 5 percent, recognizing it's kind of  
13 like a medium-risk situation now, an average risk, if you  
14 will. Yes, we have some subsiding risks of inflation  
15 offsetting with some minor risks of maybe not quite a soft  
16 landing. But it's not like if I look at the numbers, the  
17 price earnings, ratios, the dividend yields, the yield  
18 spreads, they're all pretty typical with what you would  
19 expect for capital market conditions today, and I think the  
20 A-rated yield spread was exactly at the average when I  
21 prepared my evidence, which kind of tells you it's still  
22 pretty -- and I think it's still pretty close.

23       In contrast, you see these talking about outliers of,  
24 you know, 8.3 percent, 8.8 percent, which, you know, if you  
25 combine 8.8 percent with the -- and they use U.S. risk-free  
26 rate, so I think it was four-and-a-half percent or  
27 something they had, so that's like an expected return on  
28 the market of 13 percent, which just doesn't fly. It's

1 just not what the finance professionals would consider a  
2 reasonable estimate. And Concentric is somewhere in the  
3 middle. I think I put both of theirs there, but they did  
4 use the 5.68 percent as opposed to the 7.1 percent.

5 So, next slide, please. So, I kind of said most of  
6 this when I was talking to the graph there, but mine is  
7 consistent with common practice, long-term averages of 4.2  
8 percent, current forecasts. And LEI, theirs is inflated  
9 because they used the recent 10, 20 and 30-year periods to  
10 estimate the MRPs. Now, as I've mentioned in my evidence,  
11 the last 30 years has been kind of an unprecedented period  
12 for U.S. stocks. Okay? Some would argue that's why they  
13 have slightly inflated PE ratios and could be due for a  
14 slight correction, although who knows if that will happen.  
15 But the bottom line is the most recent 10-year period has  
16 been extremely, extremely high and they weight that period  
17 three times. Right? Because it's in their most recent 10  
18 years, it's in their most recent 20 years, it's half of  
19 that sample and it's also one-third of the sample with the  
20 most recent 30 years.

21 Concentric comes up with a historical of 5.68 percent.  
22 Again, you know, that's out of line with that 4.2 percent,  
23 you know, that long-term evidence, even though they have  
24 huge overlap in period, and that's because they use income  
25 only returns as opposed to total returns on bonds, and  
26 that's not the appropriate approach.

27 Nexus on the other hand completely ignores -- says  
28 historical evidence is not important and we look at the

1 forward-looking U.S. MRP and get 8.83 percent, along which  
2 they estimate with an expected long-term growth rate to  
3 infinity of 11.49 percent. I would add that they have used  
4 the sustainable growth model to come up with that estimate  
5 even though I get criticized for using the sustainable  
6 growth model, but it's clearly widely used in practice.  
7 I'll come back to that later. The other thing is here is  
8 an example of a model output and the I heard Nexus speaking  
9 this morning that models, you know, you can't always rely  
10 on the thing, but here is an example where the model output  
11 to me just makes absolutely no sense. They expect North  
12 American companies, utilities for that matter, to grow at  
13 more than almost three times expected nominal GDP growth.  
14 So, let's just kind of conclude on the CAPM. Sorry, we  
15 have the betas to go through yet.

16 Sorry, next slide. In my mind I said next slide. So,  
17 here on this slide you see that I provide the long-term  
18 Canada beta estimates that I produced in Appendix B or C.  
19 Also, the 0.55 that was over the 1970 to 2020 period from  
20 Sikes 2022 study, and I used the 0.45. I kind of adjust up  
21 that long-term average for Canada, not necessarily to bring  
22 it in line with the U.S. but just based on judgment. LEI  
23 used 0.69, as I heard them speak this morning, we're in  
24 agreement on the use of raw betas. And actually they  
25 provided an interesting slide that showed, in fact, that  
26 since 1970, betas have never been anywhere near 1 with an  
27 average of 0.5. I think the highest was just over 0.8.  
28 So, I thought that was very interesting because their

1 sample goes back to 1968, I think, which is a long period.  
2 So, they made the correct argument that why would you then  
3 use the Blume adjustment to bring that beta towards 1 when  
4 they don't go towards 1? If you're going to adjust  
5 anything add it to .5, the long-term average.

6 Anyways, Concentric and Nexus, both use adjusted  
7 betas, which I disagree with. Also, I would note that the  
8 betas for these other groups are higher by definition  
9 because of that heavy weighting in U.S. firms.

10 So, if we go to the next slide, I think I'm -- sorry,  
11 before I get to that, I'll come back to the next slide. It  
12 kind of sums up what I did. The next slide, please. This  
13 is a chart, and this is actually, if you look at the top  
14 one, it's very similar to the one that LEI included in  
15 their presentation today. And if you look at it, it looks  
16 really strange because you see the beta for utilities going  
17 slightly below 0 in 2001, 2002. Right? So, if we're to  
18 use, we're going to ignore historical information and long-  
19 term trends and just look at the estimates today and that's  
20 the world today, remember these are estimates, then back in  
21 2002 our CAPM estimates would have been we're going to use  
22 the risk-free rate. Okay? That doesn't seem right to me.  
23 I would never have done that. I would have said, no,  
24 that's a blip. The blip was caused by the IT boom then  
25 crash. So, the betas across all the market has to be 1 by  
26 definition. Okay? So, if the betas for the IT is going to  
27 2, then the banks, which typically has a beta of 0.9.  
28 They're at 0.5 and the utilities that have betas of .4,

1 that's where they're going to 0 there. Right? So, my  
2 point is, and as Nexus mentioned earlier, using the models  
3 is one thing, but applying judgment to what they spew out  
4 is another thing. So, if I get beta estimates like that in  
5 2002, I would probably be using 0.4 or .5, somewhere in  
6 there like I am today. And you can see similar in the U.S.  
7 evidence, the other point of this graph is to show you that  
8 nowhere near did they ever come near 1 in Canada or the  
9 U.S. over the period.

10 So, to kind of conclude on betas go the next slide,  
11 please. And you see I used .45 and I've talked about the  
12 reasons for the others and pointed to some evidence. So,  
13 we can skip on to the next slide very quickly here. As a  
14 result of those issues that I talked about using the U.S.  
15 forecast for RF, using U.S. weighting in the betas, and the  
16 adjusted betas, and the MRPs not being reasonable in some  
17 cases, you can see that again comparing their CAPM  
18 estimates to the market of seven and a half percent or  
19 somewhere between 6.1 and 8.5, they're all well above it.

20 On to the DCF, the next slide, please. Here, the main  
21 issue, I don't think there's huge issues in terms of  
22 estimating dividend yield, but the main difference in the  
23 model estimates will be with respect to future growth. I  
24 use the sustainable growth rate that's in standard practice  
25 by analysts in almost every finance textbook, including my  
26 own, it's in the CFA curriculum, Nexus used it in their MRP  
27 estimate even. But LEI, Concentric and Nexus, first of  
28 all, they're all focused heavily on U.S. utilities, and

1 second of all, they use sell side analyst growth forecasts.  
2 It's important to note they're sell side analyst growth  
3 forecasts. Buy side analyst growth forecasts would never  
4 be that optimistic, but you never see them. They're  
5 proprietary, so the pension funds and the large  
6 institutional investment managers, their growth funds, I  
7 have seen some of their reports, but they're always  
8 proprietary and they're using, like, 3, 4, 5 percent, like  
9 most analysts do, not these extremely high 9, 10 percent  
10 that you see, and you see me citing a study there by Easton  
11 and Sommers that shows the optimism bias in growth  
12 forecasts.

13 So, if we go to the next slide, then, the other point  
14 to note in the single stage DCF, that growth rate you're  
15 assuming is supposed to be to infinity, the way the model  
16 is constructed. Everyone, you know, downplays that, I  
17 guess, but if you have companies that are going to grow 10,  
18 6, 7 percent higher than the nominal growth GDP, especially  
19 mature operating utilities. That's a handy trick. They're  
20 going to subsume the economy, mathematically you can show  
21 that, but that's a technical point.

22 Anyways, as a result of that, I thought I would note  
23 that in Alberta, they consistently reject the use of growth  
24 rates above the expected nominal GDP growth rate in their  
25 estimates.

26 So, if you turn to the next slide, with regard to  
27 multistage, I use the H model, which assumes linear  
28 gravitation to a long-term rate over two or four years.

1 LEI and Nexus don't use any. Concentric uses a multistage  
2 that has 10 years of high growth followed by to infinity.  
3 So, five years at the higher growth that's based on  
4 analysts' estimates, then linearly decreases over the next  
5 five years. And then GDP at the end. So essentially, this  
6 model inherently assumes higher growth than GDP from now to  
7 infinity.

8 Next slide, please. So put all these together and  
9 again, you see that my estimate is right in -- well, a  
10 little bit high, actually, if I think of 7.5 percent for  
11 the market, but slightly below. And the other ones are  
12 above.

13 So, let's go to the risk premium models. As mentioned  
14 before, I used the bond yield plus risk premium. Company  
15 bond yield plus the risk premium, that intuition I talked  
16 about before. And it conforms to the basic principle that  
17 investors require high returns for assets with greater  
18 risk. And that company bond yield already has a risk  
19 premium built into it. It is determined in the bond  
20 market, which many would argue is much more efficient than  
21 the stock market. So, that's one of the advantages of it.

22 Flip to the next slide, please. The risk premium  
23 models used by LEI, they use an equity risk premium  
24 approach. They use the risk-free rate, which loses the  
25 advantage of the information in the bond market in terms of  
26 spreads. And then they estimate an ERP, and I am not quite  
27 comfortable with the estimate, of the 5.5, although it's  
28 not completely out of line with -- well, it's better.

1 Let's put it that way.

2 So let's go to the other two risk premium models, and  
3 it is Concentric and Nexus who get around their estimates,  
4 10 and 11.08. These are based on regressions of U.S.-  
5 allowed ROEs, and U.S. government yields and U.S. corporate  
6 bond yields. The U.S.-allowed ROEs are not market data,  
7 they are not determined at regular hearings all the time.  
8 Sometimes it's only upon appeal. Sometimes they are,  
9 sometimes they have formula, sometimes they are not. But  
10 it's not something that day-to-day market data. Like every  
11 year, when you update it and you look at the A-rated  
12 utility spreads and the risk-free rates.

13 Also, the use of U.S. government yields and corporate  
14 yields, although there could be a relationship there with  
15 the Canadian costs of equity, I do not believe that is so.

16 So, as a result, if you go to the next slide, I can  
17 finish up this discussion fairly quickly, hopefully not too  
18 quickly for the court reporter. But, again, we see that  
19 their estimates are above the expected return for the  
20 market.

21 A couple of other things about the formula here, if we  
22 can just go to the next slide? Can we go to the next  
23 slide, please? Yes. So, kind of a repeat of what I said  
24 before, about the use of actuals versus forecasts. But  
25 there's also another point here in terms of estimating the  
26 LCBF and utility spreads. I prefer a point estimate as to  
27 looking at 30 days, 90 days or even 365 days, as I think  
28 one expert recommended, just because it reflects the most

1 current information. Okay?

2 If I take the yield and the yield spread 90 days ago,  
3 it doesn't reflect the fact that the Bank of Canada reduced  
4 the yield -- you know, the bank rate yesterday. Today's  
5 rate does. Okay? So I think overall you are going to see  
6 that using the most current is most reflective.

7 Next slide, please. So, that is basically saying  
8 that, so I'll just kind of flip over it. I recognize I am  
9 getting around the end of presentation time here. So, if  
10 we go to the next slide. So, that is that point.

11 The other is that evidence, and this is from one of  
12 the figures in Appendix A of my show, that show that 40  
13 percent upward bias by using forecasts as opposed to  
14 actuals.

15 So we could go to the next slide now, having made that  
16 point, and then I just have two more points to make. And I  
17 recognize I am the last person of the day.

18 So the current adjustment factors for both the LCBF  
19 and utility adjustment factors are 0.5. I recommend to  
20 increase that to 0.75. I provide some evidence in that  
21 figure; if we had more time, you can always look at it  
22 later if you're really bored. But it shows that when you  
23 use 0.75 adjustment factor, it is a little better; that  
24 spread in allowed ROE to Rf and A-rated utility yields, not  
25 quite as big, but also not at extremely volatile in the  
26 allowed ROE, okay? - less so than if we used 1.0, for  
27 example.

28 The adjustment factors, if you go to the next slide, I

1 think these -- I don't even know what these mean in terms  
2 of these regressions. They're regressing U.S.-allowed ROEs  
3 on U.S. government bond yields and U.S. corporate bond  
4 yields. And I really, as I said, U.S. allowed ROEs; it's  
5 not even market data, and I don't know quite what that has  
6 to do with the impact of long-term Canada bond rates in  
7 Canada, and A-rated utility spreads on the cost of equity  
8 for Ontario utilities. I just think it's nice you got the  
9 coefficients, but I don't really know what they mean.

10 Next slide, please. The equity ratio recommendations,  
11 I did, as one of the groups mentioned. I recommended that  
12 Hydro One could be reduced to 38 percent, and gradually to  
13 36 percent. So it was in line with my recommendation of 36  
14 percent for EGI last year, when actually at those  
15 proceedings, it was actually sitting at 36 percent.

16 The recommendation and my 2023 evidence provides  
17 support for the 36 percent for Enbridge Gas, so I won't  
18 repeat it. But, for Hydro One Inc., you know, they have  
19 strong ratings, as you can see, by three rating providers.  
20 They are identified as having excellent business risk and  
21 low industry risk by S&P, reasonable regulatory support by  
22 DBRS Morningstar, and those are strengths.

23 They are able to attract debt capital at attractive  
24 rates around the A-rated utility rate and below some of the  
25 comparable operating utilities in Canada. And they have  
26 been allowed to -- they have been earning allowed ROEs at  
27 or above those allowed for the most recent. And also,  
28 they have strong credit metrics, with two of them falling

1 in the A-range and one consistently in the AA-range. So,  
2 there's room to move that down a little bit.

3 Finally, the last slide here, and then I will  
4 conclude. So Concentric on the other hand recommends an  
5 across-the-Board increase in 45 percent. And, as discussed  
6 before, mainly they're arguing that to bring it in line  
7 with the U.S. utilities. They don't really provide any  
8 metric analysis to suggest that that is necessary or that  
9 they're having trouble attracting capital today. And, as  
10 mentioned before, it is inconsistent with the  
11 recommendations for allowed equity ratios in Newfoundland  
12 and in Alberta.

13 So I apologize if I went over, but that's it for me.  
14 Thank you.

15 **QUESTIONS BY THE BOARD**

16 MR. SARDANA: How does Hydro One's price to book  
17 compare with U.S. utilities' price to book? You mentioned  
18 that Hydro One is over 2.0.

19 DR. CLEARY: Yes.

20 MR. SARDANA: And I can accept that. But how does  
21 that compare to, say, you know -- and I am just throwing  
22 this out of the air -- American Electric Power or, you  
23 know, some large U.S. utilities?

24 DR. CLEARY: Yeah. I think it's right on line and  
25 actually, one of the -- if you look to the section in my  
26 evidence that does it, I think the average for the U.S.  
27 over the 2017 to 2023 period for the U.S. was 2.05. And  
28 then Hydro One was 2.04, so it's kind of bang on, in that

1 sense.

2 MR. SARDANA: So in your estimate, would there be  
3 economic rents being earned across the board? Or is this  
4 just the way these utilities operate?

5 DR. CLEARY: Now that's a great question. The answer  
6 is apples and oranges. That's why the U.S. equity, that's  
7 why I argue the U.S. utilities are riskier. By saying they  
8 are a comparable investment is not the case. They are  
9 perceived as being riskier, hence their investors require a  
10 higher return on them than regulated operating Ontario  
11 utilities.

12 And so it's not quite apples and oranges but it's, you  
13 know -- it's different brands of apples you are comparing,  
14 for sure. So...

15 MR. SARDANA: It is certainly a fruitful discussion.

16 DR. CLEARY: Yeah.

17 MR. SARDANA: Thank you.

18 DR. CLEARY: Good one.

19 MR. JANIGAN: Commissioner Anderson.

20 MS. ANDERSON: So what you have said is that the  
21 spreads between ROE and yields have been increasing.  
22 What's your take on why?

23 DR. CLEARY: Yes, thank you. I think it's something I  
24 touched upon briefly in my presentation. I think there's a  
25 fair bit of inertia that's built into it, because we come  
26 to these proceedings and you look around and there's  
27 pressure from debt rating agencies to be viewed as a  
28 support of regulatory body. Right? And okay, so then but

1 even when the market data is telling you something  
2 different, you don't want to be that different from the  
3 others. I think there's a little bit of a resource  
4 mismatch at a lot of these proceedings, certainly the ones  
5 I've been involved in, in terms of the experts that they  
6 have provided. Sometimes in Alberta there's three on the  
7 other side, sometimes there's me and, you know, and I asked  
8 a question of them one time and one time one of the groups  
9 used 2500 hours. And, you know, if I told the utility  
10 consumer advocate I need 2500 hours, they would, you know,  
11 just look at me like I have got five heads. But I think a  
12 lot of it just has to do with it just seemed right when it  
13 was nine-and-a-half percent. Even when the bond rates went  
14 from, you know, 6 percent seemed right in 2004 or maybe  
15 even higher. Right? But 3 percent seems closer to right  
16 now, or 3 to 4. Right?

17 And that's not, probably not going to change a whole  
18 lot. Right? We saw them go up when we had the inflation  
19 spike, but now the inflation is coming down, we're seeing  
20 the bond yields. They don't go toe-to-toe with the Bank of  
21 Canada rate. Right? Or the Fed fund rate. But the bond  
22 yields, they're long-term investment and they're rooted in  
23 inflationary expectations. Right?

24 And now that those inflationary expectations are  
25 underlined, there's a link to the Bank of Canada rate, but  
26 they're more concerned with -- sometimes you see the Bank  
27 of Canada rate go up and bond yields go down because they  
28 think that's fighting inflation. Right? So it's

1 definitely not, like, a 0.8 correlation or something.

2       So there's a, you know, it's hard. You're used to  
3 nine-and-a-half percent, and you just, you know, because I  
4 can remember in Alberta in 2013 it went to 8.3 and you  
5 could just -- it seems weird, but it was still too high in  
6 my opinion, of course. But, you know, it did come down  
7 and, you know what, all the utilities maintain their A-  
8 ratings and, you know, some had A-minus and they were still  
9 able to attract capital at good rates and so on and so  
10 forth. The world didn't come crumbling down, it just  
11 brought them more in line. Then things change and, you  
12 know, the rates change. So...

13       MS. ANDERSON: Okay. So, you talked about the  
14 utilities in the U.S. being higher risk, so there's another  
15 why question for you. Why are they higher risk?

16       DR. CLEARY: Well, it's a great question and of course  
17 one I get a lot, obviously, every time I'm involved in  
18 these proceedings. Because a lot of those publicly listed  
19 ones are holding companies. And I do recognize the same is  
20 true for the Canadian holding companies. Right? But also  
21 I think the regulatory setup in the U.S., and I'm certainly  
22 not an expert on it like some of, you know, the U.S.  
23 colleagues involved in these, but I think it's a different  
24 kind of scenario than the ones in Canada. I think  
25 actually, I can't remember, someone mentioned this morning  
26 specific risk to California and Georgia and, you know, like  
27 that. Okay. Well, in Canada we could have some  
28 jurisdictions like that, but, you know, Ontario is not one

1 of them, Alberta is not one of them. Right? You know, and  
2 so, therein lies some of the issues. Right? And I don't  
3 think BC is either. So, there's that part of it. And  
4 they're in the U.S. capital markets and there's no doubt  
5 there's integration of the capital markets.

6 But the bottom line, and I showed in my evidence is  
7 that there's a home bias. In Canada we are 3 percent of  
8 the equity market, 3 percent of the fixed income market  
9 globally, yet our investors own, average investor in  
10 Canada, 42 percent in equity, of Canadian equities. I mean  
11 they talk about the -- even the big pension plan is 25  
12 percent and they get criticized for that and say, but  
13 actually we're overweight, you know, like a lot. Right?  
14 And then the fixed income market is really home bias.  
15 It's, like, 84 percent. So, most of the Canadian, you  
16 know, if you float bonds in Canada, most likely, and  
17 someone mentioned earlier, I think one of the Board  
18 members, you know, that when Ontario companies issue bonds,  
19 they're over-subscribed. Right? And that's indicating  
20 these are pretty high quality bonds. And you ever notice  
21 we get that A-rated utility index? That's lower than the  
22 A-rated index. Right? That shows you something. It's  
23 interesting to note if you actually download the two, it's  
24 not a big difference, but it shows you that A-rated  
25 utilities are viewed as less risky than just your average  
26 A-rated company, and that's because, you know, monopoly,  
27 you get to pass through cost to customers, you know, if  
28 you're in a strong geographic area, you know, those things

1 that make them less risky than the average company in the  
2 market that has to fight for demand, that doesn't get to  
3 pass on their costs to the consumers and so on and so  
4 forth. Right? But that's a big part and, you know, as to  
5 why, I think the betas are a little bit higher because of  
6 the holding company nature of them. You see that also in  
7 some of the Canadian holding companies. Enbridge Inc., I  
8 don't think, is a good one because it's too risky because  
9 they have some regulated, you know, operating utilities,  
10 low risk, like EGI. Right? But then they also have a lot  
11 of pipelines in a lot of U.S., so in some sense I would  
12 view that they use some of that stability from their cash  
13 cows with the lower risk and then they undertake more risky  
14 operations, which is their prerogative. Right? But then  
15 that means they're going to get lower debt ratings, you  
16 know, than some of their operating companies. I don't  
17 know. Sorry, long answer. I don't know if I answered your  
18 question or not.

19 MS. ANDERSON: One of the issues seems to be the  
20 inclusion of the flotation costs in the debt and your  
21 recommendation is to put it into the actual rate, but you  
22 also used the 0.5 and then we did hear that some people  
23 thinking that was a bit rich and I don't see that you have  
24 commented on the use of 0.5.

25 DR. CLEARY: Yes. Thanks. That's also a good  
26 question, because I thought about it a lot as I read the  
27 evidence. And LEI makes a good point that it is a little  
28 bit high because companies don't issue equity on a regular

1 basis. They do issue debt on a more regular basis,  
2 although I think there was an IR response maybe even for  
3 the big ones, one to two times a year, you know, probably  
4 not more than that, in some years, none. Right? Now, the  
5 flotation costs on debt would be lower probably than 50  
6 basis points. The flotation costs on equity would be  
7 higher. Right? You know, 1 to 2 percent depending on, you  
8 know, the market. Right?

9 So, if you recognize that they're going to issue the  
10 equity -- and remember the ROE is supposed to be the cost  
11 of equity. I think it's appropriate to include a cost in  
12 there, but I think if you use 2 percent, that would be kind  
13 of assuming they're issuing every year. Right? So, 50  
14 basis points maybe is a reasonable compromise, and maybe  
15 also reflecting that you're maybe paying a little bit,  
16 maybe 20 bps on debt issues during the year, too. So that  
17 was my thinking on that, although I appreciate LEI's  
18 approach as well.

19 MS. ANDERSON: Okay. Thank you.

20 MR. JANIGAN: Yes, Dr. Cleary, I just have one  
21 question and it deals with energy transition. And energy  
22 transition has been cited as a possibility hazard in the  
23 future in the event that ROEs do not match the ability of  
24 utilities to raise the appropriate money to spend in that  
25 area. What is your opinion on that?

26 DR. CLEARY: Yes. Thank you. That's a great question  
27 because I did hear it come up this morning, so I kind of  
28 thought about it on my drive in here, and actually in

1 preparing my evidence as well, I should say.

2       So, I have a couple of different thoughts on that.  
3 The first is we discussed this at quite some length during  
4 the EGI rebasing proceedings last year, and I think, you  
5 know, the -- I don't know there's ever a consensus. But  
6 anyways, my takeaway was that, yes, there's energy  
7 transition coming. It's not coming today. It's starting  
8 or it's in process. It's moving fairly slow, but it's  
9 moving. So, that creates both opportunities and risk, and  
10 the opportunities, of course, are increased demand. Right?  
11 The risks, okay, are they not operationally efficient? Can  
12 they not deal with these increase in demand? I don't see a  
13 lot of evidence of that. Are they going to have trouble  
14 attracting capital? No evidence of that. If their issues  
15 are over subscribed in their price-to-book ratio, using  
16 Hydro One, the only one I can reference, 2.04, no  
17 indications of that. So, the argument you need to do this  
18 to prepare for it, okay, so I don't know why today's  
19 ratepayers need to finance financing that the utilities may  
20 have to come up with three or four years from now,  
21 especially when there's no indication they're having  
22 problems financing it today. Right?

23       So, if their bonds are oversubscribed today, why do  
24 they need to increase their equity thickness and increase  
25 their ROE because they can clearly, if they're  
26 oversubscribed, they can issue more debt? And if their  
27 debt is oversubscribed, they can probably issue more  
28 equity, too.

1           And if we see that the rates are out of line, then  
2 it's wrong. But I don't think it's something that you need  
3 to do preemptively, and let five years of consumers pay for  
4 five years for risks that may or may not materialize.

5           You also have to realize that growth opportunity. If  
6 the investors think it's a great growth opportunity, they  
7 may not want a higher compensation for it. You know, they  
8 may say, they've got all this growth opportunity, they have  
9 made solid plans that are in place; I could actually accept  
10 a lower return on them, because, as was mentioned by one of  
11 the Board members this morning -- sorry, I can't remember  
12 -- that includes an increase in your rate base and an  
13 increase in future income and potential increase in  
14 dividends. Right?

15           So, it could have exactly -- you know, it could have  
16 the opposite effect, or it might just be we have already  
17 factored a lot of that into what we are charging you today  
18 which, if the markets are efficient, you would assume is  
19 the case. And so it's not going to be impacted.

20           MR. JANIGAN: Okay. Commissioner Anderson had another  
21 question to ask.

22           MS. ANDERSON: Sorry, I forgot to ask my question  
23 about size and the market in Ontario. And it was twiggled  
24 by your slide on the Newfoundland case, and the fact that  
25 the argument was that that faced significant risk because  
26 of their smaller size. And here in this province we have  
27 70-ish, some very small, some larger.

28           DR. CLEARY: Mm-hmm.

1 MS. ANDERSON: We heard this morning that that was  
2 more of a policy, a social policy decision as to how you  
3 deal with that -- I mean, not mostly, but partially.

4 So what's your take on the fact that we have some with  
5 a few thousand customers, like 3,000 customers, and some  
6 with over a million?

7 DR. CLEARY: Yes. No, it's a great -- because you  
8 have, you know, the Big Four, if you will. Right? And  
9 then you have a lot of others. I mean, there's some other  
10 big ones, but I am thinking, like, Hydro One, EGI and OPG.  
11 And then you have, like, Toronto Hydro and Ottawa. And  
12 they are big players, as well. But then you do have a lot  
13 of smaller ones.

14 And my take on that is that, yeah, they do. You know,  
15 size is a factor. But one of the things you can do to  
16 adjust for that is through their equity ratio, is one way  
17 of adjusting for it. And I think -- I can't remember who  
18 said it, but it was interesting, saying even if you  
19 increase their allowed ROE, they may not be able to make it  
20 anyway.

21 And that is kind of consistent with the policy of, you  
22 know, setting a flat ROE and adjusting the equity ratios as  
23 appropriate. So I believe that's a reasonable practice.

24 MS. ANDERSON: And then the question is should you do  
25 that?

26 DR. CLEARY: Should you what?

27 MS. ANDERSON: Should you adjust the capital structure  
28 based on the size because, you know, that's -- I guess

1 that's the policy question part of it.

2 DR. CLEARY: Yeah. I think that's an appropriate  
3 approach to doing it, if it -- not just because they're  
4 small. If they are very profitable in a great region,  
5 that's one -- you know, what I mean.

6 But if that's creating an excess risk that you see in  
7 their ability to operate and attract capital, then I would  
8 say yes, that would be an appropriate adjustment.

9 MS. ANDERSON: Thank you.

10 MR. JANIGAN: Okay. Well, thank you, very much,  
11 Dr. Cleary, and thanks to all the experts and the counsel  
12 and support that appeared today. This proceeding was very  
13 helpful to the Panel members, and I hope it's helpful to  
14 the parties who are participating in this hearing, which  
15 will take place later this month. So, thank you.

16 --- Whereupon the proceeding adjourned at 2:16 p.m.

17

18

19

20

21

22

23

24

25

26

27

28