

ONTARIO ENERGY BOARD

IN THE MATTER OF the *Ontario Energy Board Act, 1998*,
S.O. 1998, c.15 (Schedule. B);

AND IN THE MATTER OF an Application by Enbridge Gas
Inc, pursuant to section 36(1) of the *Ontario Energy Board
Act, 1998*, for an order or orders approving or fixing just and
reasonable rates and other charges for the sale, distribution,
transmission and storage of gas as of January 1, 2024.

EB-2024-0111

PANEL 2 COMPENDIUM OF

MINOGI CORP.

AND

THREE FIRES GROUP INC.

December 16, 2024

Tab 1



ONTARIO ENERGY BOARD

FILE NO.: EB-2022-0200

Enbridge Gas Inc.

VOLUME: 6

DATE: July 20, 2023

BEFORE: Patrick Moran

Presiding Commissioner

Allison Duff

Commissioner

Emad Elsayed

Commissioner

1 you know, a certain percentage of the net present value of
2 the cost savings to customers, by pursuing the lower cost
3 option. And conceptually, that could be applied just as
4 easily to gas, as it can to electric.

5 MR. QUINN: Thank you, for that. I would concur with
6 that. Thank you for your answers, Mr. Neme, and thank you,
7 Commissioners. I apologize for a little bit over time with
8 my logistics, but those are my questions.

9 MR. MORAN: Thank you, Mr. Quinn. Next, we have Three
10 Fires Group.

11 **CROSS-EXAMINATION BY MR. VOLLMER:**

12 MR. VOLLMER: Daniel Vollmer, from Ginoogaming. I
13 will also be asking questions on behalf of both the Three
14 Fires and Ginoogaming First Nation, today.

15 MR. MORAN: Thank you, Mr. Vollmer.

16 MR. VOLLMER: Good afternoon, Commissioners, and good
17 afternoon, Mr. Neme.

18 I just wanted to start off by asking a few questions
19 on the relative risk of the energy transition
20 decarbonization from declining gas peak demand and gas
21 sales for lower income households, especially in remote
22 communities and First Nations. Ms. Monforton, could you
23 please pull up page 4 of Mr. Neme's evidence? Thank you.

24 As we just heard earlier today, you noted that the
25 implications of declining gas peak demand and gas sales
26 present a growing risk that current and new capital gas
27 assets will become underutilized, if not stranded, and the
28 implications of this will be probably problematic for

1 lower-income households. Right?

2 MR. NEME: Correct.

3 MR. VOLLMER: Could you just maybe unpack or elaborate
4 on the reasons it would be particularly problematic for
5 lower-income households.

6 MR. NEME: Sure. There are, I guess, a couple of
7 lenses through which you could think about this issue. One
8 is that low-income holds are typically already at their
9 limits in terms of how much they can afford for energy.
10 Their energy burdens tend to be quite high. And,
11 therefore, anything that increases their energy costs just
12 makes their lives more challenging. And some would use
13 terms much stronger than that, you know.

14 And so, as the gas system -- if we go down the path of
15 decarbonization and there is significant electrification,
16 which I believe that pretty much every study, even the two
17 scenarios that Enbridge had their consultant Guidehouse
18 look at, says this, that there is going to be significant
19 electrification and customers leaving the gas system, the
20 costs that are going to have to be recovered from the gas
21 system will be spread over a smaller number of customers
22 and a smaller volume of sales. And that is going to create
23 upward-rate pressure and it is going to create significant
24 challenges for low-income households who are still on the
25 gas system.

26 Now, those challenges could be mitigated if those
27 customers could get onto a less expensive system, which is
28 likely to be the electric system. And, as I mentioned to

1 somebody earlier, when the Massachusetts gas utilities did
2 their analyses of eight or nine different pathways
3 scenarios, they definitely found that energy burdens for
4 low-income households could be maintained at relatively the
5 same levels they are today for those customers who exit the
6 system onto the electric system in a high-electrification
7 scenario.

8 The problem is that those low-income households are
9 the ones that do not have the capital to make that
10 transition themselves. And, as a result, they are more
11 likely without support than others, proportionally, to be
12 the ones left on the system facing the higher gas prices
13 that they cannot afford.

14 MR. VOLLMER: Thank you.

15 MR. NEME: Does that help?

16 MR. VOLLMER: Yes, thanks. Is it safe to say that a
17 lot of those same considerations would apply to remote
18 communities and First Nations that are often also, many of
19 them, lower-income and have the same kinds of issues?

20 MR. NEME: Sure. Any customer that faces significant
21 challenges in getting off the system and/or that has
22 significant existing financial constraints would be in the
23 same boat. And that's probably particularly true if you
24 are in more northern areas, where the climate is more
25 severe.

26 MR. VOLLMER: Thank you. I think maybe just jumping
27 off that a bit more. In your opinion, are there any other
28 -- or could you maybe elaborate on the other kinds of

1 considerations for those First Nation communities, and
2 especially northern communities, trying to either leave the
3 gas system or electrify, and just maybe some comments on
4 that?

5 MR. NEME: Sure. Obviously, as you go further north,
6 the winters get more severe, which means you use more
7 energy for meeting your basic needs. And so that is a
8 bigger challenge.

9 In addition, the more kind of common electric heating
10 options for the more moderate parts of Ontario, like
11 Toronto and environs, and even up to Ottawa, which is a
12 cold-climate air source heat pump, in very far-north
13 communities, those heat pumps will not function nearly as
14 well. Because, the further north you go, the lower their
15 operating efficiency and the less they can produce without
16 having to rely on backup systems.

17 So, for those more northern communities, First Nations
18 communities, there would need to be kind of a visiting of a
19 range of options that are maybe a little bit different than
20 the average household in Toronto might pursue, or even the
21 average low-income household in Toronto. There may need to
22 be more of a focus on ground-source systems. There may
23 need to be more of a focus on biofuel systems. And there
24 probably needs to be some thought, as well, to how to, from
25 a public policy perspective, mitigate the costs that will
26 be incurred in switching to those alternative fuels or
27 alternative heating systems for those communities. That is
28 a policy call, but it seems like it is a reasonable one to

1 consider.

2 MR. VOLLMER: Thank you. And I just want to talk a
3 bit about the feasibility -- it kind of jumps from where
4 you were just speaking now -- of the energy transition in a
5 lot of these vulnerable communities and remote communities,
6 including many First Nations. If we can please go to page
7 24 of Mr. Neme's evidence. Thank you. And then scroll
8 down to, I guess, section B. Right there, thank you.

9 In your evidence here, you suggest that developing
10 specific estimates of the cost effectiveness of customers
11 investing in electrification at various points between 2023
12 and 2050 was beyond the scope of your evidence. In your
13 opinion, does Enbridge's evidence in this proceeding allow
14 for a comprehensive understanding of the cost effectiveness
15 of customers investing in electrification in Ontario?

16 MR. NEME: No, I don't think it does. As I said
17 earlier, I think the Guidehouse pathways study is
18 fundamentally flawed, with numerous biases in favour of
19 gaseous fuel pathways and against electrification pathways.
20 But, moreover, it is a kind of economy-wide analysis.
21 Which is not a criticism of their work; it's just that it
22 doesn't allow for the kind of regional breakouts or
23 community-specific challenges that you were alluding to
24 earlier.

25 And nor does mine. My analysis in this report focuses
26 on Toronto as kind of a typical, average Ontarian
27 situation. I readily acknowledge that the situation is
28 going to be different especially in far-northern

1 communities, and kind of a wider range of options is going
2 to need to be investigated to find solutions that are the
3 most cost effective there.

4 I didn't mention earlier, but another one could be a
5 much more significant level of investment in energy
6 efficiency of buildings so that, whatever heating system is
7 adopted, there is much less of it needed so that it is much
8 more affordable. And much higher levels of efficient in
9 very northern communities will make sense than in Toronto.

10 MR. VOLLMER: Thank you. You basically answered my
11 second question that I was going to ask you. So, with
12 that, I think that's pretty much all of my questions. I
13 just want to thank you, Mr. Neme, and yield back my time.

14 MR. NEME: Thank you.

15 MR. MORAN: Thank you, Mr. Vollmer. OEB Staff, are
16 you ready to proceed?

17 MR. MILLAR: I am. Thank you very much, Mr. Chair.

18 MR. MORAN: Thank you, Mr. Millar.

19 MR. MILLAR: Just as we get started here, I have
20 circulated a compendium for Mr. Neme and I propose to mark
21 that as K6.3. These are materials that are already on the
22 record; in fact, they are largely taken from Mr. Neme's
23 report.

24 **EXHIBIT K6.3: BOARD STAFF COMPENDIUM FOR PANEL 3.**

25 MR. MILLAR: Good afternoon Mr. Neme. It's very nice
26 to see you. I just have few questions to go over today,
27 and I don't think we will take too long.

28 Let me start with -- maybe we can turn to page 5 of