



# ONTARIO ENERGY BOARD

**FILE NO.**

**EB-2025-0297**

**Ontario Power Generation Inc.**

---

**VOLUME:**

**Technical Conference – Day 1**

**DATE:**

**May 27, 2026**

THE ONTARIO ENERGY BOARD

Ontario Power Generation Inc.

Application for payment amounts for the period from  
January 1, 2027 to December 31, 2031

Technical Conference held person and virtually  
at 2300 Yonge Street, 25th Floor, Toronto, Ontario  
on Wednesday, May 27, 2026, commencing at 9:34 a.m.

-----  
Day 1  
-----

A P P E A R A N C E S

MICHAEL MILLAR	Ontario Energy Board
IAN RICHLER	
THOMAS EMINOWICZ	
JEFFREY SAUER	
MUSAB QURESHI	
CHRIS CINCAR	
TYLER DAVIDS	
ADA LI	
FIONA O'CONNELL	
YAROSLAV PALIY	
ANDREW PIETREWICZ	
DANA WONG	
TINA ZHU	
ZUBIN PANCHAL	
MUHAMMAD YUNUS	
ASHLEY SANASIE	
TINA LI	
DALIANA COBAN	OPG
ANDREA BROWN	
BRYAN ICYK	
JENNIFER VULANOVIC	
MELISSA LAUNDRY	
LORI PATCHETT	
AIMEE COLLIER	
CHARLES KEIZER	
ARLEN STERNBERG	
JONATHAN MYERS	
JON SILVER	
SHELLEY GRICE	Association of Major Power Consumers of Ontario (AMPCO)
CLEMENT LI	Building Owners and Managers Association (BOMA)
TOM LADANYI	Coalition of Concerned Manufacturers and Businesses of Canada (CCMBC)
LAWRIE GLUCK	Consumers Council of Canada (CCC)
TOM LADANYI	Energy Probe Research Foundation

A P P E A R A N C E S

MAIA CHASE	Independent Electricity System Operator
KEITH PINTO	Keith Pinto
DANIEL VOLLMER	Minogi Corp.
SCOTT WALKER	Ontario Association of Physical Plant Administrators
COLIN FRASER BOHDAN DUMKA	The Society of United Professionals
MIKE MCLEOD	Quinte Manufacturers Association
MARK RUBENSTEIN JANE SCOTT JAY SHEPHERD	School Energy Coalition (SEC)
DAN ROSENBLUTH BAYU KIDANE	PWU
MARK GARNER	Vulnerable Energy Consumers Coalition (VECC)
COLM BOYLE	WTFN Investment Holdings LP
NICK PENDER MATT SIKSTROM MARC CHIDIAC NICOLE FABBRO MELISSA HANNON MATTHEW KIRK	Panel 1 - Hydroelectric Operations and Hydroelectric Projects and Projects and Market Renewal Program

I N D E X   O F   P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:34 a.m.	1
LAND ACKNOWLEDGEMENT	2
APPEARANCES	3
--- (Court reporter confirmation)	4
EXAMINATION BY S. WALKER:	8
EXAMINATION BY C. CINCAR:	17
EXAMINATION BY T. EMINOWICZ:	32
--- Recess taken at 11:04 a.m.	52
--- Upon resuming at 11:22 a.m.	52
EXAMINATION BY Y. PALIY:	52
--- (Court reporter interjection re microphone)	72
--- Recess taken at 12:07 p.m.	75
--- Upon resuming at 1:04 p.m.	75
EXAMINATION BY A. LI:	84
EXAMINATION BY T. EMINOWICZ:	92
EXAMINATION BY T. ZHU:	100
EXAMINATION BY T. EMINOWICZ:	114
--- Recess taken at 2:39 p.m.	121
--- Upon resuming at 2:55 p.m.	121
EXAMINATION BY J. SCOTT:	121
--- Off record discussion	125
EXAMINATION BY M. RUBENSTEIN:	147

I N D E X   O F   P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- Whereupon the proceeding adjourned at 4:30 p.m. to resume Thursday, May 28, 2026, at 9:30 a.m.	164

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING JT-1.1: QUESTIONS FILED BY WTFN ON MAY 26	16
UNDERTAKING JT-1.2: QUESTIONS FILED BY MINOGI ON MAY 21	16
UNDERTAKING JT-1.3: REVISE Chart 1 CMSC PAYMENTS RECEIVED AND AMOUNTS RECORDED IN SBGVA IN E1-STAFF-148 BY REPLACING CMSC PAYMENTS WITH ONLY CONSTRAINED-OFF CMSC PAYMENTS, LIMITED TO OPG'S HYDROELECTRIC BASE LOAD FACILITIES	19
UNDERTAKING JT-1.4: UPDATE Chart 1 IN E1-STAFF-149 TO INCLUDE 2024 AND 2025, GOING BACK TO 2016	23
UNDERTAKING JT-1.5: PROVIDE THE CONDITION OF ASSETS FOR THE COMPLETED PROJECT BASED ON ANYTHING COMPARABLE TO THE HEALTH CONDITION ASSESSMENT RATINGS FOR ALL PROJECTS AND SEC-41, ATTACHMENT 3	60
UNDERTAKING JT-1.6: ADVISE HOW MANY OUTAGE DAYS OPG ESTIMATES AS THE RESULT OF REPLACEMENT OF ELECTRICAL COMMON BALANCE PLANT OF WORK FOR EACH OF THE G20, G19, G18, G17, G14, AND G13 PROJECTS	67
UNDERTAKING JT-1.7: PROVIDE A PROBABILITY OF FAILURE FOR ANY RELEVANT AND IMPORTANT PROJECT THAT OPG CAN PROVIDE AS AN EXAMPLE OF HOW IT IS ASSESSED AND HOW IT CAN BE USED TO ANALYZE CERTAIN ISSUES	69
UNDERTAKING JT-1.8: ADVISE WHAT CONDITION UNITS G4 AND G5 ARE IN AND WHEN THEY WILL BE REFURBISHED	71
UNDERTAKING JT-1.9: CONFIRM WHEN THE OPG BOARD OF DIRECTORS APPROVED THE USE OF UNALLOCATED PORTFOLIO IN BUSINESS PLANNING FOR THE RENEWABLE GENERATION BUSINESS UNIT AND WHEN OPG	

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
STARTED IMPLEMENTING IT IN THEIR BUSINESS PLANNING	80
UNDERTAKING JT-1.10: PROVIDE A NARRATIVE THAT DESCRIBES THE MAIN DRIVERS OF THE DIFFERENCE IN COST BETWEEN THE G16 AND G12 REFURBISHMENT BY CATEGORY AS SEEN IN CHART 3, COST BREAKDOWN PER UNIT, ON PAGE 5 OF THE INTERROGATORY RESPONSE	81
UNDERTAKING JT-1.11: PROVIDE A QUANTITATIVE RECONCILIATION FROM THE \$11.4 MILLION GATE 2 DEFINITION PHASE ESTIMATE TO THE \$32.7 MILLION GATE 3 EXECUTION PHASE ESTIMATE, BY MAJOR COST CATEGORY AND DRIVER, AND IDENTIFY WHICH SCOPE ELEMENTS WERE KNOWN OR FORESEEABLE AT GATE 2 VERSUS IDENTIFIED LATER, AND EXPLAIN WHETHER THE INCREASE WAS DRIVEN PRIMARILY BY SCOPE ADDITIONS, ESTIMATE CLASS MATURITY, EPC PRICING, ACCESS/LOGISTICS, MARKET ESCALATION, OR CONTINGENCY	84
UNDERTAKING JT-1.12: PROVIDE AN AVAILABILITY TABLE SIMILAR TO WHAT IS EXHIBIT F1-1 THAT REFLECTS THE ACTUAL PRODUCTION FORECAST FOR 2027 FOR THE TOP FIVE STATIONS BY PRODUCTION	88
UNDERTAKING JT-1.13: QUANTIFY THE BENEFIT TO THE PRODUCTION FORECAST OF THE CAPACITY INCREASE AT Otter Rapids IN 2027	94
UNDERTAKING JT-1.14: PROVIDE AN EXPLANATION OF HOW OPG EXPECTS HYDROELECTRIC FTE LEVELS TO CATCH UP TO THE BUDGETED 2026 AND PLANNED 2027 LEVELS, INCLUDING CURRENT HYDROELECTRIC OM&A AND CAPITAL FTE LEVELS	109
UNDERTAKING JT-1.15: ADVISE HOW OPG DETERMINED WHETHER THEY NEEDED TO HIRE 173.3 FTES AS OM&A AND 188.4 FTES AS CAPITAL OVER THE LAST FEW YEARS	114

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING JT-1.16: PROVIDE EXAMPLES OF PROJECTS THAT ARE IDENTIFIED AS ELIGIBLE FOR CAPACITY REFURBISHMENT VARIANCE ACCOUNT TREATMENT WHERE THERE ARE COMPONENTS OF THE PROJECT THAT ARE NOT ELIGIBLE FOR VARIANCE ACCOUNT TREATMENT, AND IF THERE ARE NONE IN THE PROPOSED TERM, PROVIDE ANY EXAMPLE FROM THE PAST	117
UNDERTAKING JT-1.17: PROVIDE A REPRESENTATIVE SAMPLE OF THE HEALTH CONDITION REPORT IN REGARDS TO SEC-41 AS WELL AS THE PLANT-LEVEL HEALTH REPORTS THAT EXIST FOR ALL OF THOSE PROJECTS	125
UNDERTAKING JT-1.18: PROVIDE CONFIRMATION OF ANY PRIOR VERSIONS OF THE HEALTH MONITORING AND REPORTING PROCEDURE, AND PROVIDE AN ASSESSMENT OF THE STATUS OF THE PCA COMPLETION FOR ALL 66 HYDROELECTRIC STATIONS TODAY FOR REGULATED HYDRO	126
UNDERTAKING JT-1.19: PROVIDE THE VOLUME OF BACKLOG OF WORK ORDERS WITHIN THE CONTEXT OF RECOMMENDATION 4, ACTION ITEM 1	139
UNDERTAKING JT-1.20: RATIONALIZE WHAT WENT INTO THE CONTINGENCY DRAWDOWN AMOUNT THAT IS NOTED IN D1-AMPCO-016	145
UNDERTAKING JT-1.21: RECONCILE CHART 1 IN E1-SEC-132 AND CHART 6 IN THE EVIDENCE	162
UNDERTAKING JT-1.22: PROVIDE THE RELEVANT GDAR FOR THE STRATEGY AND EXCELLENCE PLAN FOR RENEWABLE GENERATION 2026, 2028	163

1 Wednesday, May 27, 2026

2 --- On commencing at 9:34 a.m.

3 M. MILLAR: Good morning, everyone. Welcome to  
4 the technical conference for EB-2025-0297, which is  
5 the OPG payment amounts proceeding.

6 My name is Michael Millar. I am counsel for  
7 Board Staff. And even though I am on the dais, I am  
8 only up here because this is where all the buttons  
9 are. I am a simple public servant, and I am not a  
10 member of the Panel here in this case, but I will be  
11 your master of ceremonies for today.

12 I am joined by my co-counsel, Ian Richler. And  
13 we also have the case managers Thomas Eminowicz and  
14 Jeffrey Sauer. There are a number of other Staffers  
15 who will be in and out through the proceeding, some  
16 of whom are here now, but I don't think I will  
17 introduce them all now because some are here and some  
18 are not. But when they are asking questions, they  
19 will introduce themselves so everyone knows who they  
20 are.

21 We have a very busy schedule, so, as you know,  
22 one of the things I will be doing is encouraging  
23 people to stick to the time estimates that they have  
24 given to me. But it does look like we will  
25 comfortably fit within the time that we have allotted  
26 as long as we all do our part to work efficiently.

27 We are going to move to appearances in a moment,  
28 but before we do that, could I turn to Ms. Sanasie

1 for our land acknowledgement.

2 **LAND ACKNOWLEDGEMENT**

3 A. SANASIE: The Ontario Energy Board  
4 acknowledges that our headquarters in Toronto is  
5 located on the traditional territory of many Nations,  
6 including the Mississaugas of the Credit, the  
7 Anishinaabeg, the Chippewa, the Haudenosaunee, and  
8 the Wendat peoples. This area is now home to many  
9 diverse First Nations, Inuit, and Métis. We also  
10 acknowledge that Toronto is covered by Treaty 13 with  
11 the Mississaugas of the Credit.

12 We are grateful for the opportunity to gather  
13 and work on these lands and recognize our shared  
14 responsibility to support and be good stewards of  
15 them.

16 M. MILLAR: Thank you, Ms. Sanasie.

17 Unless there are any preliminary matters that we  
18 need to address -- I suppose I should mention folks  
19 will have seen Procedural Order Number 7 yesterday  
20 which asks that the parties and OEB Staff get  
21 together to discuss a possible schedule for maybe an  
22 additional technical conference with certain experts.

23 What I am proposing we do -- and I had a very  
24 quick chat with Ms. Coban this morning -- is we start  
25 with some offline discussions about that, perhaps on  
26 our break or over lunch or what have you, and then  
27 when we arrive at some consensus, hopefully we will  
28 be able to address that directly on the record

1 because you will have seen that the Panel was going  
2 to find out about this through reviewing the  
3 transcripts. So everyone will have seen that, but I  
4 think we can deal with that later today or in the  
5 days to come.

6 So unless there is anything further, I propose  
7 to do appearances. And I will start with you, Ms.  
8 Coban.

9 **APPEARANCES**

10 D. COBAN: Good morning. Daliana Coban, counsel  
11 for the Applicants. I will be sitting here with the  
12 hydroelectric panel, and then I will be joined by my  
13 colleagues for the remaining panels, Mr. Keizer and  
14 Mr. Myers and Mr. Sternberg. With me today I have  
15 Saba Zadeh VP of regulatory affairs at OPG.

16 And, Mr. Millar, is this a good time to  
17 introduce the Panel to the room?

18 M. MILLAR: Yeah, why don't we do that.

19 D. COBAN: Perfect. Thank you. I will pass it  
20 over to you, Mr. Pender, to introduce yourself and  
21 your colleagues. Thank you.

22 N. PENDER: Good morning. Good morning. My  
23 name is Nick Pender, senior vice president of  
24 Renewable Generation and Energy Markets. I will hand  
25 it over to my colleague, Mr. Sikstrom.

26 M. SIKSTROM: I am Matt Sikstrom. I'm a project  
27 director for our Renewable Generation Major Project  
28 Group.

1 N. FABPRO: Good morning. My name is Nicole  
2 Fabbro. I'm the vice president of regional  
3 operations.

4 M. CHIDIAC: Good morning. I am Marc Chidiac.  
5 I am vice president of energy markets.

6 M. HANNON: Good morning. I am Melissa Hannon,  
7 vice president of finance.

8 M. KIRK: Morning. Matthew Kirk. Director of  
9 regulatory affairs.

10 M. MILLAR: I will just ask the court reporter,  
11 did you get all the spellings for that, or do you  
12 already have the names? Do you need anything further  
13 from the witness panel to identify them? We are  
14 trying to get some actual nametags down which  
15 hopefully will help. I just want to make sure you  
16 have the spellings of the names.

17 --- (Court reporter confirmation)

18 M. MILLAR: Great, thank you very much.

19 Back to you, Ms. Coban. Are you finished?

20 D. COBAN: All done.

21 M. MILLAR: Okay. Thank you. We will go around  
22 the room. For members of Staff, I don't think you  
23 need to introduce yourselves right now. We will do  
24 that when you are -- when it is your turn for  
25 questioning. \*

26 But I will start with you, Mr. Rubenstein.

27 M. RUBENSTEIN: Good morning. Mark Rubenstein,  
28 counsel for School Energy Coalition, and I will be

1 joined throughout the technical conference by SEC  
2 consultant Jane Scott and also SEC counsel Jay  
3 Shepherd.

4 M. MILLAR: Thank you, Mr. Rubenstein. And good  
5 morning, Ms. Scott.

6 Mr. Buonarguro?

7 M. BUONARGURO: Good morning. Michael  
8 Buonarguro. I am counsel with the Consumers Council  
9 of Canada. Also joining me throughout the tech  
10 conference in the proceeding will be Lawrie Gluck,  
11 consultant for Consumers Council of Canada.

12 M. MILLAR: Thank you very much.

13 Is there anyone else in the room? Okay. Not  
14 seeing -- normally I have a list of people and I do a  
15 role call for those who are online, but I am actually  
16 not sure who is here today, so this may be a little  
17 bit of a free-for-all. I am going to start with  
18 people I actually see on the screen.

19 So, Mr. Walker, could I turn to you.

20 S. WALKER: Good morning, Mr. Millar. It is  
21 Scott Walker for OAPPA.

22 M. MILLAR: Good morning.

23 Mr. McLeod?

24 M. MCLEOD: Good morning. It is Mike McLeod for  
25 the Quinte Manufacturers Association.

26 M. MILLAR: Good morning.

27 Mr. Rosenbluth?

28 D. ROSENBLUTH: Good morning. Dan Rosenbluth,

1 counsel for the Power Workers' Union, and I am joined  
2 somewhere here by our colleague Bayu Kidane. I will  
3 be in and out during the procedures but obviously  
4 will be careful to ensure I am here at my scheduled  
5 times.

6 M. MILLAR: Great, thank you. And do keep -- we  
7 have circulated the schedule, as people have seen.  
8 That is, of course, subject to change. Times may  
9 compress, occasionally get longer here and there, so  
10 don't assume everything in the schedule is set in  
11 stone. It is re-released at the end of every day.  
12 But, you know, if it says 3:40, don't assume it will  
13 be exactly 3:40. But thank you. Good morning.  
14 Welcome.

15 Mr. Boyle?

16 C. BOYLE: Good morning. Colm Boyle, and I am  
17 here on behalf of WTFN Investment Holdings LP.

18 M. MILLAR: Good morning.

19 Ms. Grice?

20 S. GRICE: Good morning. Shelley Grice,  
21 consultant for the Association of Major Power  
22 Consumers in Ontario.

23 M. MILLAR: Mr. Ladanyi?

24 T. LADANYI: Good morning. My name is Tom  
25 Ladanyi. I am an independent consultant representing  
26 two intervenors, the Coalition of Concerned  
27 Manufacturers and Businesses of Canada, which is a  
28 group of more than 400 manufacturers and businesses

1 mainly located in Ontario. I also represent Energy  
2 Probe Research Foundation, a public interest group  
3 that has been active in OEB proceedings since the  
4 1980s.

5 I do not plan to ask any questions during the  
6 technical conference because I expect that other  
7 intervenors will cover any areas that are of concern  
8 to CCMBC and Energy Probe.

9 M. MILLAR: Thank you, Mr. Ladanyi.  
10 Mr. Li?

11 C. LI: Good morning. Clement Li. I am here on  
12 behalf of Building Owners and Managers Association of  
13 Toronto.

14 M. MILLAR: Thank you, Mr. Li.

15 Could I ask folks who have already introduced  
16 themselves to go off camera. That way, people who  
17 haven't gone yet will pop up, and I can see who they  
18 are. Thanks very much.

19 Mr. Garner?

20 M. GARNER: I am Mark Garner. I am a consultant  
21 for the Vulnerable Energy Consumers Coalition or  
22 VECC.

23 M. MILLAR: Thank you. Good morning.

24 Mr. Pinto?

25 K. PINTO: I am Keith Pinto. I am an  
26 independent intervenor.

27 M. MILLAR: Mr. Vollmer?

28 D. VOLLMER: Good morning. Daniel Vollmer,

1 counsel for Minogi Corp.

2 M. MILLAR: Good morning.

3 I do not see anyone else on my screen. Is there  
4 anyone else who has joined us virtually who wishes to  
5 make an appearance?

6 C. FRASER: Colin Fraser here for the Society.  
7 For some reason, my camera won't turn on. I am not  
8 sure.

9 M. MILLAR: Okay.

10 C. FRASER: So I will work on that.

11 I will also be joined by Bohdan Dumka, and we  
12 will be sort of trading on and off over the term of  
13 the technical conference.

14 M. MILLAR: Okay. Good morning, Mr. Fraser.

15 Anyone else? Okay. Hearing no more  
16 appearances, I can turn to you again, Ms. Coban. Did  
17 you wish to introduce your witnesses again, or is  
18 there any preliminary remarks? Or can we get  
19 straight to the questions?

20 D. COBAN: Let's get right to it.

21 M. MILLAR: Efficiency. I love it.

22 Okay. Mr. Walker, you are the lucky person who  
23 was voluntold to go first, so over to you.

24 **EXAMINATION BY S. WALKER:**

25 S. WALKER: Well, thank you. Good morning,  
26 everyone. My name is Scott Walker, and I am OAPPA's  
27 consultant in this very complex application.

28 Some of you may not know this, but hydroelectric

1 generation holds a very special place in my technical  
2 heart having spent some of my early years in hands-on  
3 exposure to the Ottawa River assets and then having  
4 had executive management oversight of the Rankine  
5 Generating Station while she was still a functioning  
6 generating facility, which was before they turned her  
7 into a museum, which admittedly I still find quite  
8 unsettling.

9 So I do want to thank Panel 1 for being here,  
10 for providing us with the opportunity to more fully  
11 and openly explore some of the issues.

12 However, in re-reading the evidence and numerous  
13 of your IRRs these last few days, I have somehow  
14 managed to ask the majority of the -- answer the  
15 majority of the questions that I had originally  
16 intended you, so therefore, I should be well under my  
17 time allotment this morning.

18 So if I could just beg your indulgence to better  
19 help me understand a few items that are not yet fully  
20 aligning in my mind. And if I could ask that Exhibit  
21 A1, Tab 2, Schedule 2, page 4 of 10 be brought up for  
22 reference, please. Starting there at line 9.13.  
23 Yeah. Maybe if you can bring that up so the whole  
24 thing is shown. Awesome. Thank you.

25 There is a lot of verbiage here. And so,  
26 broadly, are you effectively saying in this paragraph  
27 that you want to be compensated based on the  
28 difference between your actual 5-minute hydroelectric

1 production in real time versus the committed day-  
2 ahead forecast at the real-time locational market  
3 price? Do I have that correct?

4 M. CHIDIAC: Mr. Walker, could you please repeat  
5 the question.

6 S. WALKER: Fair enough. Okay. Are you  
7 effectively saying that you expect to be compensated  
8 based on the difference between your actual 5-minute  
9 hydraulic production versus what you pre-committed in  
10 the day-ahead forecast at the real-time locational  
11 market price?

12 M. CHIDIAC: The intent is for OPG to be paid  
13 for its real-time production in the market. This  
14 paragraph describes the interaction between the day-  
15 ahead and real-time interaction; however, OPG's  
16 proposal is to be paid on its real-time production in  
17 the market.

18 S. WALKER: All of it at the real-time  
19 locational marginal price?

20 M. CHIDIAC: That is incorrect. It would be at  
21 OPG's prescribed amount for regulated hydro.

22 S. WALKER: Okay. So you are looking to be  
23 basically compensated for your full production; is  
24 that correct?

25 M. CHIDIAC: I am not sure what you mean by  
26 "full production," but we are looking to be  
27 compensated for our real-time production in the  
28 market.

1 S. WALKER: Okay. I just -- because the last  
2 part of that paragraph says "multiplied by the real-  
3 time locational marginal price." Why is that  
4 important?

5 M. CHIDIAC: That refers to an adjustment  
6 required in the market that was introduced by the  
7 IESO's market renewal program where there could be  
8 differences in either production or payments from  
9 day-ahead and the real-time. And this describes the  
10 adjustment to revenues to reflect that OPG will be  
11 paid based on its real-time production.

12 S. WALKER: As would be different from the  
13 prescribed regulated price; do I have that right?

14 M. CHIDIAC: No. It would be at the -- well,  
15 the adjustment is not at the prescribed regulated  
16 price, but the net payment to OPG would be at the  
17 prescribed regulated price.

18 S. WALKER: Okay. So you are currently being  
19 compensated for all production at the regulated  
20 price; is that correct?

21 M. CHIDIAC: At a high level, yes.

22 S. WALKER: Okay.

23 M. KIRK: Mr. Walker, can I just add one item.  
24 This is Matthew Kirk speaking. If we can just scroll  
25 up a tiny bit, I just want to make sure we are  
26 looking at the page the same way.

27 So in paragraph 12 there, this is what is  
28 establishing the base regulated payment amount that

1 we are proposing the regulated hydro facilities will  
2 receive, and then what you are discussing with Mr.  
3 Chidiac is the hydro incentive mechanism adjustment.  
4 I just want to make sure that we are understanding  
5 that point.

6 S. WALKER: Okay. So this is -- sorry. This is  
7 incentive-based compensation that is in excess of  
8 what you have forecasted on a day-ahead basis; do I  
9 have that right?

10 M. CHIDIAC: Mr. Walker, it is Marc Chidiac here  
11 again. So, yes, this is in reference to the  
12 hydroelectric incentive mechanism which is described  
13 in evidence in E121. So there is an incentive for  
14 OPG to earn incremental revenues in the market. And  
15 there are two incentive; one is a day-ahead  
16 incentive, and one is a one-time incentive.

17 S. WALKER: Okay.

18 M. CHIDIAC: Actually, the incentive can go  
19 either way. So it could be a benefit to OPG or it  
20 could be a cost to OPG if assets are not optimized  
21 appropriately.

22 S. WALKER: That was a question I had. Thank  
23 you for answering that.

24 So would this additional in-real-time market  
25 revenue be collected as a separate revenue possibly  
26 requiring a new IESO tracking code? Or is it just,  
27 like, a gross adjustment to your monthly GA OEMP  
28 payments.

1 M. CHIDIAC: It is paid out as a separate code  
2 by the IESO.

3 S. WALKER: Okay. Thank you.

4 I mean, you know, it is fair to say that you  
5 reasonably expect to be compensated for asset  
6 performance and productivity in excess of your day-  
7 ahead commitments. So the challenge I am having is  
8 how I reconcile these extra performance earnings  
9 against your ask for an X factor in the custom price  
10 cap IR equation.

11 I am sorry, and to be more pointed, is there not  
12 the potential for double-counting the performance  
13 while this real-time market incentive is in play?

14 M. KIRK: In terms of the X factor, Mr. Walker -  
15 - and sorry, this is Matthew Kirk speaking again --  
16 the proposal is in Exhibit A1-3-2, Section 2 --  
17 2.3.2. Sorry. That is page 11, Lori.

18 And it is obviously a long section. I won't go  
19 into great detail, unless you'd like, Mr. Walker, of  
20 course. But there is two components of the X factor  
21 based on studies conducted by London Economics; one  
22 is a benchmarking study, and the other is a total  
23 factor productivity study. And the results of that  
24 study are what determines the X factor that we have  
25 proposed to include as part of our rate-setting  
26 mechanism.

27 S. WALKER: Right. And, as you are showing  
28 there on the screen, your productivity factor is

1 effectively zero. Is that because of this additional  
2 revenue you are earning in the real-time market?

3 M. KIRK: No, it is not driven by the revenue.  
4 Productivity specifically is based on the TFP study  
5 that is industry-based. So, generally speaking, when  
6 you see, like, the negative .4 or negative .1 percent  
7 there, it is suggesting that more inputs are required  
8 to get to the same level of output, and it is -- it  
9 is fully in the study documentation of LEI, but it  
10 looks at not just OPG but the hydroelectric industry  
11 as a whole.

12 S. WALKER: Okay. Thank you. I mean, straight  
13 up, I do see the potential here for double-counting.  
14 I am not sure how to reconcile that, so fair enough.

15 So my next couple of questions are relatively  
16 straightforward. And just for context, my client is  
17 very concerned not only by the total cost of the  
18 commodity rate, but also, they have a very profound  
19 interest in how it is being allocated. But does it  
20 matter to OPG how the IESO allocates your monthly  
21 remittances between the OEMP and the global  
22 adjustment, for example?

23 M. CHIDIAC: Can you clarify what you mean,  
24 "matter to OPG"?

25 S. WALKER: I mean you just get a remittance  
26 advice at the end of the month from the IESO. Does  
27 it really matter to you how much revenue is collected  
28 from the real -- real-time market versus the global

1 adjustment?

2 M. CHIDIAC: Well, also acting as a load -- as  
3 exposure in the market to the global adjustment. But  
4 from a revenue perspective, how we are paid, I don't  
5 think it really matters from what bucket it is coming  
6 from.

7 S. WALKER: Okay. I think I know the answer to  
8 this, but nothing about the IRM price cap mechanism  
9 that you are suggesting is really going to change how  
10 the global adjustment payments are made. So, i.e.  
11 the difference between your OEMP revenue as made up  
12 by the difference in the global adjustment, you know,  
13 factoring in your production, of course; is that a  
14 fair statement?

15 M. CHIDIAC: That is a fair statement, but I  
16 will note that hydro has a very small impact to the  
17 global adjustment.

18 S. WALKER: Understood. Understood. Okay.  
19 Well, that is terrific. Those are all of my  
20 questions. Thank you, Panel. Thank you, Mr. Millar.

21 M. MILLAR: Thank you, Mr. Walker.

22 We are going to turn to Staff, but before we do,  
23 Mr. Boyle, are you there? There was something you  
24 wished to address.

25 C. BOYLE: Good morning, Mr. Millar. WTFN filed  
26 a letter yesterday with written questions that I am  
27 hoping to get marked as an undertaking in this  
28 proceeding that is in anticipation of avoiding my

1 oral questioning so...

2 M. MILLAR: Yeah. And, Ms. Coban, did you  
3 receive that letter, and are you prepared to take an  
4 undertaking?

5 D. COBAN: Yes, we are. Thank you.

6 M. MILLAR: Okay. So, Mr. Boyle, so this is  
7 Undertaking JT-1.1, and it is questions filed by WTFN  
8 on May 26th?

9 C. BOYLE: Correct, yeah.

10 M. MILLAR: Okay. Is that sufficient, Ms.  
11 Coban?

12 D. COBAN: Yes.

13 M. MILLAR: Okay. Great. So that is JT-1.1.

14 **UNDERTAKING JT-1.1: QUESTIONS FILED BY WTFN ON**  
15 **MAY 26**

16 M. MILLAR: Mr. Vollmer, did you file something  
17 as well?

18 D. VOLLMER: Yes. Thank you. Minogi filed a  
19 similar letter with a list of questions on last  
20 Thursday, I believe. We would also like that entered  
21 as an undertaking.

22 M. MILLAR: Ms. Coban?

23 D. COBAN: Yes, that is fine.

24 M. MILLAR: Okay. Great. So that is same thing  
25 for Minogi, JT-1.2.

26 **UNDERTAKING JT-1.2: QUESTIONS FILED BY MINOGI ON**  
27 **MAY 21**

28 M. MILLAR: Is that all, Mr. Boyle and Vollmer?

1 C. BOYLE: That is it for me.

2 D. VOLLMER: Yes.

3 M. MILLAR: Okay. Thank you.

4 We are going to move to some questions from OEB  
5 Staff. We have a number of staffers who will be  
6 asking questions. Up first, we have Mr. Cincar, who  
7 I see on the screen.

8 **EXAMINATION BY C. CINCAR:**

9 C. CINCAR: Thank you. My name is Chris Cincar,  
10 and my first set of questions relate to the SBG  
11 variance account.

12 My first question specifically relates to E1-  
13 Staff-148. And in that IR response, OPG noted under  
14 "identical market conditions," it is not necessarily  
15 the case that a CMSC payment in the legacy market  
16 would map to an instance of local SBG spill in the  
17 renewed market. OEB Staff had intended the questions  
18 in E1-Staff-148 to be more precise in asking about  
19 only constrained-off CMSC payments rather than CMSC  
20 payments in general, which also includes constrained-  
21 on, and we also intended to exclude CMSCs paid to  
22 nuclear. Does limiting it to only constrained-off  
23 CMSC payments and also limiting those payments to  
24 base load hydroelectric change OPG's response in  
25 relation to mapping to local SBG-related spill?

26 M. CHIDIAC: No, it would not change our  
27 response. It would be consistent, as in the legacy  
28 market, there was both a constrained and

1 unconstrained schedule where we were able to decipher  
2 the difference between the two. And the renewed  
3 market, that mechanism no longer exists. So although  
4 there would be likely significant overlap, we can't  
5 do an exact one-to-one comparison between the two.

6 C. CINCAR: Okay. Under identical market  
7 conditions, can OPG please explain under what  
8 circumstances OPG would be compensated for local  
9 spill in the renewed market but -- and OPG  
10 hydroelectric generator would not have received the  
11 constrained-off payment in the legacy market, and, as  
12 you noted, they would not necessarily map?

13 M. CHIDIAC: So sorry. Just to clarify, are you  
14 asking for examples of in the renewed market versus  
15 the legacy market of constrained-off events?

16 C. CINCAR: Yeah. Well, in the renewed market,  
17 you would be compensated for local SBG, and so what  
18 cases would that happen but -- and if it was a legacy  
19 market, you would not have received constrained-off  
20 payment. So, yes, I was looking for examples.

21 M. CHIDIAC: Well, the intent -- I am not  
22 exactly clear on your line of questioning here, but  
23 the intent of the revisions of the SBGVA for EB2023  
24 was to capture both global and local spill events.  
25 So what was previously recovered as CMSCs in the  
26 legacy market will now be recovered through the  
27 SBGVA. Only a subset of those constrained-off events  
28 would be recovered through the SBGVA.

1 C. CINCAR: Yeah, well, local -- yeah, it was  
2 excluded before, and now it is included. Okay.

3 I have an undertaking request. As noted, the  
4 questions were intended to be more precise. Could  
5 OPG please undertake to revise Chart 1 CMSC payments  
6 received and amounts recorded in SBGVA in E1-Staff-  
7 148 by replacing CMSC payments with only constrained-  
8 off CMSC payments, and limit it to OPG's  
9 hydroelectric base load facilities.

10 M. CHIDIAC: Yes, we can take that undertaking.  
11 So just to confirm, you want to update the row in  
12 Chart 1, the CMSC row just to show constrained-off  
13 events for regulated hydro?

14 C. CINCAR: Yes, please.

15 M. CHIDIAC: We can do that.

16 C. CINCAR: Thank you.

17 M. MILLAR: That is JT-1.3.

18 **UNDERTAKING JT-1.3: REVISE Chart 1 CMSC PAYMENTS**  
19 **RECEIVED AND AMOUNTS RECORDED IN SBGVA IN E1-**  
20 **STAFF-148 BY REPLACING CMSC PAYMENTS WITH ONLY**  
21 **CONSTRAINED-OFF CMSC PAYMENTS, LIMITED TO OPG'S**  
22 **HYDROELECTRIC BASE LOAD FACILITIES**

23 C. CINCAR: Okay. My next SBG variance account-  
24 related questions will focus on E1-Staff-149;  
25 however, I will also be making reference to E1-ED-  
26 011, but only for comparison purposes.

27 In E1-Staff-149, OPG notes the change in  
28 methodology to reflect renewed market does not result

1 in overcompensation in relation to SBGVA variance  
2 account entries. During the legacy market years, it  
3 was determined that the appropriate compensation was  
4 determined using a methodology that involved SBG due  
5 to market constraints being one of the four  
6 categories that OPG intentionally excluded from the  
7 SBG variance account, as explained in the  
8 application.

9       However, OPG notes that SBG, due to market  
10 constraints, is now included as part of the revised  
11 methodology used to determine the variance account  
12 entries. If OPG was being appropriately compensated  
13 for SBG with market constraints excluded in the  
14 legacy market years, can you please clarify how  
15 additional SBGVA entries associated with including  
16 market constraints under the -- under the revised  
17 methodology does not result in incremental  
18 compensation for SBG.

19       M. CHIDIAC: So I touched on this a little bit  
20 earlier in the response, but with the change to the  
21 renewed market, OPG's proposal is to recover both  
22 global and local spill through the SBGVA. Local  
23 spill in the legacy market was recovered through  
24 CMSCs or congestion settlement management credits.  
25 So there was a recovery mechanism for those amounts  
26 through the IESO market previously, but that no  
27 longer exists in the renewed market.

28       C. CINCAR: Okay. Thank you.

1 OPG also noted in E1-Staff-149 that if the  
2 legacy market ran in parallel with the renewed  
3 market, OPG expects a meaningful overlap of instances  
4 where it experiences local spill in the presence of  
5 market constraints; however, given the multitude of  
6 sources of differences unconstrained and in-  
7 constrained run, OPG does not believe the two volume  
8 amounts will be equal. Would OPG be able to quantify  
9 meaningful overlap? For example, would that be over  
10 95 percent or some other percentage, as OEB Staff is  
11 uncertain how material loads versus differences  
12 between unconstrained and constrained are.

13 M. CHIDIAC: Unfortunately, we are not able to  
14 quantify that amount without having access to the  
15 IESO's dispatch algorithm.

16 C. CINCAR: Okay. OEB Staff also requested  
17 historic analysis related to taking down the volume  
18 of spill due to four categories that were excluded  
19 from SBGVA entries; water conveyance constraints,  
20 production capability, market constraints,  
21 contractual obligations. In E1-Staff-149 OPG  
22 provided a table with historical spill amounts by  
23 category for the years 2019 to 2023.

24 In OPG's response to E1-ED-011, OPG provided  
25 total foregone production due to SBG, along with  
26 SBGVA entries, for 2016 to 2025. So one set, it was  
27 the 2023, and the other was the 2025. Given OPG did  
28 not provide spill for the four categories for 2024

1 and 2025, can you please confirm they were excluded  
2 from the SBGVA entries in those years.

3 M. CHIDIAC: Yes. I can confirm, as per the  
4 methodologies, they would have excluded for 2024 and  
5 2025. But I will caveat that in 2025 on May 1st, the  
6 market renewal program went live, and post-May 1st,  
7 there is no longer -- market constraints are no  
8 longer removed from the spill amounts because they  
9 are no longer quantifiable in the market.

10 C. CINCAR: Okay. I have another undertaking  
11 request. Is OPG able to expand the table in E1-  
12 Staff-149 with the four excluded categories to align  
13 with the years in the chart in E1-ED-011, which was  
14 for the years 2016 to 2025, and also add a new row  
15 with total foregone production that includes the  
16 spill amounts for those four excluded categories?

17 M. CHIDIAC: So just to confirm, you are looking  
18 to extend the table to 2024 and 2025 for those four  
19 categories?

20 C. CINCAR: Yeah, to match the same years from  
21 2016 to 2025 that were reflected in E1-ED-011.

22 M. CHIDIAC: We can take that on a best-efforts  
23 basis.

24 M. MILLAR: We will call that JT-1.4. I  
25 actually can't see the evidence reference here, so,  
26 Mr. Cincar, or -- would the witness just please  
27 repeat what the undertaking is for.

28 M. CHIDIAC: Okay. It is to update the Chart 1

1 in E1-Staff-149 to include 2024 and 2025.

2 C. CINCAR: And go back to 2016.

3 M. CHIDIAC: Oh, sorry. And going back to 2016.

4 M. MILLAR: Okay. That is JT-1.4. Thank you.

5 **UNDERTAKING JT-1.4: UPDATE Chart 1 IN E1-STAFF-**  
6 **149 TO INCLUDE 2024 AND 2025, GOING BACK TO 2016**

7 C. CINCAR: And one more question. Now that  
8 market prices now include congestion in the renewed  
9 market, when congestion is negative, would that be an  
10 indicator of local SBG spill?

11 M. CHIDIAC: Yes, it could be a potential  
12 indicator of local SBG spill.

13 C. CINCAR: Thank you.

14 Okay. My next set of questions -- I am moving  
15 on from SBG, and my next set of questions relate to  
16 the HIM and the removal of the revenue sharing above  
17 the threshold. And I will be referencing E1-Staff-  
18 146.

19 In that OPG response, E1-Staff-146, OPG  
20 confirmed changing the designation of the PGS to  
21 energy storage facility would essentially result in  
22 an implementation of option for OPG's SBG study since  
23 both would result in the exemption from transmission  
24 network service charges.

25 OPG also indicated that option 1 provided the  
26 strongest incentive in terms of [indiscernible]  
27 production.

28 OEB Staff asked in E1-Staff-146 if PGS was

1 treated as an energy storage facility, would option 3  
2 in OPG's study eliminating HIM revenue sharing above  
3 the threshold still provide an incremental incentive  
4 to OPG time shift production.

5 Before I get into my specific questions, can OPG  
6 please first confirm that the PGS is no longer paying  
7 transmission rates due to the EB 2022-0325 decision  
8 which exempted energy storage facilities from paying  
9 transmission charges.

10 M. CHIDIAC: That is correct.

11 C. CINCAR: And does OPG agree that if two  
12 options were implemented that are intended to achieve  
13 the same outcome, benefit associated with the second  
14 option that is implemented would be lower than it  
15 would as a stand-alone option? For example, if OPG  
16 got the GRC exemption under option 2 in the SBGVA  
17 study and subsequently got the variable load charges  
18 exemption under option 1 in that study, would OPG  
19 agree that the benefits associated with option 1  
20 would be lower than those currently reflected in the  
21 study that was filed?

22 M. CHIDIAC: Sorry. I was -- had a hard time  
23 following that line of questioning. Could you please  
24 repeat the question.

25 C. CINCAR: Okay. Say OPG got the GRC exemption  
26 under option 2 in the study and subsequently got the  
27 variable load charge exemption under option 1 in the  
28 same study. Would OPG agree that the benefits

1 associated with option 1 that was subsequently  
2 implicated would be lower than the benefits reflected  
3 in the SBG study that was filed?

4 M. CHIDIAC: Sorry. Are you asking if we got  
5 the GRC exemption, which is option 2, and then  
6 applied option 1, which is the load charge exemption,  
7 if that benefit would be lower?

8 C. CINCAR: Yes. If that benefit would be lower  
9 than it would be as a stand-alone option in the study  
10 that was filed.

11 M. CHIDIAC: No, the -- if you can combine the  
12 two, the benefit would be greater. And that was --  
13 that was --

14 C. CINCAR: It would be additive? Just add up  
15 the --

16 M. CHIDIAC: It is not directly additive, but  
17 the benefit increases.

18 C. CINCAR: But it would be lower, right, than -  
19 - this second option that is implemented would not  
20 realize the same level of benefits that you affected  
21 in the study, is my question. Since you have  
22 achieved some of those benefits with the other  
23 option.

24 M. CHIDIAC: I wouldn't want to -- so I don't  
25 want to speculate on results without running through  
26 the modelling and understanding your question in more  
27 detail.

28 C. CINCAR: Okay. Staff asked if eliminating

1 HIM revenue sharing above the threshold still  
2 provided an incremental incentive, how material would  
3 it be if the PGS is exempt from transmission charges,  
4 which we now know they are.

5 OPG's response noted it would provide an  
6 additional incentive and added OPG cannot conclude  
7 how material that additional incentive would be.

8 The question is, is OPG able to advise  
9 approximately how much of the time shifting of  
10 production and elimination of HIM revenue sharing  
11 would have incentives as a stand-alone option; would  
12 already be realized due to the PGS avoiding network  
13 service charges due to the storage designation as OPG  
14 is -- as OEB Staff assumes that there is a limit in  
15 terms of how much OPG can time shift?

16 M. CHIDIAC: So is your question is there an  
17 upper limit on how much the PGS can time shift?

18 C. CINCAR: I guess is -- like, how much of the  
19 time shifting of production that HIM revenue sharing  
20 above the threshold would have -- like, in the study  
21 it didn't reflect OPG's storage being exempt from  
22 paying transmission rates. And that was essentially  
23 option 1.

24 So if elimination of the revenue sharing was --  
25 I guess to what extent would the shifting of  
26 production be reduced that would be associated with  
27 HIM revenue sharing above the threshold as a result  
28 of PGS being exempt now from the network service

1 charge?

2 M. CHIDIAC: So as we have commented in the IR  
3 response, we are not able to quantify and measure the  
4 benefit.

5 The HIM sharing results in -- essentially, it  
6 dilutes the incentive because it creates a larger  
7 economic barrier from utilization of the PGS, and  
8 that could be exemplified in the SBGVA study. So if  
9 we could pull up Exhibit E1-2-1, Attachment 1, page  
10 21 of 36, HIM. Thank you, Lori.

11 So Chart 9, you can see in both scenarios the  
12 required price spread to utilize the PGS.

13 So in scenario 1, which assumes 50 percent  
14 sharing above the threshold, that would require a  
15 price spread between the on peak and off peak of  
16 \$14.90. And in a no HIM sharing scenario, that  
17 spread is only \$8.20, so almost 80 percent lower in a  
18 no sharing scenario, which would result in  
19 incremental utilization of the PGS if we had not  
20 shared the HIM revenues above the threshold.

21 C. CINCAR: Okay. Thank you.

22 Given OPG's finding in the SBGVA study that  
23 elimination of variable load charges under option 1  
24 would increase the price spread required to  
25 economically cycle the PGS and allow the PGS to  
26 operate in up mode at all hours of the day, how does  
27 OPG expect its HIM revenue forecast and SBG variance  
28 account balance to change from what was filed in the

1 pre-filed evidence given that PGS is no longer paying  
2 transmission charges, they represent the variable --  
3 represent the bulk of the variable load charges under  
4 option 1?

5 M. CHIDIAC: So we have not updated our analysis  
6 to demonstrate the impact of the energy storage  
7 designation of the PGS. But I would expect the  
8 results would be similar -- similar to the option 1  
9 that was provided in the SBGVA study, which is  
10 included in the Chart 2 on page 11 of 36 in the same  
11 attachment.

12 C. CINCAR: So it would be essentially the same  
13 as option 1?

14 M. CHIDIAC: Not as -- I think a little bit  
15 lower because we have not excluded all load charges  
16 with the designation of the PGS. It only eliminates  
17 the network service charge, which is about two-thirds  
18 of the load charges. There is still IESO  
19 administrative charges that we will incur. But I  
20 think directionally, the results would be similar and  
21 -- but a bit lower than what is described here in  
22 Chart 2.

23 C. CINCAR: Can you please undertake to redo  
24 that analysis, reflecting the, I guess, reality now  
25 with the PGS no longer paying transmission charges.

26 D. COBAN: Mr. Cincar, that sounds like an  
27 onerous analysis to undertake within the context of  
28 this process. So at this time, we are not prepared

1 to do that.

2 C. CINCAR: Okay. Okay. We'll basically  
3 reflect option 1, then -- or consider it to be  
4 essentially the same as option 1.

5 Okay. My final question is related to HIM  
6 revenues, and I will be referring to G1-Staff-242 and  
7 G1-CCC-096.

8 In G1-CCC-096 OPG included a table setting out  
9 actual HIM revenues. For 2025, you are able to  
10 conclude -- include actual revenues to replace the  
11 forecast in the application, and actual revenues  
12 increased by over \$20 million to 49.7 million in 2025  
13 compared to 2024. That followed HIM revenues  
14 increasing by close to 15 million the previous year.  
15 It's therefore now two consecutive years of  
16 significant increases, with the larger increase in  
17 2025.

18 Can OPG please explain the key factors  
19 contributing to those significant increases in HIM  
20 revenues over the last two years after many years of  
21 being flat and the substantial difference from OPG's  
22 forecast for 2025, which was \$39.2 million lower at  
23 10.5 million?

24 M. CHIDIAC: We endeavoured to respond to that  
25 question in Staff 242, part A, in terms of how  
26 volatility drives up HIM revenues. And I would say  
27 2024 and especially 2025 were analogous years in  
28 terms of whether -- so we saw in 2025 a very hot

1 summer followed by a cold winter, and that drove up  
2 quite a bit of volatility in the market. So that is  
3 generally what resulted in the higher HIM revenues in  
4 those years.

5 But, again, if you look in the chart in CCC-96,  
6 Chart 1, for the most part from 2016 to 2023, our  
7 revenues were below 20 million. So 2024 and 2025  
8 were really standout years largely driven by abnormal  
9 weather. And from a forecast perspective, our  
10 forecast for the HIM is based on weather normal  
11 conditions, which is why you might see a more  
12 tempered forecast.

13 As well, we assume that the 3,000 megawatts of  
14 battery storage assets coming online in the IESO  
15 market by 2028 will significantly reduce price  
16 volatility in the Ontario market, which will limit  
17 our ability to earn incremental HIM revenue.

18 C. CINCAR: Isn't much of that storage already  
19 in operation like Oneida? I think you included  
20 Oneida in that.

21 M. CHIDIAC: Correct. Oneida is a 300-megawatt  
22 facility, and there are 3,000 megawatts coming  
23 online. So by the end of '25, there was maybe 300  
24 megawatts of battery storage online; and by the end  
25 of '28, we will have 3,000. So only about 10 percent  
26 were online by the end of 2025.

27 C. CINCAR: How does this new information  
28 related to actual HIM revenues for 2025 impact OPG's

1 HIM revenue forecast of 17.8 million for 2027 given  
2 OPG indicated in G1-Staff-242 that the HIM revenue  
3 forecast is based on the annual average over five  
4 years before the IR term?

5 M. CHIDIAC: Sorry, that is not correct. The  
6 forecast is not based on the annual average. I think  
7 the comment in the IR response was the forecast of  
8 17.4 million was very close to the five-year average,  
9 but the forecast is derived based on our modelling  
10 methodology which is both described in E-1-21 and H1-  
11 1-1.

12 So to confirm, it is a model that -- for the HIM  
13 forecast in 2027.

14 C. CINCAR: You have had two years of major  
15 increases now, and this might be the new normal, what  
16 you are referring to as abnormal weather now that we  
17 are seeing. So I am not sure how -- are you  
18 basically -- how are you taking what happened in 2025  
19 into account?

20 M. CHIDIAC: Well, I am not going to speculate  
21 on what weather is going to look like for the five  
22 years, but as I mentioned before, we take a weather  
23 normal approach which takes into account some  
24 volatility in weather but not the extremes. So I  
25 would say the aberrations in 2024 would have been  
26 included in our weather forecast, which will drive  
27 the HIM; however, the 2025 amounts were -- weather  
28 data was not available at the time of submitting the

1 forecast, so those would not be included.

2 But, again, as -- our modelling uses weather  
3 normal, and that is the most appropriate mechanism to  
4 forecast the revenues moving forward.

5 C. CINCAR: Okay. Thank you. That was my final  
6 question. Thank you for the clarifications and  
7 agreeing to my undertaking requests.

8 M. MILLAR: Thank you, Mr. Cincar.

9 We will move, Mr. Eminowicz, to you now.

10 Thanks.

11 **EXAMINATION BY T. EMINOWICZ:**

12 T. EMINOWICZ: Good morning, witness panel. I  
13 am Thomas Eminowicz, and I am a senior advisor with  
14 Ontario Energy Board Staff. The questions that I  
15 will be asking right now relate to the hydroelectric  
16 capital plan, so these are high level, kind of  
17 general questions. I am generally interested in  
18 understanding some of the project classifications or  
19 the vocabulary that OPG used in the evidence when  
20 describing and substantiating the basis for the work  
21 that OPG performs and plans to perform on  
22 hydroelectric assets.

23 If we could please start with interrogatory  
24 response to D1-PWU-001. Thank you.

25 So this is an interrogatory that requests some  
26 clarity on definitions on some of the project types.  
27 And we can see in Chart 1, there are generally, seems  
28 like, four categories; refurbishments,

1 redevelopments, rehabilitation, and expansion. And  
2 the response here points to other sections, sections  
3 in Exhibit F1. So I would just like to confirm kind  
4 of the understanding of what these kind of types of  
5 projects mean.

6 So refurbishments in Exhibit F1-1-1, Section  
7 3.2. I will just continue slowly here as we get it  
8 on the screen. So it looks, at least the way it is  
9 presented here in Section 3.2.1, that refurbishments  
10 and overhauls are kind of generally grouped together.

11 So I guess my first kind of basic question is,  
12 is it fair to understand that these kind of happen  
13 together, or could they happen independently of each  
14 other?

15 N. PENDER: They can happen together. So one is  
16 an OM&A type of project, and one is a capital type of  
17 project. So depending on the investment, they can be  
18 separate.

19 But for the capital work, typically there is  
20 always a component of OM&A included in there. We can  
21 give you further detail if necessary.

22 T. EMINOWICZ: Thank you. You are kind of  
23 already getting ahead.

24 So I guess is there any sort of, like,  
25 generalization, or is it just -- like, the decision  
26 to do one or the other or the timing, it is just --  
27 it is so varied that you wouldn't really generalize  
28 between overhauls and refurbishments on units?

1 D. COBAN: Maybe you could just -- for my  
2 purpose as well, just help us understand what you  
3 mean by "generalize."

4 T. EMINOWICZ: Well, I see that the section kind  
5 of groups them together, and so I am just wondering,  
6 when there is a project that OPG undertakes, is it  
7 fair to say that overhauls and refurbishments happen  
8 together? Or could there be overhauls that are done  
9 independent of refurbishments? And I am just  
10 wondering -- like, I am not trying to ask for  
11 exhaustive details. I am just wondering, generally,  
12 does one happen without the other? And if they do,  
13 like, how does OPG decide to do an overhaul versus a  
14 refurbishment on a unit?

15 N. PENDER: So our decision on a project is  
16 fundamentally driven by asset condition, and given  
17 the asset condition, that will set a scope of work.  
18 That set scope of work has defined criteria for  
19 treatment for the type of money, whether it is OM&A  
20 or capital. So there is some fairly clear rules  
21 around delineation of, when we are doing major work  
22 on a unit, what is considered OM&A work and what is  
23 considered capital work.

24 T. EMINOWICZ: And is there, like, a general  
25 kind of summary of how that decision is made already  
26 on the record? I assume it is; I just can't recall,  
27 to my memory so...

28 N. PENDER: It is on record. We have a

1 capitalization policy which details the specific  
2 breakdown, if you -- we can find the reference to  
3 that, if that is helpful.

4 T. EMINOWICZ: I think control F1  
5 "capitalization policy" should be good.

6 So just because I am trying to wrap my head  
7 around the different terms, I just want to confirm I  
8 have a common understanding of this type of work that  
9 I can kind of have in the same place as the other  
10 types of work.

11 So is it fair to say that the overhaul work, the  
12 OM&A work, is about sustaining the assets and that  
13 refurbishment work is about extending the life of the  
14 equipment and may also increase the ability or, like,  
15 the potential for production? And so I am kind of  
16 looking at, I think, lines 10 through 15 on the next  
17 page, I think it is.

18 N. PENDER: That is where I would direct you to  
19 the definition. That was where I would look for  
20 treatment of what OM&A gives you and treatment of  
21 what capital gives you, lines 10 through line 15.

22 T. EMINOWICZ: Perfect. Thank you so much.

23 And so now in Section 3.2.2, we have  
24 redevelopment, and so this is another section that  
25 has a helpful, straightforward definition right at  
26 the start of the section that identifies that this is  
27 primarily about -- or entirely about extending the  
28 life of existing assets; is that fair?

1 N. PENDER: I would use the word "primary goal,"  
2 but you are correct, lines 2 and 3 define what we  
3 mean by "redevelopments."

4 T. EMINOWICZ: And so is it fair that the core  
5 kind of distinction from a refurbishment is that we  
6 are talking about, like, a collection of assets?  
7 Like, I see the word "population of assets," so would  
8 this be kind of, like, on a station level as opposed  
9 to on a unit level; is that fair?

10 N. PENDER: Could you give me the reference?  
11 Sorry. I don't see the word "population."

12 T. EMINOWICZ: It is -- so Section 3.2.2 on line  
13 3 says:

14 "Necessary to address a population of  
15 deteriorated or otherwise end-of-life assets."  
16 (as read)

17 N. PENDER: Thank you. Yes. So we can -- I  
18 think when we are referring to the word "definition,"  
19 we are talking specifically about specific  
20 deteriorated or end-of-life assets as detailed. So,  
21 yes, there are a number of stations in that category,  
22 which that is the population.

23 T. EMINOWICZ: And just conceptually, could  
24 there be, like, a refurbishment -- could a  
25 redevelopment include refurbishment work, but it is  
26 just there is more of it, like more assets?

27 N. PENDER: I will hand to my colleague Mr.  
28 Sikstrom to give you a further definition.

1 M. SIKSTROM: Yeah, as is mentioned in Section  
2 3.2.2 there, it could include the replacement of a  
3 significant portion of generating station equipment.  
4 It could also include the replacement of existing  
5 civil infrastructure as well.

6 T. EMINOWICZ: Thank you. And that kind of note  
7 on civil infrastructure, is that -- like, are  
8 redevelopment projects generally also including civil  
9 infrastructure, or is it just kind of -- like, this  
10 example mentions it, but civil work is not  
11 necessarily common or general to redevelopment  
12 projects?

13 M. SIKSTROM: They may include civil work. It  
14 depends on the condition of the assets at the  
15 particular facility.

16 T. EMINOWICZ: Thank you.

17 So the next kind of category that was mentioned  
18 in the interrogatory was rehabilitations, and so this  
19 is -- was referenced to section 3.2.4 or 3.2.5.  
20 Luckily, they are kind of together. And so for this  
21 kind of group or the use of the word  
22 "rehabilitation," it is more of a description of  
23 projects, so this is kind of what I was trying to  
24 kind of help myself understand.

25 Is -- in terms of, like, a generalization, I see  
26 on line 17, for example, there is mention of, like,  
27 canal wall deterioration. And then on lines 25 and  
28 26, for Abitibi Canyon, we have, like, concrete

1 structures, and line 30 again, concrete  
2 deterioration. Is it -- is it fair to generalize  
3 that a rehabilitation project is more about  
4 addressing deterioration on -- yeah, I will stop  
5 there. Is it about, like, deterioration, addressing  
6 that?

7 N. FABPRO: As we identify in the section that  
8 you have referenced correctly, so F1-1-1, page 9 of  
9 36, section 3.2.3.1, we identify, under the section  
10 referred to as "concrete and dam restoration and  
11 rehabilitation projects," that this is to address  
12 concrete deterioration through rehabilitation and  
13 restoration projects.

14 T. EMINOWICZ: Thank you very much. And on --  
15 oh, thank you. I see it.

16 And so on page 15 of that exhibit, which I think  
17 is a continuation of the description of the Abitibi  
18 Canyon project, on page 15 at line 3, it makes  
19 reference to upstream concrete rehabilitation. I  
20 just wanted to confirm my understanding that what  
21 this -- what we take to mean from this is that this  
22 rehabilitation project is not limited to the  
23 generating station structure itself, like, there is  
24 other structures further up the river?

25 M. SIKSTROM: In the context you are pointing to  
26 in line 3 on page 15, upstream concrete  
27 rehabilitation refers to the upstream side of the  
28 dam, so there is a downstream side of the dam and an

1 upstream side of the Abitibi Canyon dam.

2 T. EMINOWICZ: Thank you. That is very helpful  
3 for understanding.

4 And so, I mean, it is already on the screen, but  
5 the last one I wanted to ask about was just to  
6 confirm so you have kind of everything kind of  
7 grouped together nicely.

8 For expansion projects, I see here on line 8  
9 towards the end of the line that it seems that an  
10 expansion project can be generalized to increase the  
11 generation at an existing facility, so is it fair  
12 that this is, like, adding something new, like new  
13 assets to an existing generating station?

14 M. SIKSTROM: In terms of the reference in  
15 3.2.6, the expansion opportunity we have is Chats  
16 Falls, and that does include the potential to add a  
17 new unit to that existing generating station.

18 T. EMINOWICZ: And so if I just wanted to  
19 understand generally, like, an expansion project, is  
20 that it? Like, is that the -- like, is that  
21 representative of what an expansion project is, or  
22 could there be an expansion project that is not  
23 characterized by the description of the Chats Falls  
24 expansion?

25 M. SIKSTROM: Expansion projects look to add new  
26 generating capacity to existing facilities.

27 T. EMINOWICZ: Perfect. Thank you so much.

28 I don't know if it is necessary, but back at the

1 interrogatory response to PWU-001, in the narrative  
2 that accompanies the table, just before it, it says  
3 that these categories are kind of descriptions for  
4 the purposes of organizing the projects for  
5 presentation. And I just wanted to understand,  
6 within kind of the general business planning of your  
7 capital plan, are there, like -- like, do these  
8 definitions, these categories, like, do they matter  
9 in the business planning process to the people who  
10 are making decisions? I am just trying to understand  
11 that element of it.

12 N. PENDER: I will answer in two parts. I  
13 think, to your point, does it matter, we are trying  
14 to be clear, so our objective is to deal with asset  
15 condition. So we are trying to define as closely as  
16 we can what we mean by what that project is. So this  
17 description is just a helpful category to explain it.  
18 In the business planning process, we use that to  
19 communicate what is in our plan.

20 But, again, a refurbishment, a redevelopment, a  
21 rehabilitation, an expansion, different themes going  
22 on there. So, again, primarily, if it is linked to  
23 asset condition, that is one set of things. If it is  
24 an expansion, that is not really linked to an asset  
25 condition. That is linked to new potential. So we  
26 try and use this as a descriptor in our business  
27 plans.

28 T. EMINOWICZ: Thank you.

1           And so to try and kind of summarize, there is a  
2 common understanding between, like, you know, the  
3 people doing the work, the engineers assessing the  
4 work, the people planning, the people approving the  
5 work; there is a common understanding of what these  
6 kind of categories generally mean to them in kind of  
7 their own context?

8           N. PENDER: I can't answer what people  
9 understand, but I can say what we define them as. We  
10 are quite clear. We do our best to define the  
11 categories. As to a common understanding, I don't  
12 know what individuals think personally.

13          T. EMINOWICZ: Perfect. Thank you so much.  
14 That is definitely sufficient for what I am trying to  
15 ask.

16          Okay. So the next kind of place I would like to  
17 go to is the interrogatory response to D1-Staff-61,  
18 please. So in this interrogatory, OEB Staff asked  
19 about kind of the criteria for determining  
20 eligibility for a project for the capacity  
21 refurbishment variance account and then identified  
22 five projects as examples. And so I would like to  
23 start off just very generally.

24          Is there a particular, like, part of the  
25 organization or a particular kind of group that is  
26 responsible for determining or, like, labelling if a  
27 project is eligible for this variance account?

28          M. HANNON: So it is Melissa Hannon. We do it

1 as a team effort. So we work with the line to  
2 determine the scope of the project. The finance team  
3 sits down, reviews the -- either the scope,  
4 discussions, the business case, and then we work with  
5 our regulatory finance team to determine if it is  
6 eligible.

7 T. EMINOWICZ: And just generally, like, kind of  
8 when does that happen in the life of a project?  
9 Like, does it -- does the project get assessed for  
10 CRVA eligibility, like, when the business cases are  
11 being developed for the first time, when the business  
12 plan is being developed, after the project is done?  
13 Like, I am just trying to understand when that kind  
14 of characteristic is determined.

15 M. HANNON: So we do flag it during the business  
16 planning process, but as the project progresses  
17 through the phases and the scope is more defined,  
18 that decision can change.

19 T. EMINOWICZ: Thank you.

20 So I would like to ask -- and I guess we can  
21 scroll down to the response for part B, sub 3, where  
22 there is this Chenux Limerick Island project. Just  
23 for the purposes of the transcript, there is a  
24 reference to Exhibit D-1, Tab 1, Schedule 2. I don't  
25 think we need to go there unless the Panel would like  
26 to. But I am just kind -- if we could please start  
27 with what is the kind of general function of, I  
28 guess, Limerick Island or the stuff that is

1 associated with it?

2 N. PENDER: So we define it in line 25. It is a  
3 sluice gate, and a sluice gate allows water to be  
4 passed through a structure.

5 T. EMINOWICZ: Okay. So there is -- there is,  
6 like, a water control dam associated with this  
7 island?

8 N. PENDER: Correct.

9 T. EMINOWICZ: And -- okay. And then the  
10 equipment that is being worked on here are sluice  
11 gates, and so this is for water control; is that  
12 correct?

13 N. PENDER: Yeah, so it is -- the sluice gates  
14 are necessary to regulate the water to the downstream  
15 of the Chenuaux generating station, line 27.

16 T. EMINOWICZ: And so there is no generating  
17 units on the Limerick Island control dam; is that  
18 correct?

19 N. PENDER: Subject to check, I don't think so.

20 T. EMINOWICZ: Thank you.

21 The other question I wanted to ask was about the  
22 next one that is listed here, the Silver Falls surge  
23 tank replacement. Can you please explain how or if  
24 the surge tank itself is related to generating units.

25 N. FABBRO: This is Nicole Fabbro speaking. To  
26 answer your question, I will reference, on the same  
27 page, line items 30 through to 32. So a surge tank  
28 is a protective device that manages water pressure

1 fluctuations and ensures steady water flow to the  
2 turbines. It also serves as infrastructure  
3 protection from excessive pressure surges like a  
4 damaged penstocks and associated structures.

5 T. EMINOWICZ: So is it -- does water flow  
6 through it to go to the generating units at Silver  
7 Falls, or is it something associated with the thing  
8 that flows water to the generating unit?

9 N. PENDER: So the purpose of the Silver Falls  
10 surge tank, it is to manage water pressure, so en  
11 route to the station, so ensures a steady flow of  
12 water. So you can think about it as part of the fuel  
13 route to the station.

14 T. EMINOWICZ: So if its -- if its function is  
15 to manage pressure, is it OPG's view that -- or  
16 description that it also manages the flow? Like, are  
17 those distinct things?

18 N. PENDER: I am not sure your definition of  
19 "water flow." I -- the way I would characterize it  
20 is it is part of the apparatus to safely supply water  
21 from upstream to the station through a penstock.  
22 Part of that process is to control for water pressure  
23 in that penstock, and that is the function that this  
24 surge tank provides. So I would say it is part of  
25 the system to -- part of the water conveyance system  
26 to supply fuel to the station.

27 T. EMINOWICZ: Thank you so much.

28 So the next interrogatory response I would like

1 to go to, please, is D1-Staff-66. And I think we can  
2 go to Chart 1, which identifies some assets and some  
3 associated projects. So I would like to ask about  
4 the bottom two rows here where we have road upgrades  
5 and road maintenance for the Otter Rapids G2  
6 refurbishment and the G2 overhaul.

7 And I guess the first thing I would like to  
8 understand is the road upgrades that are listed as  
9 capital. When -- I guess when this capital work is  
10 complete and there is an in-service addition  
11 associated with the road upgrades, is OPG able to  
12 just generalize, like, what asset gets that in-  
13 service addition? Like, is the road an asset, or is  
14 there some other asset that has its -- that, like,  
15 takes in this in-service addition?

16 N. PENDER: It is a road. So it is just a --

17 T. EMINOWICZ: I guess I mean in terms of  
18 accounting. Like, if you have an in-service addition  
19 to an asset or an asset account, would this go to,  
20 like, a road asset, the generating station asset, the  
21 generating unit asset?

22 M. HANNON: I can answer that. So the road was  
23 actually capitalized under project 82543, but when we  
24 put it into service, it did go into its own asset  
25 class as a road.

26 T. EMINOWICZ: Thank you.

27 And there is -- there is more than one  
28 generating unit overhaul and refurbishment, I guess,

1 groups of work happening at Otter Rapids, right,  
2 like, if -- at exhibit -- the actual Exhibit D1-1-2,  
3 Table 1, which lists the projects with business case  
4 summaries, there is a project for Otter G2, and then  
5 there is, further down at line 20 of the table, a  
6 project for Otter G1. So there is multiple, like,  
7 Otter G1 -- Otter generating unit works happening  
8 over time; right?

9 N. PENDER: Correct.

10 T. EMINOWICZ: And I think if we zoom in on  
11 lines 10 and 20, I think at line -- yeah, line 10,  
12 there is also a camp project. So this is just --  
13 very generally, like, the Otter G2 work, is that  
14 complete?

15 N. PENDER: The project is still open.

16 T. EMINOWICZ: Okay. And then I think on line  
17 10, there is a -- like, a camp project. Again,  
18 generally, only if you know it off the top of your  
19 head, is that project complete or is it still  
20 ongoing?

21 N. PENDER: I would have to confirm whether the  
22 PIR has been complete.

23 T. EMINOWICZ: That is good enough for this.  
24 Thank you. No need to confirm.

25 So I would like to ask about, I guess, the  
26 details of this -- these overhauls. So the business  
27 case summaries are filed under Exhibit D1-1-2, and  
28 then Attachment 1, Tab 9, if my notes are correct,

1 would be the business case summary for the work on  
2 Otter G2?

3 N. PENDER: This is correct.

4 T. EMINOWICZ: And I just wanted to, I guess --  
5 first, see on the screen in the recommendation there  
6 is a couple bullet points with dashes. The middle  
7 one, kind of in the middle of the page, identifies  
8 costs for road maintenance and construction camp  
9 operations and maintenance.

10 And I am just curious if you could -- at the  
11 highest level, like, what kind of work is or was this  
12 on the Otter G2 project?

13 N. PENDER: So if we -- you are right, bullet  
14 number 4:

15 "Additional costs for discovery work during  
16 execution, additional costs for road  
17 maintenance, construction camp operations and  
18 maintenance due to schedule extension." (as  
19 read)

20 So what we are really calling out here is the  
21 road has to be maintained. So this is -- if you can  
22 think of it like a gravel road, those roads have to  
23 be maintained after weather conditions. So there is  
24 a continuous activity to regrade to make them  
25 passable. So when we talk about road maintenance,  
26 that is the component we are talking to. I think  
27 grading, in your mind, that is a good proxy.

28 For construction camp operations and

1 maintenance, that is the staffing of the camp. So  
2 when we say "camp," I don't know what you imagine,  
3 but it is modular buildings connected together with  
4 heat and light and a kitchen. So it has to have  
5 security, staffing, et cetera. So that is the -- the  
6 cost associated with that is what we talk about  
7 operation and maintenance camp costs, as opposed to  
8 the capital costs, which are putting the camp on  
9 site, so the modular construction, the utilities, et  
10 cetera.

11 T. EMINOWICZ: Thank you. And, Mr. Millar, I am  
12 almost done.

13 If we go to the previous Tab, I believe that is  
14 the business case summary for the other Otter. I  
15 think it is G1. And if we just focus on the same  
16 kind of recommendation section, there is again a note  
17 about:

18 "Ongoing maintenance and operating costs for  
19 the camp and the road." (as read)

20 Do we see that?

21 N. PENDER: I see it around bullet 3.

22 T. EMINOWICZ: Yes. And so, again, just in  
23 general terms, is this the same kind of work as in  
24 the other business case summary?

25 N. PENDER: So my conceptual model just to help  
26 frame it is we will -- we have built a camp, and then  
27 that camp will operate, for the purposes of the  
28 refurbishment, at Otter Rapids, and we will go from

1 one unit to the next to the next.

2 So effectively, there is costs for the first  
3 unit. And then when that unit is completed, there  
4 will be costs for the second unit associated with  
5 running the camp and running the road. Because,  
6 again, people are using that road every day for the  
7 purposes of the refurbishment project.

8 T. EMINOWICZ: And are the camp and road used,  
9 like, more generally, or are these, like -- is this a  
10 new camp you built only for the refurbishment and  
11 then it gets dismantled? Similarly for the roads,  
12 required only for the refurbishment, and then it goes  
13 out of service after the refurbishments are complete?

14 N. PENDER: I would deal with it in two  
15 categories.

16 The camp is modular in nature, so the design of  
17 that is for the purposes of once this project has  
18 finished and other projects which it may be used in  
19 that vicinity, there is a choice, an ability to  
20 relocate it. So this is very common.

21 Just to set what Otter Rapids is, it is about  
22 230 kilometres north of Timmins. So it is not a  
23 downtown location. It is not accessible. So that is  
24 why we have the camp there.

25 As for the road, we are bringing in equipment to  
26 site for the refurbishment project. So that road  
27 will remain in situ after the closure of the  
28 activity. But to bring in the componentry we need

1 to, there is large, heavy equipment that needs to  
2 come in, which is why there is expenditure on the  
3 road.

4 T. EMINOWICZ: Thank you.

5 N. PENDER: And for safety reasons.

6 T. EMINOWICZ: Thank you. I guess generally,  
7 like, if I see, you know, projects individualized for  
8 generating units and I see common elements, I am just  
9 kind of curious how does OPG determine whether, you  
10 know, these common elements of a camp and a road  
11 should be put into individual, like, generator unit  
12 projects as opposed to just having a separate project  
13 for the camp and the roads?

14 N. PENDER: I can't really talk about generally.  
15 I can talk about specifically. So in this construct,  
16 there is a geography. There is a program and a  
17 schedule. So the -- let's call it the Otter Rapids  
18 setup camp road refurbishment, that is a bundle of  
19 work. We treated it in the most sensible way, we  
20 thought.

21 If we look at other projects, we can talk about  
22 those. I can't really generalize because the nature  
23 of our assets, they are very different in different  
24 locations. So I wouldn't like to give you a false  
25 opinion through a generalization.

26 T. EMINOWICZ: Thank you.

27 And I guess just taking us back to kind of the  
28 interrogatory where this started about CRVA

1 eligibility. When OPG undertakes the assessment, is  
2 it -- is it limited or constrained to the resolution  
3 of the project, or does OPG ever consider whether  
4 certain components of a project are CRVA eligible and  
5 certain other components may be not eligible for the  
6 capacity refurbishment variance account?

7 M. HANNON: We would look at the scope  
8 individually to determine the CRVA eligibility.

9 T. EMINOWICZ: So just to repeat it back, you  
10 evaluate a project, and you look at the scope of the  
11 project and look at the major line items and evaluate  
12 each item of the project for eligibility?

13 M. HANNON: If there is unusual things in the  
14 project, we would do that. With this one, we  
15 determined that the road and the camp were part of  
16 that refurbishment. We wouldn't have been doing them  
17 if we had not done that refurbishment project.

18 T. EMINOWICZ: Do you have any example from  
19 either this application -- just generally, an example  
20 of a project that was part of the capacity  
21 refurbishment variance account where a component of  
22 that project was excluded from the variance account  
23 treatment?

24 D. COBAN: I think we might just be getting  
25 beyond the scope of what this panel can deal with.  
26 Questions around the eligibility and how that all  
27 works would be best suited for the last panel.

28 T. EMINOWICZ: Okay. Panel 4 knows what is

1 coming. Those are all my questions.

2 D. COBAN: Thank you.

3 M. MILLAR: Thank you, Mr. Eminowicz. We are  
4 going to take our morning break, and then we will  
5 turn to Mr. Paliy. So it is about 5 after 11:00.  
6 Let us come back at 11:20. And then we will probably  
7 sit for about an hour or so before lunch. It is  
8 scheduled for noon, but I think I may push that out a  
9 little bit. So we will see you all in about 15  
10 minutes.

11 --- Recess taken at 11:04 a.m.

12 --- Upon resuming at 11:22 a.m.

13 M. MILLAR: Welcome back, everybody.

14 Christopher, are you there? Okay. It looks like  
15 everyone is back, and we are ready to go. I am going  
16 to turn it over to Mr. Paliy.

17 **EXAMINATION BY Y. PALIY:**

18 Y. PALIY: Thank you, Mike. Yaroslav Paliy here  
19 for OEB Staff.

20 My first question is centered around exploring  
21 the asset condition and remaining useful life of  
22 major assets. So can we please go to the  
23 interrogatory response to Exhibit D1-Staff-059 in  
24 Exhibit L. Thank you.

25 So as part of interrogatory D1-Staff-059, part  
26 B, OEB Staff requested, among other things, the range  
27 of remaining useful life of major assets for all the  
28 hydroelectric capital projects with a budget of over

1 \$30 million that have a planned in-service date after  
2 January 1st, 2027.

3 OPG's reply to this interrogatory pointed to  
4 Exhibit L, D1-SEC-041 for this information. Can we  
5 please now go to the OPG interrogatory response found  
6 in Exhibit L, D1-SEC-041. Thank you.

7 As per the OPG interrogatory response found in  
8 this exhibit, part A, page 2, starting at line 14 --  
9 thank you -- OPG states that:

10 "OPG's asset management process does not  
11 quantify a range of remaining useful life." (as  
12 read)

13 With that in mind, can we please go to Exhibit  
14 D1-1-2, Attachment 1, Tab 24, project 86386.

15 D. COBAN: Could you please repeat the  
16 reference.

17 Y. PALIY: Yes. Exhibit D1-1-2, Attachment 1,  
18 Tab 24. It is the Kakabeka Falls generating station  
19 redevelopment project. Thank you.

20 On page 2 of this business case summary,  
21 paragraph 4, it states that:

22 "The estimated remaining life on the 100-years-  
23 old turbine generator system was assessed in  
24 2021 to be approximately five years." (as read)

25 So my question is, given that OPG was able to  
26 estimate the remaining life on the turbine generator  
27 system for the Kakabeka Falls generating station  
28 redevelopment project, can OPG estimate the range of

1 remaining useful life at the time of project start  
2 for all the other projects and major assets in scope  
3 found in Exhibit L, D1-SEC-049, Attachment 3?

4 N. FABPRO: As you have identified in D1-SEC-  
5 041, page 2 of 3, I would like to refer you to line  
6 items 15 and 16. So, Ms. Patchett, that's D1-SEC-  
7 041, page 2 of 3. And specifically line items 15 and  
8 16.

9 This is Nicole Fabbro speaking.

10 So we identify in the prior statement that:

11 "OPG's asset management process does not  
12 quantify a range of remaining useful life, and  
13 the degradation of the health of a  
14 hydroelectric asset, which influences the time  
15 before an investment may be required, is unique  
16 to its operating environment." (as read)

17 In response to your request, I will start by  
18 setting a little bit of context. We have 54  
19 hydroelectric stations, regulated hydro stations, and  
20 207 units. Those units, as we have identified in our  
21 evidence, range in terms of age. So some can be  
22 quite significant in age, some can be relatively new.

23 The way that we assess the condition of an asset  
24 is based on a variety of factors, and it would be  
25 extremely challenging to accurately predict the range  
26 of remaining useful life of the assets in these  
27 stations.

28 Y. PALIY: Thank you for that.

1           So my question goes back to the Kakabeka Falls  
2 generating station project. So how was OPG able to  
3 determine remaining useful life on that -- on those  
4 units?

5           M. SIKSTROM: Matt Sikstrom speaking here.

6           The remaining useful life that is -- or  
7 approximate five years that is mentioned in this BCS  
8 was based on an assessment report which was done as  
9 part of the project.

10          Y. PALIY: So does OPG already have these --  
11 this data, then, for all the other projects?

12          N. FABPRO: In reference to Mr. Sikstrom's  
13 remarks, that KGS report was specifically prepared  
14 for that project. And to answer your question, there  
15 is a variety of different assessment documentation  
16 that supports the projects listed in Attachment 3 of  
17 SEC-41.

18          Y. PALIY: Okay. Thank you.

19          So my question also is a follow-up question to  
20 that. Is it possible to provide the range of  
21 remaining useful life for all the projects in  
22 Attachment 3 to SEC-041?

23          D. COBAN: I believe that question has already  
24 been answered by the witness.

25          Y. PALIY: So it is possible, but it would take  
26 a lot of work?

27          D. COBAN: Well, I think the answer, if we were  
28 listening carefully to it, is that there is a variety

1 of factors that go into the assessment, and that  
2 information is available for the one project you  
3 mentioned because the specific report was undertaken.

4 Y. PALIY: Okay. Thank you.

5 So just to build on this question, we noticed  
6 that throughout the business case summaries in  
7 Exhibit D1, OPG sometimes indicates that an asset has  
8 reached the end of its expected service life. For  
9 example, can we please go to the BCS for the Coniston  
10 and Stinson GS redevelopment project found in Exhibit  
11 D1-1-2, Attachment 1, Tab 5, page 2, the "business  
12 needs" section.

13 So here in the first paragraph, it states that  
14 the generating station has reached the end of its  
15 expected service life. So my question is if OPG  
16 knows the expected service life of an asset, can OPG  
17 determine the remaining useful life at the time of  
18 the project start from the expected service life  
19 which is known and the age of the asset that is  
20 known?

21 M. SIKSTROM: With respect to the Coniston and  
22 Stinson redevelopment project, the generating station  
23 was deemed to be end-of-life because the units are no  
24 longer able to fulfill their function to produce  
25 generating power at the facility.

26 Y. PALIY: Right. So let me just, I guess, ask  
27 that question again.

28 If we know what the expected service life of a

1 station is -- like, let me rephrase. Does OPG know  
2 and have the data on what the expected service life  
3 is of each station?

4 S. ZADEH: I think the answer you are hearing is  
5 it is not a numerical exercise. So you were  
6 referencing two dates. It is not simply a numerical  
7 exercise to be able to make that determination.

8 Y. PALIY: Okay. Thank you.

9 Okay. I will move on to the next question,  
10 then, that explores the asset condition at the time  
11 of project start. Could we please go to the OPG  
12 interrogatory response found in Exhibit L, D1-SEC-  
13 041, and part C of the response. Thank you.

14 So as part of this response, OPG provided a  
15 summary of the major equipment and scope and the  
16 health assessment ratings of each of those assets for  
17 the allocated regulated hydroelectric capital and  
18 OM&A projects of the total project cost of over \$30  
19 million. In note 4 to this attachment, OPG states  
20 that the equipment and health monitoring process  
21 described in part A of the interrogatory response is  
22 live, meaning the condition of the assets is updated  
23 following the completion of project and maintain,  
24 refurbish, or replace components.

25 For completed projects in Attachment 3, the  
26 condition of the assets reflects the current status.  
27 Condition of the assets at the time of project start  
28 are documented in each project's business case

1 summary; however, for completed projects in  
2 Attachment 3, OEB Staff are unable to find a health  
3 impact condition rating of most major assets in  
4 project scope at the time of project start in each  
5 project's business case summary at the same level of  
6 detail as provided for the post-project condition of  
7 assets in Exhibit L, D1-SEC-041, Attachment 3.

8 For example, can we please go to Attachment 3,  
9 page 3, and find the 83495 R.H. Saunders generating  
10 station G9 capital refurbishment project. Thank you.

11 So under the condition of major assets, the  
12 listed major assets are the generator, turbine,  
13 turbine regulating equipment, and all of the related  
14 components. It is listed that all of these major  
15 assets and their components are in good condition  
16 post-project completion. However, in Exhibit D1-1-2,  
17 Attachment 1, Tab 15, Project 83495, which is this  
18 project, the business case summary lists the major  
19 issues but does not assign a health impact condition  
20 for the generator, turbine, turbine regulating  
21 equipment, and all of the related components at the  
22 time of project start.

23 So my question is would OPG be able to update  
24 Exhibit L, D1-SEC-041, Attachment 3, for all  
25 completed projects that include the health impact  
26 condition rating of major assets and project scope at  
27 the time of project start at the same level of detail  
28 as is already provided for the post-project condition

1 of assets in Exhibit L, D1-SEC-041, Attachment 3.

2 N. FABPRO: This is Nicole Fabbro speaking. In  
3 response to your question, some of the projects in  
4 D1-SEC-41, Attachment 3, as you have noted, have been  
5 completed. And in some cases, these projects have  
6 been initiated a number of years back, let's say, you  
7 know, potentially as far as five years or more. In  
8 our evidence, we identify that we have transitioned  
9 to a new method of monitoring the health of our  
10 assets. It is referred to as the E-health system  
11 monitoring.

12 And so to answer your question specifically, in  
13 some cases, the projects that have been completed  
14 would not have been -- the condition of those assets  
15 would not have been put into that new software, which  
16 is effectively what you see reflected on the page  
17 today. So to answer your question more completely,  
18 no, I cannot provide you the condition of the assets  
19 as it is presented in this attachment for the  
20 projects that have been completed.

21 Y. PALIY: Thank you.

22 So alternatively, could you provide a similar  
23 type of asset condition for those completed projects  
24 and all of its assets based on the previous reports  
25 before this system -- before this new system was  
26 implemented?

27 D. COBAN: So why don't we do this: Why don't  
28 we take away your request and consider if something

1 can be provided on a best-efforts basis. If we can,  
2 we will; if not, we will explain why we can't.

3 Y. PALIY: Okay. Thank you.

4 M. MILLAR: So we won't mark that as an  
5 undertaking now. Just in respect of timing, is this  
6 something you can consider over the lunch break, or I  
7 guess you will just let us know when you --

8 D. COBAN: Let's give it an undertaking so the  
9 record is clear.

10 M. MILLAR: Okay.

11 D. COBAN: And we will -- if we can't do it, we  
12 will explain --

13 M. MILLAR: Understood.

14 D. COBAN: -- in the undertaking.

15 M. MILLAR: So let's call it JT-1.5. And, Ms.  
16 Coban or Mr. Paliy, what is being undertaken?

17 Y. PALIY: We would like to see the condition of  
18 assets for the completed project based on, I guess, a  
19 -- not based on the health condition assessment  
20 ratings, but on anything comparable for all projects  
21 and SEC-41, Attachment 3.

22 D. COBAN: On a best-efforts basis --

23 M. MILLAR: Understood.

24 D. COBAN: -- for the completed projects. Thank  
25 you.

26 M. MILLAR: Okay. JT- 1.5.

27 **UNDERTAKING JT-1.5: PROVIDE THE CONDITION OF**  
28 **ASSETS FOR THE COMPLETED PROJECT BASED ON**

1           **ANYTHING COMPARABLE TO THE HEALTH CONDITION**  
2           **ASSESSMENT RATINGS FOR ALL PROJECTS AND SEC-41,**  
3           **ATTACHMENT 3**

4           Y. PALIY: Thank you.

5           Next question also has to do with SEC-041 and  
6 examines the assets in good and fair condition  
7 [indiscernible] -- OEB Staff notes that in LD1-SEC-  
8 41, Attachment 3, there are several examples of  
9 assets in good or fair condition being replaced or  
10 refurbished.

11           For example, if we scroll to page 4 of  
12 Attachment 3, we can see the Coniston and Stinson GS  
13 redevelopment project. So for the Stinson generating  
14 station in the far-right column, it shows that the  
15 condition of the rotor is good and the scope of the  
16 work entails a new installation.

17           There are two other examples that would show  
18 assets in good or fair condition being either  
19 replaced or refurbished. So if we can scroll to page  
20 5 of this attachment, we can see the Otter G1 capital  
21 upgrade project. It would be Project 82542, Otter G1  
22 capital upgrade. Thank you. So here we can see that  
23 the current condition of the stator is fair and the  
24 scope of the work entails a refurbishment.

25           And if we can keep going to page 8 of Attachment  
26 3, for the Sir Adam Beck 2 G18/G17 refurbishment  
27 project -- sorry. Thank you -- it states that the  
28 condition of the stator is fair and the scope of work

1 entails a new installation. So my first question is  
2 why do assets in good and fair condition get replaced  
3 or refurbished if the -- in general, yeah, what  
4 happens, why -- well, why do these assets get  
5 replaced if they are in good or fair condition?

6 N. FABRO: I will begin by answering your  
7 question in a broad sense and then perhaps provide an  
8 example. So broadly speaking, as identified in D1-  
9 SEC-041 at page 2 of 3, Chart 1, the intention is to  
10 complete work on assets before they get into a poor  
11 or unacceptable condition; however, there are  
12 circumstances in which when we go in to do a unit  
13 refurbishment where there is a component, a  
14 subcomponent, let's say, of a broader assembly that  
15 is deemed to be in poor or unacceptable condition.

16 And as a result, in the effort to replace that  
17 specific component, it may necessitate a broader  
18 replacement or redesign of neighbouring components.  
19 And in some cases, yes, that may require that an  
20 asset that is deemed to be in fair condition may need  
21 to be replaced as a result of the broader  
22 configuration of that component. There are also  
23 other considerations that we take into account when  
24 planning and scoping unit refurbishments. And one in  
25 particular is the potential for concealed conditions.

26 And as we plan a project, based on engineering  
27 expertise and judgment and history of past failures,  
28 we will apply that to do what we feel is prudent to

1 mitigate risks, what we call "in outage" or while  
2 that unit is undergoing a major refurbishment. And  
3 in some cases, that may necessitate the replacement  
4 of that asset.

5 Y. PALIY: Okay. Thank you for that.

6 Just a follow-up question on your explanation.  
7 So how does OPG determine what type of work, whether  
8 it is a new installation or refurbishment, should be  
9 done based on these health impact condition ratings?

10 N. FABRO: So in response to your question, if  
11 you reference Chart 1 in D1-SEC-41, page 2 of 3, the  
12 ratings provided are a guidance or an indicator of  
13 equipment health, as we have identified. And based  
14 on these ratings, engineering in conjunction with  
15 plant staff will determine appropriate short-term and  
16 long-term mitigating actions to address conditions or  
17 risks. And based on that, that plan, whether it be  
18 short-term mitigation or long-term mitigation, in the  
19 case of long-term mitigation, may require or  
20 necessitate a greater degree of investment or a  
21 greater action plan, for example. And that  
22 determination is what initiates, in many cases, the  
23 start of a project.

24 So to be a bit more complete in my answer, if we  
25 refer to D2 or D -- just one second here. It would  
26 be D2-1-1, page 4 of 13, Section 3.2.1. Thank you.  
27 So we identify in lines 17 through 20 that we conduct  
28 asset reviews on reliability, health, and

1 obsolescence, and these reviews will produce a health  
2 report or condition assessment, and these assessments  
3 are what contribute to the recommendations to request  
4 capital or OM&A expenditure funding for project  
5 needs.

6 Y. PALIY: Thank you.

7 Could we just quickly go back to that Table 1  
8 health impact condition ratings that we had on the  
9 screen for SEC-041. I noticed here for the condition  
10 description of fair and good that it doesn't state  
11 any mitigation actions required, you know, when you  
12 compare it to the unacceptable and poor condition  
13 descriptions. Is that -- and as I mentioned in the  
14 previous examples, we did see work done on assets  
15 that do have fair -- that were in fair and good  
16 condition. So is this just based on, like, the  
17 overall project like you described? Like, this --  
18 this isn't, like, a religious chart that you have to  
19 follow?

20 N. FABRO: Engineering will provide an  
21 assessment of equipment health; however, because in a  
22 unit refurbishment or overhaul, there are a number of  
23 components that we look at and do our best to  
24 maximize or be as efficient as we can with the work  
25 that we complete during that -- that project or  
26 during that outage, there could be reasons in which,  
27 from a project risk perspective, we may elect to do  
28 work on assets that are considered in fair condition

1 for the reasons I previously stated.

2 Y. PALIY: Okay. Thank you.

3 Could we please go to page 4 of this Attachment  
4 3, please, for the G20/G19 refurbishment project.

5 Perfect. Thank you. So we note in this attachment,  
6 it appears that certain major assets such as the  
7 rotor and hydro turbine are not in the same condition  
8 between the pairs of units being refurbished for the  
9 Sir Adam Beck GS refurbishment projects on units G20,  
10 G19, G18 and G17, and G14 and G13.

11 So, for example, on this page here on the -- for  
12 the G20/G19 refurbishment project, here it states  
13 that the current condition of the rotor is poor for  
14 the G19 unit and good for the G20 unit, and the  
15 current condition of the hydro turbine is poor for  
16 the G19 unit and fair for the G20 unit.

17 Next, if we can please pull up Exhibit D1-1-2,  
18 page 17. Perfect. There, the G20/G19 refurbishment  
19 project. So this -- so the question I am asking is  
20 also related to G18 and G17 and G14 and G13, but I am  
21 not going -- I am not going to ask to pull those up  
22 because the references are the same across all of the  
23 three projects. So we note -- we note that all these  
24 projects are being done in pairs due to being closely  
25 connected electrically. The units share a common  
26 transformer bank, high-voltage line, high-voltage  
27 disconnect, and medium-voltage isolated phase bus, as  
28 well as protection and controls equipment. All three

1 of these projects include the replacement of  
2 electrical common balance of plant in the scope of  
3 work, which is described in the business case  
4 summaries, such as in Exhibit D1-1-2, Attachment 1,  
5 Tab 41, in the description of the preferred  
6 alternative. Thank you.

7 So just to help us understand the benefits of  
8 combining these units together when the condition of  
9 certain assets are different, we would like to ask,  
10 how many outage days does OPG estimate as the result  
11 of replacement of electrical common balance plant of  
12 work for each of the G20, G19, G18, G17, and G14, G13  
13 projects?

14 N. FABPRO: I do not have that information in  
15 front of me today.

16 Y. PALIY: Is that something that can be  
17 provided?

18 D. COBAN: Maybe you could help us understand  
19 why that is relevant, the number of outage days.

20 Y. PALIY: Well, the reason we are asking is  
21 because we understand that one of the reasons why  
22 these assets -- why these projects are being done in  
23 pairs is because they are closely connected  
24 electrically, and this -- these projects include the  
25 replacement of these electrical common balance of  
26 plant assets. So we are trying to understand if  
27 there will be a difference in the number of outage  
28 days if these projects are done together versus

1 separately.

2 D. COBAN: We can take that away to consider  
3 your request. I think there might be a premise baked  
4 into your question that we need to clarify as part of  
5 the response. But on a best efforts, we can take  
6 that away to consider. And if we think the premise  
7 of the question is not appropriate, we will explain  
8 why in the response.

9 M. MILLAR: We will call that JT-1.6.

10 Y. PALIY: Thank you.

11 **UNDERTAKING JT-1.6: ADVISE HOW MANY OUTAGE DAYS**  
12 **OPG ESTIMATES AS THE RESULT OF REPLACEMENT OF**  
13 **ELECTRICAL COMMON BALANCE PLANT OF WORK FOR EACH**  
14 **OF THE G20, G19, G18, G17, G14, AND G13 PROJECTS**

15 Y. PALIY: The next question explores the  
16 probability of failure of assets. Can we please go  
17 to Attachment 2, the Engineering Risk Assessment  
18 Program, renewable generation procedure in Exhibit L,  
19 D1-SEC-041, page 8, Section 1.222 "probability of  
20 consequence selections". Thank you.

21 So here, OPG describes the probability of  
22 consequence as:

23 "A likelihood of the entire sequence of events  
24 that shall happen for a particularly  
25 undesirable result or consequence to occur.  
26 Before selecting the probability of  
27 consequence, the anticipated equipment failure  
28 or -- and resulting consequence to be evaluated

1           should be clearly defined." (as read)

2           So my question is, does OPG have a probability  
3 of failure for all projects and major assets listed  
4 in Exhibit L, D1-SEC-41, Attachment 3?

5           N. FABPRO: I cannot confirm, based on the  
6 information I have in front of me today, definitively  
7 that a probability of consequence of failure has been  
8 completed for every single component listed for every  
9 single project in Attachment 3 of D1-SEC-041.

10          Y. PALIY: Would it be possible to take it back  
11 and provide information for any of the projects or as  
12 much as you can?

13          N. FABPRO: On a best-efforts basis, we can  
14 undertake to provide you a representative sample of  
15 some of the analysis or the risk assessment that may  
16 have been completed to form the determination of  
17 scope for one of the projects listed in D1-SEC-0 41,  
18 Attachment 3.

19          Y. PALIY: I am just considering the magnitude  
20 of projects and the impact on ratepayers. I think we  
21 would prefer if it could be done for all the projects  
22 in that attachment. And to make it easier, if we can  
23 meet halfway, maybe the probability of consequence  
24 can be done on the major assets and not all of its  
25 components. Would that work?

26          D. COBAN: I think the scope of what you are  
27 looking for is quite extensive. So we are prepared  
28 to do that on an example basis so that you can

1 understand how it works, but to undertake to do that  
2 for all the projects, even if we scope it down to a  
3 major component, is a significant undertaking amount  
4 of work, and we are not able to do that here within  
5 the timelines.

6 Y. PALIY: Okay. Thank you.

7 In that instance, can we please ask you to  
8 prioritize the importance of the project in the  
9 example that you give us. So something with the  
10 highest cost or -- just use your discretion to give  
11 us the most relevant example, please.

12 D. COBAN: We will use our discretion to give  
13 you a meaningful example.

14 Y. PALIY: Thank you.

15 M. MILLAR: We will call it JT-1.7.

16 Mr. Paliy, could you just repeat for the record  
17 what the undertaking is for, to the best of your  
18 recollection, just to make sure we are all on the  
19 same page?

20 Y. PALIY: Thank you, Mr. Millar. We are  
21 looking for a probability of failure for any relevant  
22 and important project that OPG can provide us with as  
23 an example of how it is assessed and how it is -- and  
24 how we can use it to analyze certain issues.

25 D. COBAN: That is fine.

26 Y. PALIY: Thank you.

27 **UNDERTAKING JT-1.7: PROVIDE A PROBABILITY OF**  
28 **FAILURE FOR ANY RELEVANT AND IMPORTANT PROJECT**

1           **THAT OPG CAN PROVIDE AS AN EXAMPLE OF HOW IT IS**  
2           **ASSESSED AND HOW IT CAN BE USED TO ANALYZE**  
3           **CERTAIN ISSUES**

4           Y. PALIY: My next question explores equivalent  
5 forced outage rates and availability for generating  
6 stations. Can we go it the interrogatory response  
7 found in Exhibit L, D-1-Staff-060. Thank you.

8           So in this exhibit, OPG provided the actual and  
9 target hydroelectric availability and equivalent  
10 forced outage rate, or EFOR, for the Alexander GS and  
11 the Manitou Falls GS for the 2016 to 2024 period and  
12 the EFOR and availability trends for these units as  
13 compared to the other units at the respective  
14 stations.

15           On page 2, part C of the interrogatory response,  
16 OPG stated that although the Alexander GS station has  
17 five units, refurbishments are only required for  
18 Alexander GS G1, G2, and G3 based on their condition.

19           OPG also stated that for Alexander GS, over the  
20 2016 to 2024 historic period, availability trends for  
21 units G1, G2, and G3 were generally consistent with  
22 each other and aligned the with performance of units  
23 G4 and G5.

24           Similarly, historical EFOR results for G1, G2,  
25 and G3 followed comparable trends and were overall in  
26 line with those of G4 and G5.

27           So my first question is, what condition are  
28 units G4 and G5 in?

1 N. FABRO: I don't have that information with  
2 me today.

3 Y. PALIY: Could that be taken back and provided  
4 later?

5 D. COBAN: Yes, we can do that.

6 M. MILLAR: JT-1.8.

7 Y. PALIY: Thank you.

8 Just a follow-up question to that. I don't know  
9 if you have this information as well. But when will  
10 units G4 and G5 be refurbished?

11 N. FABRO: I also don't have that information  
12 with me today.

13 Y. PALIY: Could we add that to the undertaking?

14 D. COBAN: Yes, we can just roll it into 1.8.

15 Y. PALIY: Thank you.

16 **UNDERTAKING JT-1.8: ADVISE WHAT CONDITION**

17 **ALEXANDER GS UNITS G4 AND G5 ARE IN AND WHEN**

18 **THEY WILL BE REFURBISHED**

19 Y. PALIY: The next question is, can OPG please  
20 help me understand what is the relationship between  
21 availability and EFOR trends and asset condition.

22 N. PENDER: So I will start with the  
23 availability and EFOR relationship.

24 So availability is the total availability of the  
25 station measured on a time basis weighted by  
26 megawatts. EFOR is a subset of that. It is -- a  
27 equivalent forced outage rate is the definition of  
28 EFOR, so it is a subset of the overall availability.

1 Within availability, there is planned outages,  
2 unplanned outages, EFOR. So there is a number of  
3 criteria that sits underneath there.

4 The relationship of that to underlying asset  
5 condition, there is not a direct comparable or a  
6 linear relationship between one and the other. It  
7 depends on the context of the unit, the function of  
8 the unit in the market, and the role it serves.

9 So, again, just at a broad perspective, we have  
10 lots of units across the province. They vary in from  
11 new to very old, so think over 100 years old. So it  
12 really depends on the function of the unit in the  
13 market and how it runs. So if we narrow the  
14 question, perhaps we could get to something  
15 substantive.

16 Y. PALIY: Okay. Thank you.

17 So is it acceptable to see a unit in good  
18 condition with poor, say, EFOR and availability  
19 trends? Is that something that is commonly seen?

20 N. PENDER: Sorry. Can you repeat the question?  
21 I want to make sure I have understood the question.

22 Y. PALIY: Yes. If there is a generating  
23 station, for example --

24 --- (Court reporter interjection re microphone)

25 N. PENDER: Sorry. Can you -- can you just  
26 repeat the question or just clarify it?

27 Y. PALIY: Yes, thank you.

28 Can a generating station or -- be in a good

1 condition but show, you know, a negative or bad  
2 availability and EFOR trends?

3 D. COBAN: I think I am struggling with your  
4 question and the premise of it because, as we heard  
5 and we can see in SEC 41, condition is not assessed  
6 at the station level, it is assessed with respect to  
7 the components. So could you maybe clarify your  
8 question? Because I think there is a faulty premise  
9 in there that, you know, might confuse the record.

10 Y. PALIY: We are interested in the condition of  
11 the assets that drive the work of the project. So --  
12 and we are trying to compare the overall station  
13 condition to its availability and EFOR trends.

14 N. PENDER: If I could refer you to F1-1-1, page  
15 24, chart 7 -- or chart -- actually, let's start with  
16 Chart 6 on page 22. Okay. So this looks at -- okay,  
17 give it a second.

18 We can see on Chart 6 a sample of individual  
19 stations and then the fleet as a whole at the bottom  
20 where it says "all 54 regulated hydroelectric  
21 stations."

22 You can see in this chart here, we list out the  
23 actual and target availability for a station, and  
24 that is at a station level. And a station comprises  
25 of units that sit underneath of that.

26 So to my colleague's point a moment ago, when we  
27 are looking at projects, we assess at unit level, we  
28 don't assess at a generic level, but we track

1 availability for a station at a station level.

2       So let's take a station example. Sir Adam Beck  
3 2, that is 16 units. So the -- if we look on the  
4 sheet here, third row, Sir Adam Beck 2 GS, that is  
5 the composite of 16 units' worth of availability. So  
6 the underlying asset condition will vary, as we have  
7 just established, on a unit-by-unit basis. And under  
8 that unit-by-unit basis, there will be kind of  
9 subsystem and subcomponents.

10       So to your -- if I recall your question  
11 correctly, if we are trying to link asset condition  
12 to availability, it is not a straight pass through in  
13 the relationship between them because of how all the  
14 subsystems tier together. Your overall premise,  
15 though, is not unreasonable that a poor -- assets in  
16 poorer condition could have lower availability.

17       To your point on EFOR, which is a forced  
18 component, that is a particular subset of  
19 unavailability which is related to being unplanned in  
20 nature. So, again, the relationship you are drawing  
21 is somewhat broad. Again, if we want to zoom in, we  
22 can be very specific, but we are dealing with lots of  
23 units and lots of subcomponents, and I wouldn't want  
24 to draw a generalization even though it might be  
25 tempting.

26       Y. PALIY: Thank you for that. Do you want to  
27 do lunch now, or should I continue?

28       M. MILLAR: How much time do you have left, Mr.

1 Paliy?

2 Y. PALIY: I have four more questions, probably  
3 around half an hour.

4 M. MILLAR: Okay. We may need to -- why don't  
5 we take our break, and we can see where we are from  
6 there.

7 Okay, let's take our break now. Let's come back  
8 at 1:05.

9 --- Recess taken at 12:07 p.m.

10 --- Upon resuming at 1:04 p.m.

11 M. MILLAR: Good afternoon, everyone. Welcome  
12 back to the afternoon session of day 1 of the  
13 technical conference for OPG.

14 Mr. Paliy, I will hand it back over to you.

15 Y. PALIY: Thank you, Mr. Millar.

16 So for this next question, I would like to  
17 explore the Sir Adam Beck Canal Rehabilitation  
18 Project Deferral. So can we please go to Exhibit D1-  
19 1-2, Tab 42, Project 89252. Thank you. If we scroll  
20 down to page 3, please, of the business case summary.  
21 Okay. Thank you.

22 On page 3 of this business case summary:

23 "OPG states that the Sir Adam Beck 1 Canal  
24 Rehabilitation Project began under Project  
25 82771, which funded condition assessments and  
26 various project management activities,  
27 including the development of an initial overall  
28 cost estimate and technical specification. The

1 project was deferred in 2020 following a risk  
2 analysis that confirmed that the canal  
3 conditions could sustain this delay. As per  
4 the plan upon project deferral, a team was  
5 reassembled to explore restarting the project  
6 in 2024." (as read)

7 On page 1 of this business case summary, it  
8 states that the project was restarted in June of  
9 2024.

10 Can we please now go to Exhibit L, D1-Staff-075.  
11 Thank you.

12 So for this interrogatory, OEB Staff asked how  
13 long did the 2020 risk analysis indicate that the  
14 canal could sustain a delay in rehabilitation and if  
15 any more recent analyses have been performed, and if  
16 so, how long did these analyses indicate that a delay  
17 could be sustained?

18 In part A of its response, OPG replied that a  
19 specific timeline wasn't provided in the 2019 risk  
20 analysis, indicating that the canal could sustain a  
21 delay in rehabilitation and that no further recent  
22 risk analysis has been conducted. So my question is,  
23 given that there was no timeline provided in the 2019  
24 risk analysis and there was no further recent risk  
25 analysis performed, how did OPG determine the need to  
26 restart the project in 2024?

27 M. SIKSTROM: So as indicated in the IR response  
28 D1-Staff-075, there isn't -- the next condition

1 assessment is planned for 2030. And although the  
2 canal assessment that was done in 2020 indicated that  
3 there wasn't a firm timeline, it did highlight that  
4 degradation of the canal will continue, and  
5 eventually it will need to be rehabilitated. So this  
6 project was restarted in 2024 with the scope of  
7 preparing for the eventual rehabilitation of the  
8 canal.

9 Y. PALIY: Thank you for that.

10 My next question explores unallocated projects.  
11 So can we please go to Exhibit L, D1-Staff-064.  
12 Perfect.

13 In Exhibit L, D1-Staff-064, Attachment 1 -- I  
14 don't know if you can pull up the attachment to this,  
15 please, Attachment 1. It was an Excel file.  
16 Perfect. Thank you.

17 So in this attachment, OPG provided the  
18 estimated total cost and potential in-service year  
19 for each of the unallocated projects found in Exhibit  
20 D1-1-2, tables 5A and 5B, which is all of these  
21 projects that we see in front of us. OPG also stated  
22 as part of their interrogatory response that -- we  
23 can go back to the exhibit. Yeah, perfect. Thank  
24 you.

25 So OPG stated that with the introduction of the  
26 longer-term business horizons of up to seven years,  
27 the renewable generation business unit has aligned  
28 the management of its capital and OM&A project

1 portfolio with that of the rest of the company and  
2 implemented the use of unallocated portfolio funding.  
3 The use of this unallocated portfolio in business  
4 planning was approved by the OPG Board of directors.

5 Can we please go to Exhibit D1-1-2, Table 4.

6 Thank you.

7 In Table 4 OPG shows the yearly in-service  
8 capital additions by prescribed facility category,  
9 which includes categories for allocated and  
10 unallocated projects. So my request is can OPG  
11 please provide a yearly breakdown of the unallocated  
12 projects that contribute to the forecast in-service  
13 capital additions for 2027 to 2031 seen in lines 27,  
14 30, 32, 33, 34, 35 in Exhibit D1-1-2, Table 4.

15 M. HANNON: If you can please turn to IR F1-  
16 AMPCO-91. Thank you. And then scroll down. So in  
17 this IR, there are charts in here that identified  
18 both the unallocated and allocated projects for that  
19 table.

20 Y. PALIY: That is great. I just can't see the  
21 unallocated projects. Is that lower down in the  
22 reply?

23 M. HANNON: It is Chart 4. It shows your  
24 unallocated.

25 Y. PALIY: Okay. Okay. That is good. Thank  
26 you.

27 Can OPG please confirm when the OPG Board of  
28 Directors approved the use of unallocated portfolio

1 in business planning for the renewable generation  
2 business unit and when did OPG start implementing it  
3 in their business planning.

4 M. HANNON: The unallocated portfolio has always  
5 been part of the RG business plan. But because this  
6 is a seven-year business plan, it's substantially  
7 larger than it has ever been.

8 Y. PALIY: What year did it start, the use of  
9 this unallocated portfolio?

10 M. HANNON: So I don't have that in front of me.

11 Y. PALIY: Oh, is that something that we -- you  
12 could check and get back to us with?

13 D. COBAN: Maybe you could just help us  
14 understand how -- what is the relevance of knowing  
15 when it started.

16 Y. PALIY: I think we think it speaks to the way  
17 that OPG kind of plans capital projects, and we are  
18 trying to understand and, I guess, compare to the  
19 last time the OEB kind of undertook a review of a  
20 capital plan. So we understand that these  
21 unallocated projects were not really a thing during  
22 the last cost of service proceeding, so we would like  
23 to understand when -- when OPG as a business started  
24 using unallocated projects. And just stating that,  
25 like, the RG business uses this is a bit ambiguous to  
26 us because we understand there have been reorgs, so  
27 we are looking for, like, a -- even just a year or,  
28 like, a business plan that started using this idea.

1 D. COBAN: Okay. We will undertake to consider  
2 your request, and if we can provide an answer, we  
3 will; and if not, we will explain the basis for the  
4 refusal.

5 Y. PALIY: Thank you.

6 M. MILLAR: JT-1.9.

7 **UNDERTAKING JT-1.9: CONFIRM WHEN THE OPG BOARD**  
8 **OF DIRECTORS APPROVED THE USE OF UNALLOCATED**  
9 **PORTFOLIO IN BUSINESS PLANNING FOR THE RENEWABLE**  
10 **GENERATION BUSINESS UNIT AND WHEN OPG STARTED**  
11 **IMPLEMENTING IT IN THEIR BUSINESS PLANNING**

12 Y. PALIY: All right. Thank you.

13 My next question explores the cost variance  
14 between the RH Saunders G12 and G16 units. So can we  
15 please go to Exhibit L, D1-Staff-068. Thank you.

16 So in this exhibit, OPG provided the difference  
17 in cost and in the project scope between the RH  
18 Saunders GS G9, G12, and G16 refurbishment projects.  
19 On page 2 OPG states that RH Saunders GS unit G16 is  
20 the third unit to undergo capital refurbishment and  
21 the second CWC unit to undergo a refurbishment as  
22 part of the RH Saunders GS refurbishment program.

23 The cost and scope for Unit G16 incorporated  
24 lessons learned gathered from both Unit G9 and Unit  
25 G12 up until Q4 2025 when the full execution BCS for  
26 Unit 16 was approved. Unit G16 and Unit G12 are both  
27 CWC units with the same scope of work as per Chart 1,  
28 scope comparison summary, major components on page 3

1 of this reply.

2 OPG also provided a cost breakdown per unit in  
3 Chart 3 on page 5. OEB Staff note that the Unit G16  
4 refurbishment incorporated lessons learned gathered  
5 from both Unit G9 and Unit G12 refurbishments and had  
6 the same scope of work as the G12 refurbishment and  
7 yet cost \$18.9 million more than the G12  
8 refurbishment.

9 Can OPG please undertake to provide a narrative  
10 that describes the main drivers of the difference in  
11 cost between the G16 and G12 refurbishment by  
12 category as seen in Chart 3, cost breakdown per unit,  
13 on page 5 of this interrogatory response.

14 N. PENDER: Sorry. Just to refer back to Chart  
15 3, you want to see the cost breakdown that is in  
16 Chart 3?

17 Y. PALIY: Yeah, just -- we would like to see an  
18 explanation narrative of these differences in cost.

19 N. PENDER: So it is the narrative around the  
20 detailed items, the project management and  
21 engineering, through interest to substantiate the  
22 30.4 to the 49.3, if I am --

23 Y. PALIY: That is right.

24 N. PENDER: We can do this.

25 M. MILLAR: That is JT-1.10.

26 **UNDERTAKING JT-1.10: PROVIDE A NARRATIVE THAT**  
27 **DESCRIBES THE MAIN DRIVERS OF THE DIFFERENCE IN**  
28 **COST BETWEEN THE G16 AND G12 REFURBISHMENT BY**

1           **CATEGORY AS SEEN IN CHART 3, COST BREAKDOWN PER**  
2           **UNIT, ON PAGE 5 OF THE INTERROGATORY RESPONSE**

3           Y. PALIY: Thank you.

4           The next question explores the cost variance in  
5 the Chenaux Limerick Island superstructure gate hoist  
6 project. Can we please go to Exhibit L, D1-Staff-  
7 316. Thank you.

8           In this exhibit, OPG explained that this project  
9 neither has a superseding business case summary nor  
10 is in recovery, so they did not provide the cost  
11 variance for this project. The BCS filed in Exhibit  
12 D1-1-2, Attachment 1, Tab 19, identified an increase  
13 in cost between the Gate 2 definition phase and Gate  
14 3 execution phase from 11.4 million to 32.7 million.  
15 We can pull up that business case summary, please,  
16 just for really quick reference. Thank you. So it  
17 is just that first line -- sorry -- that second  
18 paragraph that states that the total project cost is  
19 now at 32 million versus the 11 million in the  
20 previous release.

21           If we can just go back to the interrogatory  
22 response now. Thank you. So in this interrogatory  
23 response, OPG explained this cost increase is a  
24 natural progression as the project continued to  
25 solidify scope, complete detailed design, and refine  
26 cost estimates throughout the planning process. As  
27 described in the business case summary in Exhibit D1-  
28 1-2, total project cost at execution phase includes a

1 revision to the sluice gates control standard, power  
2 supply replacement, addition of stair towers,  
3 enclosed hoist house, and logistical considerations  
4 at the interprovincial bridge.

5 Can OPG please provide a quantitative  
6 reconciliation from the \$11.4 million found in the  
7 Gate 2 definition phase to the \$32.7 million cost  
8 found in the Gate 3 execution phase by major cost  
9 category and by driver. Can you please identify  
10 which scope elements were known or foreseeable at  
11 Gate 2 versus identified later, and can you please  
12 explain whether the increase was driven mainly by  
13 scope additions or estimate class maturity, EPC  
14 pricing, access or logistics, market escalation, or  
15 contingency.

16 N. PENDER: So I think you are calling out the  
17 natural progression of our project maturity as we  
18 come through the phase of maturity from the Gate 2  
19 through to a Gate 3. So we expect our scope matures,  
20 et cetera, to -- and estimates to be refined. This  
21 is just part of the natural progression.

22 If you are asking to do a specific breakdown as  
23 per the way we have approached G9 and G16 in the  
24 aforementioned reference via those high-level cost  
25 categories, we would be willing to detail that  
26 between a Gate 2 and a Gate 3 for this limerick  
27 project.

28 Y. PALIY: That would be great. Thank you.

1 M. MILLAR: That is JT-1.11.

2 **UNDERTAKING JT-1.11: PROVIDE A QUANTITATIVE**  
3 **RECONCILIATION FOR THE CHENAUX LIMERICK ISLAND**  
4 **SUPERSTRUCTURE PROJECT FROM THE \$11.4 MILLION**  
5 **GATE 2 DEFINITION PHASE ESTIMATE TO THE \$32.7**  
6 **MILLION GATE 3 EXECUTION PHASE ESTIMATE, BY**  
7 **MAJOR COST CATEGORY AND DRIVER, AND IDENTIFY**  
8 **WHICH SCOPE ELEMENTS WERE KNOWN OR FORESEEABLE**  
9 **AT GATE 2 VERSUS IDENTIFIED LATER, AND EXPLAIN**  
10 **WHETHER THE INCREASE WAS DRIVEN PRIMARILY BY**  
11 **SCOPE ADDITIONS, ESTIMATE CLASS MATURITY, EPC**  
12 **PRICING, ACCESS/LOGISTICS, MARKET ESCALATION, OR**  
13 **CONTINGENCY**

14 Y. PALIY: Those are all the questions I have.

15 Thank you so much for your time.

16 M. MILLAR: Thank you, Mr. Paliy.

17 I think, Ms. Li, it is over to you now.

18 Y. PALIY: Yeah, we are just going to do a quick  
19 swap at the front here.

20 M. MILLAR: Okay. Very good.

21 **EXAMINATION BY A. LI:**

22 A. LI: My name is Ada Li. I am an analyst with  
23 the Ontario Energy Board, and my questions are  
24 primarily related to the hydroelectric production  
25 forecast. Can we go to interrogatory response E1-  
26 Staff-140.

27 So according to the scorecard, the definition of  
28 "hydroelectric availability" is the percentage of the

1 generating potential that could have been provided  
2 after considering outages and de-rates regardless of  
3 fuel availability. So can OPG confirm that outages  
4 and de-rates are the only factors considered in this  
5 metric?

6 N. PENDER: If I could direct you to F1-Staff-  
7 170, we give -- maybe let's start on page 5 -- sorry  
8 -- page 2 of 5. Yes, Staff-170, please. And we will  
9 start at line 18.

10 So we give a description here of what is  
11 included in availability. So the components to  
12 derive availability is one, minus the incapability  
13 factor. And the incapability factor is a function of  
14 planned outages, equivalent planned de-rate hours,  
15 forced outage hours, and equivalent forced de-rate  
16 hours divided by the time period.

17 So I would happily -- if you repeat your  
18 question, I can answer the specific elements, but  
19 these are the specific elements in the incapability  
20 factor to which I think you were referring.

21 A. LI: Yeah, thanks. This confirms it.

22 So the question was can OPG confirm that outages  
23 and de-rates are the only factor that is considered  
24 in this metric?

25 N. PENDER: As per this calculation, that is an  
26 incorrect premise. It is planned outage hours,  
27 equivalent planned de-rate hours, forced outage  
28 hours, and equivalent forced de-rate hours.

1 A. LI: Okay. I understand. Thank you.

2 Can we go to Exhibit F1-1-1, Chart 6 and 7. So  
3 Chart 6 shows the historical hydroelectric  
4 availability from the year 2016 to 2024, and Chart 7,  
5 if you scroll down, shows the target availability  
6 from 2025 to 2031. Can OPG confirm whether the  
7 target availability in Chart 7 in this case is the  
8 same as the forecast availability used in determining  
9 the hydroelectric production forecast?

10 M. CHIDIAC: So it would not be the same, and  
11 the availability used in the production forecast is  
12 described in Staff-140. When you think about  
13 production and availability, you have to consider  
14 fuel availability, which is water for hydroelectric  
15 stations. And as we described in E1-1-1, production  
16 is highly tied to the availability of water.

17 So you could theoretically have outages that  
18 don't impact your production because you wouldn't  
19 have otherwise had water to generate so the numbers  
20 are different, but the numbers used in the production  
21 forecast are included in the Staff-140 response.

22 A. LI: Okay. So the availability used in the  
23 forecast is the one shown in 140, Staff-140. Okay.  
24 Thanks.

25 T. EMINOWICZ: So can OPG provide, like, an  
26 availability table similar to what is in F1-1 that  
27 reflects the actual production forecast for 2027? Is  
28 that possible?

1 M. CHIDIAC: It is possible. I am just thinking  
2 about the level of effort required and the timeline  
3 available to us, so I think --

4 T. EMINOWICZ: The top five stations by  
5 production.

6 M. CHIDIAC: I think we will take it back on a  
7 best efforts --

8 T. EMINOWICZ: Yeah, we are not asking for,  
9 like, every single station in the forecast.

10 M. CHIDIAC: It requires calculation because  
11 there isn't an explicit availability used in the  
12 production forecast. It is a function of outages  
13 that are planned in the forecast, right. And then I  
14 think from there, we have to reverse-calculate what  
15 the availability would look like.

16 T. EMINOWICZ: Yeah, we are trying to understand  
17 how the production forecast relates to these metrics,  
18 so on a best-effort basis, if by the level of  
19 production there is a few top stations that account  
20 for the majority, I think that would be sufficient  
21 for what we are asking.

22 M. CHIDIAC: Okay. Yeah, so I think we could  
23 take that back as an undertaking to describe the  
24 availability used in the production forecast for the  
25 top five generating stations.

26 T. EMINOWICZ: Sorry, Mr. Chidiac, we understand  
27 from Staff-140 that availability isn't, like, used in  
28 the production forecast. We are trying to compare, I

1 guess, what would be the output of a production  
2 forecast to compare it to the availability metrics we  
3 see in the chart of Exhibit F1. So just to be clear,  
4 we are not asking about kind of, like, an input of  
5 availability to the product forecast, but the result,  
6 like, the output.

7 M. CHIDIAC: Understood, yeah. And we will  
8 endeavour to provide that.

9 T. EMINOWICZ: Thank you.

10 M. MILLAR: JT-1.12.

11 **UNDERTAKING JT-1.12: PROVIDE AN AVAILABILITY**  
12 **TABLE SIMILAR TO WHAT IS EXHIBIT F1-1-1 THAT**  
13 **REFLECTS THE ACTUAL PRODUCTION FORECAST FOR 2027**  
14 **FOR THE TOP FIVE STATIONS BY PRODUCTION**

15 A. LI: Moving on to interrogatory response E1-  
16 Staff-137. If you can go to part D of the answer.  
17 So for context, this interrogatory is focused on  
18 understanding the difference in the forecast  
19 methodology between EB-2013-0321 and EB-2025-0297.

20 Can OPG confirm the following numbers: The  
21 impact of unplanned outage spill is 0.19 terawatt  
22 hour for test year 2027, non-SBGVA eligible market  
23 spill is 0.63 terawatt hour, condensed mode operation  
24 load is 0.08 terawatt hour, and the spill occurred  
25 outside SBG conditions and not associated with  
26 scheduling down is 0.16 terawatt hour for test year  
27 2027?

28 M. CHIDIAC: That is correct.

1 A. LI: Thank you.

2 So do you accept, subject to check, that the sum  
3 of all these numbers is 1.06 terawatt hour?

4 M. CHIDIAC: Subject to check, yes.

5 A. LI: Regarding the fourth paragraph in  
6 response F, can you please explain what is causing  
7 the spill that "occurred outside SBG conditions and  
8 not associated with a market event"? Specifically,  
9 what does this mean operationally for OPG?

10 M. CHIDIAC: Well, in terms of what it means  
11 operational for OPG is that we had economic offers to  
12 generate our facility, and due to some market  
13 condition, we were not able to generate and the --  
14 that was not reflected in the shadow price at the  
15 time. So it resulted in foregone production to OPG.

16 A. LI: Can you confirm that the cause is  
17 unclear to the spill that is referenced here?

18 M. CHIDIAC: Are we referencing -- which  
19 paragraph are we referencing?

20 A. LI: So --

21 M. CHIDIAC: Lines 1 to 10?

22 A. LI: Yes.

23 M. CHIDIAC: So, sorry, could you repeat your  
24 question?

25 A. LI: So for the spill that is in line 2 and  
26 line 3, what is the cause of this spill that occurred  
27 outside SBG conditions but also was not directly  
28 associated with scheduling down?

1 M. CHIDIAC: So it wouldn't be reflective of  
2 market outcome or dispatch from the IESO. There are  
3 multiple potential causes for these types of events.  
4 They could be IESO manual or verbal dispatches. It  
5 could be IESO respecting constraint violations.  
6 There are a multitude of events that could cause  
7 this.

8 A. LI: Thank you.

9 So using the above-mentioned value of 1.06  
10 terawatt hour as the sum of all adjustments and  
11 comparing it to the currently-proposed 2027 test year  
12 forecast of 32.5 terawatt hour, the total 2027  
13 production forecast would increase to 33.56 terawatt  
14 hour if the original EB-2013 method was applied.

15 Does it mean that if the EB-2013-0321 forecast  
16 model had been used to produce the 2027 production  
17 forecast, it would have been 33.56 terawatt hour?  
18 Can OPG confirm this?

19 M. CHIDIAC: I would frame it more so the  
20 adjustments we have made to the production forecast  
21 for EB-2025 and in terms of the totality of those  
22 numbers are the 1. -- I don't remember the number you  
23 quoted, but 1.02 terawatt hours.

24 A. LI: Thank you.

25 Can we go to interrogatory response Staff-007,  
26 Table A1. So this a list of in-service capacity by  
27 generating stations between now and the end of 2031  
28 according to the capital plan.

1           So staff conducted an analysis of the amount  
2 increase between the current application and the year  
3 2031 and identified five stations that are key  
4 contributors to the capacity increase. So, for  
5 example, for Otter Rapids, Otter Rapids has a  
6 capacity increase of around 11.6 percent. Does it --  
7 does this seem right to OPG?

8           N. PENDER: In the response in Chart 1, I count  
9 a few more stations than the ones you noted there.  
10 So I think you -- how many -- I think you said there  
11 were five?

12          A. LI: Five. So list them all is Otter Rapids,  
13 Otto Holden, R.H. Saunders, and Sir Adam Beck 1 and  
14 2.

15          N. PENDER: That is a subset of the increases.  
16 I agree with that.

17          A. LI: And Otter Rapids has a capacity increase  
18 of 11.6 percent? Around?

19          N. PENDER: I haven't done the math. It goes  
20 from 182.4 to 203.5, so I make that 21.1 percent. So  
21 in a range-bound way, your answer doesn't seem  
22 unreasonable.

23          A. LI: So in OPG's view, is this increase in  
24 capacity a material impact to production?

25          N. PENDER: Can you define "material" for me,  
26 please.

27          A. LI: So it would result in a change, an  
28 increase in production due to capacity.

1           N. PENDER: So can I just take a step back? So  
2 let's think about what capacity is. So capacity is  
3 generating potential, and generating potential gives  
4 you the opportunity to have higher production.  
5 Again, because these are hydro plants, they are  
6 subject to water, of being a key constraint of how  
7 much water is received in the river or the system.  
8 So making a direct linear comparison between capacity  
9 and production isn't the right mental model in this  
10 context.

11           **EXAMINATION BY T. EMINOWICZ:**

12           T. EMINOWICZ: I guess what we are asking does -  
13 - would OPG consider this increase that we are  
14 talking about for Otter Rapids to be material?

15           N. PENDER: We can provide the net change in the  
16 production. Again, your material and my material, I  
17 don't know -- if you can be specific, I might be able  
18 to guide you. We are adding 21.1 megawatts of  
19 capability over the rate period, so that is being  
20 layered in over the next period of time. So this is  
21 what will happen by 2031.

22           T. EMINOWICZ: In the interest of time, I will  
23 try and make sure I understand what you are offering.

24           So is OPG offering to attempt to quantify the  
25 production impact of that capacity increase? Like,  
26 could you compare it, for example, to the 2027  
27 forecast, the incremental production of that capacity  
28 increase?

1 N. PENDER: You have just made the question  
2 considerably harder.

3 T. EMINOWICZ: I didn't understand exactly what  
4 you were offering.

5 N. PENDER: So I can't go back and remodel '27  
6 because life moves on, things change. What we can do  
7 is give you a best-efforts estimate of what happens  
8 to this 21 megawatts in the future. I can't go back  
9 and say what happened in 2027, had I had 21 extra  
10 megawatts, what could have happened there. That is  
11 beyond our capability to do that.

12 T. EMINOWICZ: Sorry, Mr. Pender, just to  
13 clarify, I was asking in the context of the 2027  
14 production forecast that is proposed for the  
15 hydroelectric payment amounts. Like, the forecast.  
16 I am just confused because you -- it seemed like you  
17 were talking about the past. I am sorry if I am  
18 tired.

19 D. COBAN: I think we are all getting a little  
20 confused. What I understood is that we cannot  
21 reconstruct the 2027 forecast to account for this  
22 increase in production. That is what I understood  
23 from your testimony, Mr. Pender. If that is  
24 incorrect, please do set us straight on that.

25 N. PENDER: That is where I was going.

26 T. EMINOWICZ: We will take whatever you are  
27 offering. Thank you.

28 M. MILLAR: I am unclear. Is there any

1 undertaking here or...

2 M. CHIDIAC: So just to confirm the ask, you are  
3 seeking to quantify the benefit of the capacity  
4 increase at Otter Rapids in 2027 from a -- the  
5 benefit to the production forecast?

6 T. EMINOWICZ: That sounds about right.

7 M. CHIDIAC: On a best-efforts basis, we will  
8 seek to provide that.

9 M. MILLAR: That is JT-1.13.

10 **UNDERTAKING JT-1.13: QUANTIFY THE BENEFIT TO**  
11 **THE PRODUCTION FORECAST OF THE CAPACITY INCREASE**  
12 **AT Otter Rapids IN 2027**

13 A. LI: So continuing on -- oh, okay. Thank  
14 you.

15 T. EMINOWICZ: Okay. So thank you.

16 So I just have a couple more questions also  
17 related to the production forecast. So this is, for  
18 the benefit of the transcript, Thomas Eminowicz,  
19 senior advisor, OEB Staff.

20 If I can start, please, this conversation with  
21 interrogatory response to E1-SEC-128. And so this is  
22 an interrogatory that identifies outages. I am not  
23 interested in the specific outages; rather, what I am  
24 interested in is the general concept of what OPG as a  
25 market participant kind of provides to the IESO in  
26 terms of production information.

27 And so it is -- I guess I will start off by  
28 confirming that, as a market participant, OPG

1 provides information to the IESO, for example,  
2 related to outages and future production?

3 M. CHIDIAC: I can confirm we provide outage  
4 information to the IESO as per the IESO market rules.  
5 We do not provide production information to the IESO  
6 -- or production forecasts, I should say.

7 T. EMINOWICZ: It is OEB Staff's understanding  
8 that under the market rules, to support the IESO's  
9 planning documents such as the reliability outlook or  
10 annual reliability assessments, market participants  
11 provide information to support those IESO  
12 undertakings?

13 M. CHIDIAC: That is correct. That is generally  
14 outage information and availability and capacity  
15 factors, that type of information.

16 T. EMINOWICZ: Does that information also  
17 provide, like, production like megawatt hours over a  
18 future period?

19 M. CHIDIAC: I don't believe so, but I am not  
20 positive.

21 T. EMINOWICZ: So OEB Staff understands that the  
22 IESO has, at minimum, an annual process where market  
23 participants provide information to the IESO to  
24 support the reliability outlook, and I believe the  
25 IESO references a Form 1230. And in our -- just for  
26 the transcript, I see nodding heads, at least one.

27 If you are able to -- like, isn't there a  
28 megawatt hour component to that information that

1 market participants provide to the IESO?

2 M. CHIDIAC: I think that is something we could  
3 check at break and get back to you on. I don't know  
4 off the top of my head.

5 T. EMINOWICZ: So it is our understanding that  
6 this type of information would support, like, for  
7 example, the IESO reliability outlook and would  
8 contain at least some view of future production that  
9 the IESO uses for the reliability outlook. So, for  
10 example, there is production information by fuel type  
11 that is provided in those reports and supporting  
12 tables. And it is OEB Staff's understanding that  
13 that information comes directly from market  
14 participants, that the IESO wouldn't come up with  
15 their own megawatt hour forecasts to support their  
16 reliability outlook.

17 And so what I am asking is if OPG could provide  
18 for some sort of -- I assume that this is a future  
19 outlook of at least 18 months because that is the  
20 term of the reliability outlook, and from the  
21 information on the IESO website, this, at minimum,  
22 has to be provided on April 1st annually with any  
23 subsequent updates afterwards. And we are asking if  
24 OPG would provide the production forecasts that were  
25 supplied to the IESO under these market rules.

26 D. COBAN: I think one of the things we maybe  
27 asked Mr. Chidiac to speak to is if this data that  
28 you are providing to the IESO is on a combined basis

1 in terms of prescribed assets and non-prescribed  
2 assets. I think that will -- you know, from looking  
3 to get information that is submitted on a combined  
4 basis and includes assets that are with -- outside of  
5 the scope of this proceeding, obviously we have some  
6 concerns with that.

7 T. EMINOWICZ: Understandable. It is our  
8 understanding that this is a document that the IESO  
9 receives from market participants on a facility  
10 basis. So we would not expect or request any  
11 information related to non-regulated stations.

12 D. COBAN: I think at most we can do right now  
13 is take this away at the break and see what can be  
14 done. So not prepared to give you an undertaking on  
15 it because I think there is some clarification that  
16 might be required at the break in terms of this  
17 particular set of information you are referencing.

18 T. EMINOWICZ: Thank you.

19 Sorry, just give me a moment to calibrate as I  
20 am planning to scrub time here.

21 Okay. Final kind of set of questions for me on  
22 this topic. If we could go to E1-Staff-136, part C,  
23 please. And so in the question -- or in the  
24 interrogatory, OEB Staff requests OPG to confirm that  
25 the 2027 production forecast would be the basis for  
26 the water conditions variance account for the entire  
27 term.

28 And then in the response, OPG confirms this.

1           And so I would like to kind of build on Ms. Li's  
2 question about the upgrades or improvement to the  
3 production forecast, and I would just like to  
4 generally confirm whether any of those upgrades that  
5 were discussed with Ms. Li are affected by water  
6 flow. Like, do changes in water flow affect any of  
7 those items that were discussed with Ms. Li?

8           M. CHIDIAC: Yes, any production increase  
9 resulting from capacity or efficiency increases would  
10 be impacted by water flow.

11          T. EMINOWICZ: Okay. Thank you.

12          And then the other thing that Ms. Li kind of  
13 asked about was capacity increases. And so I would  
14 like to confirm OEB Staff's understanding that under  
15 the water conditions variance account, for example,  
16 how we discussed Otter Rapids, if there is an actual  
17 increase in the capacity of a hydroelectric  
18 generating station but that is not reflected in the  
19 production forecast, that underlies the water  
20 conditions variance account, is it correct that the  
21 variance account is agnostic to that change; like, it  
22 can't capture that variance?

23          M. CHIDIAC: I would agree with that statement.

24          T. EMINOWICZ: Thank you.

25          And then the other variance account that is  
26 listed here is the surplus base load generation  
27 variance account. So, again, in the most general  
28 terms at the resolution I just asked, if there is a -

1 - if there is an increase in the capacity of a  
2 generating station, would this variance account  
3 capture it or would it be equally agnostic as the  
4 water conditions variance account?

5 M. CHIDIAC: The SBGVA methodology would capture  
6 those increases just based on due to different  
7 methodologies and used in terms of calculating those  
8 amounts.

9 T. EMINOWICZ: Thank you.

10 The third item that is kind of listed in the  
11 response is the changes of laws deferral account.  
12 And, again, trying to just understand at a general  
13 basic level, how could -- how could changes in law  
14 affect or be an input into the production forecast?

15 M. KIRK: Can we turn up Exhibit H1-1-1, page  
16 61. And I am not sure if you need this reference,  
17 Mr. Eminowicz, but we do give an example in Exhibit H  
18 about potential change in law. Sorry. I will wait  
19 for this to come up. That is perfect. Thanks.

20 So you can see on line 16, there is some  
21 discussion around potential changes to *Endangered*  
22 *Species Act*, and continuing on from line 25,  
23 potential changes there. And through that  
24 discussion, this is potential impacts on OPG-  
25 regulated hydro stations, and there could be some  
26 potential impacts on production in that case.

27 T. EMINOWICZ: Thank you very much. That is all  
28 that I have.

1 M. MILLAR: I think we are moving -- thank you,  
2 Mr. Eminowicz.

3 We are moving now to Ms. Zhu, who I see there.  
4 Tina, would you mind introducing yourself. I am not  
5 sure if the court reporter has caught that yet.

6 **EXAMINATION BY T. ZHU:**

7 T. ZHU: Thank you, Mr. Millar. My name is Tina  
8 Zhu. I am a senior advisor at the Ontario Energy  
9 Board. I have a few questions. They are relating to  
10 the hydroelectric FTEs and the project OM&A.

11 First, could we pull up F1-Staff-164, please.  
12 So in the preamble of the interrogatory, OPG states  
13 that hydroelectric overhaul projects are typically  
14 required every 25 to 30 years.

15 And now could we move to interrogatory response  
16 Chart 1. So on the chart, it is showing the overhaul  
17 project OM&A spending. The spending is showing an  
18 upward trend since 2021, and the trend is keep going  
19 all the way to 2027, so it is going for seven years  
20 so far.

21 My first question, could you explain what is the  
22 time duration for OPG to complete this round of  
23 overhaul projects? Because it has been going for  
24 seven years, and it is happening every 25 years. So  
25 we want to understand the pacing of your overhaul  
26 projects.

27 N. PENDER: If I could refer you to D1-1-2 --  
28 sorry -- yeah, sorry -- D1-Staff-311, please. Yeah,

1 that is D1-Staff-311. My apologies. So if I just  
2 refer you to lines 9 and 10, we describe overhauls  
3 are typically required every 25 to 30 years. So --  
4 and we do this at a planning horizon to sustain the  
5 reliable operation of turbine generator equipment and  
6 related systems. This is in line with effectively  
7 what you will see in industry guidance from external  
8 third parties, CEATI. That is typically the planning  
9 horizon when you think about hydro assets.

10 So when you look at the fleet and you look at  
11 the nature of the program, we have 207 units  
12 operating across the province in over 50 stations.  
13 In this rate period we have coming up, we are doing  
14 roughly 53 units. So just sort of rough math, we are  
15 doing about a quarter of the fleet. So this is a  
16 rate case of seven years.

17 So, again, just to kind of extrapolate it out a  
18 little bit, if we are doing a quarter of the fleet in  
19 seven years, you could make a reasonable assumption  
20 you would do the entirety of the fleet over, let's  
21 call it, 28 years, 30 years for convenience. So we  
22 are entering a phase of refurbishment, but in  
23 reality, if our objective is to sustain the reliable  
24 operation of turbine generator equipment and related  
25 systems, effectively, the cyclical nature of this  
26 investment is -- should continue.

27 So the question of when does it start and when  
28 does it stop is somewhat of a moot point. There will

1 be periods of more activity and periods of less  
2 activity, but I don't think I could say, on date X,  
3 it started; on day Y, it stops. It is somewhat  
4 continuous in nature.

5 T. ZHU: Thank you for the explanation. Because  
6 OPG doesn't provide the project OM&A details beyond  
7 2027.

8 So based on your response, I do want to better  
9 understand if you anticipate the overhaul project  
10 OM&A continue to show a high spending trend in 2028  
11 all the way to 2031, because this relates to the  
12 fundamental overhaul, the hydroelectric payment  
13 impact.

14 N. PENDER: I will pass to my colleague Ms.  
15 Hannon.

16 M. HANNON: Thank you. If you can refer to IR  
17 A1-SEC-012, it provides the total project OM&A for  
18 '27 to '31.

19 T. ZHU: So thank you for pointing this out  
20 because I guess my question was more specific about  
21 the overhaul project OM&A. I believe here is the  
22 high-level project OM&A, yeah. But if this is the  
23 level that you provide, I understand. Thank you.

24 Okay. And now could we continue with the same  
25 interrogatory, so that is F1-Staff-164. I want to  
26 look at Chart 2. So the Chart 2 is showing the  
27 refurbishment project OM&A spending. As we can see  
28 on the chart, the spending was very immaterial up

1 until 2025. And if you move to the next page,  
2 please. So suddenly in 2026 and 2027, OPG is  
3 anticipating an increase in refurbishment project  
4 OM&A.

5 In the same interrogatory response, OPG  
6 responded that for the removal costs to remove the  
7 existing assets, they are treated as OM&A costs. So  
8 I do want to understand if you could clarify the  
9 reason for refurbishment project OM&A increase in  
10 2026 and 2027 is due to the increasing of the removal  
11 costs of the existing hydro assets.

12 M. HANNON: That is correct.

13 T. ZHU: Could you further explain compared to  
14 prior years, say, between 2025 to 2026, it is only  
15 one-year difference, but why within the one year, the  
16 removal costs that would be treated as OM&A in  
17 refurbishment projects suddenly increases for over  
18 ten times?

19 M. HANNON: So the significant increase that you  
20 see in 2026 and '27 is directly tied to the execution  
21 phase of our major refurbishment project. So when  
22 they start the execution, that is when the demolition  
23 and everything starts. So currently in '24/'25, we  
24 are in the planning, we are in the development stages  
25 of most of our larger refurbishments, where the  
26 bigger dollars start towards the end of this year and  
27 into 2026.

28 T. ZHU: Thank you for the explanation. Because

1 I do understand that the hydroelectric business has  
2 started refurbishment work since 2021.

3 But if we look at the actual refurbishment  
4 project OM&A, the spending was very small from 2021  
5 all the way to 2025. Would that mean in the prior  
6 years, there was no project moved to execution phase  
7 of the refurbishment project work?

8 M. HANNON: No, that is not correct. There  
9 would have been definitely projects that were in  
10 execution. The cost would have just been minimal.

11 T. ZHU: Yeah, so I think that is part of the  
12 question that I wasn't sure, prior year versus now  
13 versus a year later, why the asset removal costs  
14 suddenly increased so much. Would you be able to  
15 clarify whether there is a portion to do with the  
16 labour cost increase or anything to do beyond the  
17 workload itself, like, any market factors here?

18 M. HANNON: No. I wouldn't say that labour is a  
19 component of it. It is more the amount of removal  
20 that we are doing. So as we are going into these  
21 large refurbishments, for example, the Sir Adam Beck,  
22 where we are doing significant refurbishments or  
23 redevelopments, we are removing a significant portion  
24 of that equipment.

25 T. ZHU: Thank you.

26 And now I want to look at F1-Staff-174, please.  
27 So in this interrogatory, originally the OEB Staff  
28 was asking if OPG could provide a breakdown between

1 the inflationary factor and the workload factor that  
2 could explain the project OM&A escalation year over  
3 year. So in the interrogatory response, OPG is  
4 saying that the project OM&A costs attributable to  
5 market inflationary-related impacts cannot be  
6 isolated.

7 So based on OPG's response, I further explored  
8 your pre-filed evidence from Exhibit A2, Tab 2,  
9 Schedule 1, Attachment 2. And page 10, please. I  
10 think I will say that again. So that is Exhibit A2,  
11 Tab 2, Schedule 1, Attachment 2, page 10.

12 So on the page 10, the table showing inflation  
13 assumptions on the right side, funding area OM&A, OPG  
14 is saying that the inflation is indexing based on  
15 existing contracts or supplier estimates or 4.5  
16 percent if estimate is not available.

17 So based on the assumptions that OPG made in the  
18 business plan versus the interrogatory response in  
19 Staff-174, I want to further clarify how OPG  
20 determined the 4.5 percent as the project OM&A  
21 escalation and how much of the regulated  
22 hydroelectric project OM&A escalation year over year  
23 is based on the 4.5 percent versus it is based on the  
24 existing supplier or contractor's estimate.

25 M. HANNON: I think I get what you are asking.  
26 Okay. So the 4.5 percent escalation for procurement  
27 was provided through an analysis that was done  
28 through our supply chain team. 4.5 was determined to

1 be a reasonable estimate across the board.

2 If you do look at IR F1-Staff-177, it does speak  
3 to very specific indices that are impacted in the  
4 renewable generation equipment procurement. This  
5 percentage has been applied in a business plan on our  
6 purchase services. Our labour has been done  
7 separately. So I don't have in front of me the  
8 breakdown specifically between labour or procurement  
9 material, et cetera.

10 T. ZHU: Thank you for the answer.

11 And now I have a couple of more questions. They  
12 are to do with the FTEs.

13 First, could we go F1-Staff-172, please. In the  
14 interrogatory response, OPG is saying that the 2025  
15 budget versus actual regulated hydroelectric regular  
16 and the no-regular FTE, that the actual is lower than  
17 budget by 98.4.

18 My first question, could you provide which job  
19 functions are currently understaffed and what is the  
20 impact to 2026 and the 2027 business plan due to the  
21 actual FTE behind budget. Specifically, I want to  
22 understand, for those jobs that are currently under-  
23 budgeted, understaffed, are they mainly to do with  
24 the jobs in the day-to-day operation at the hydro  
25 station or they are to do with the project works that  
26 hydro business is picking up over the last few years?  
27 Thank you.

28 M. HANNON: Thank you. I will start, and then I

1 will pass it over to Mr. Pender to finish it up.

2           So out of the 98 FTEs that we are under for  
3 2025, approximately 20 of those FTEs relate to base  
4 OM&A work. Out of that 20 FTE, there is about 18  
5 that were under in the engineering job family  
6 specifically. The remaining 78 FTEs that we are  
7 under is in our capital -- both project OM&A and our  
8 capital portfolio. A lot of that was intentional.  
9 Some of our project timing and schedules were delayed  
10 and deferred; therefore, we made the intentional  
11 decision to hold off on bringing in those FTEs until  
12 the projects were fully up and running.

13           So I will pass it on to Mr. Pender now to speak  
14 to -- I think your second part of the question was  
15 the work program. Thank you.

16           N. PENDER: So I think Ms. Hannon has described  
17 the capital impact, so roughly 60 FTE, so call it  
18 two-thirds. From a base perspective, really in two  
19 areas, it has had an impact. We talked about  
20 predominantly in engineering is where the underage  
21 is, and that is really on our equipment reliability  
22 program. So we talked this morning about equipment  
23 health monitoring, E-health, ELCM, and providing  
24 support to stations. We have not -- we have focused  
25 on our largest stations at the outset, and really the  
26 slight temporary delay receipt of those staff is just  
27 slowed up the rollout to other station sets.

28           So predominantly from an operations perspective,

1 it has had an impact in what we call our excellence  
2 plan, which is really a set of criteria in our  
3 business of how we are focusing on getting better,  
4 and that -- the reference for that is F1-SEC-151. We  
5 don't need to go there, but I just wanted to just put  
6 it on the record. So really, it is really about our  
7 drive for excellence. Just some of the challenges of  
8 bringing in the engineering staff means we haven't  
9 done it quite as quickly as we would have hoped.

10 T. ZHU: And thank you for that answer. Because  
11 now it is near the 2026, and OPG filed in the pre-  
12 filed evidence of its original 2027 plan in the OM&A  
13 FTEs and the capital FTEs.

14 As an undertaking request, would it be possible  
15 for OPG to provide an updated 2027 FTE plan breakdown  
16 into the OM&A FTE and the capital FTE that would  
17 incorporate the reality that the actual FTEs  
18 currently at the hydroelectric business is below the  
19 original budget and the original plan?

20 M. HANNON: Can I just clarify your ask? Is it  
21 to restate what you are believing we should change  
22 our plan to, or is it giving you what we have as of  
23 today?

24 T. ZHU: So since the last time we heard from  
25 OPG, that was the time where you replied the  
26 interrogatory --

27 M. HANNON: Right.

28 T. ZHU: -- at that time, the actual FTE was

1 still behind the 2025 budget. And because now we are  
2 halfway through 2026, so I believe it will take time  
3 for OPG to hire FTEs that will be able to reach the  
4 original level that you guys budgeted as 2026 and  
5 what you planned for 2027.

6 According to our conversation just happened now,  
7 it seems that OPG is potentially holding back some of  
8 the hirings until later when it is mature.

9 So based on all these conversations, I am  
10 wondering if it is necessary for OPG to provide an  
11 updated 2027 plan for the hydroelectric FTEs into the  
12 OM&A FTE and the capital FTE that reflects the  
13 reality.

14 S. ZADEH: Ms. Hannon, maybe I can offer --  
15 perhaps we can take an undertaking to explain how we  
16 are going to catch up or expand further on the  
17 explanation that you and Mr. Pender provided, and  
18 perhaps we can give maybe a current view on the  
19 current FTE levels. But I don't believe a reforecast  
20 of the 2027 amounts we will be doing.

21 T. ZHU: Okay. Thank you. I think that is a  
22 reasonable undertaking. Thank you.

23 M. MILLAR: That will be JT-1.14.

24 **UNDERTAKING JT-1.14: PROVIDE AN EXPLANATION OF**  
25 **HOW OPG EXPECTS HYDROELECTRIC FTE LEVELS TO**  
26 **CATCH UP TO THE BUDGETED 2026 AND PLANNED 2027**  
27 **LEVELS, INCLUDING CURRENT HYDROELECTRIC OM&A AND**  
28 **CAPITAL FTE LEVELS**

1 T. ZHU: And I have last two questions.

2 Could we go F1-CCMBC-002, please. I want to  
3 look at part A of the response. It is showing that  
4 regular staff in capital increased by 188.6 FTEs.

5 In my understanding, capital FTEs work for  
6 projects, and the projects are defined as temporary  
7 in nature. And if this is the case, could you  
8 explain why the 188.6 FTEs were hired as regular FTEs  
9 if that means OPG's intention is these additional  
10 capital FTEs will be kept in the hydroelectric  
11 business on an ongoing basis after the project work  
12 concludes?

13 M. HANNON: So it was decided to bring in these  
14 188.6 FTEs full-time because, as Mr. Pender mentioned  
15 before, we are starting on a very long refurbishment  
16 program where we have regular full-time FTEs. The  
17 benefit that can be provided from using the same  
18 staff on sequential units is deemed to be more  
19 beneficial than bringing in temporary employees that  
20 turn over every two years.

21 T. ZHU: Could you elaborate when you say OPG is  
22 anticipating a long term of refurbishment work, so  
23 how long that time duration will look like?

24 N. PENDER: Maybe we could refer back to the  
25 record 30 minutes ago where we talked about the  
26 construct of when the program starts and finishes. I  
27 said it is very hard to define when it starts and  
28 when it finishes. It is somewhat continuous in

1 nature.

2 We talked about we are doing roughly a quarter  
3 of the fleet in the next rate period. And we  
4 extrapolated from that that if we do a quarter in,  
5 let's say, sort of seven years, it is not  
6 unreasonable to say in about 30 years, we would do  
7 the whole fleet. And then we talked around the  
8 planning guidance from CEATI and the U.S. Army Corps  
9 of Engineers that about 25 to 30 years is a sensible  
10 planning horizon for refurbishments.

11 To build off Ms. Hannon's question, it is  
12 reasonable to assume, subject to asset condition, as  
13 we spoke about earlier, that we would be in a cycle  
14 of refurbishments. And, again, we are really doing  
15 that to -- if we refer to evidence here on page --  
16 line 34, our core objective is to sustain 1,500  
17 megawatts of the existing regulated hydroelectric  
18 fleet from a capacity perspective and add an  
19 incremental sort of approximately 50 megawatts.

20 So on the assumption that we are going to meet  
21 that strategic objective, it is a reasonable  
22 supposition that having regular FTE, we think, is a  
23 more prudent way of driving our efficiency in our  
24 projects over time as opposed to having temporary FTE  
25 who will cycle through more regularly.

26 T. ZHU: So thank you so much for the  
27 explanation.

28 In the same response, it is showing that the

1 OM&A regular FTEs increased by 173.3. In the  
2 response the narrative, OPG is saying that -- it is  
3 on the third paragraph of the response -- it says the  
4 173.3 increase reflects the addition of personnel  
5 across project management, operation, maintenance,  
6 engineering, as well as address the recommendations  
7 from the auditor general's 2022 value for money  
8 audit.

9 My first question, could you explain how many of  
10 the 173.3 FTE increase is supported by the auditor  
11 general's 2022 value for money audit?

12 N. PENDER: I can't do it specifically because I  
13 don't have the information to hand, but I would  
14 happily give you generalizations if that is helpful.

15 T. ZHU: So why not -- if we could take it as an  
16 undertaking request. If you could provide the  
17 specific section from the 2022 value for money audit  
18 report that is showing that the recommendation is OPG  
19 needs to add certain personnel into the hydroelectric  
20 business to support its ongoing operation, since like  
21 that, if that is possible.

22 N. PENDER: So we can turn to the auditor  
23 general report and look at the recommendation, but  
24 that report does not specify a specific number of FTE  
25 to go and do an activity. So that wasn't a  
26 recommendation from the AG.

27 There was a recommendation to address a backlog  
28 and work deferral. We can pull up if needs be to go

1 and look at the specific recommendation. But it  
2 wouldn't give you the exact number of FTE required do  
3 that. That would have been a decision from within  
4 the business to meet the requirements of that  
5 recommendation.

6 T. ZHU: I see. So the recommendation is a  
7 general recommendation, then OPG came up with its own  
8 analysis and hired so many FTEs coming on board.

9 So is it possible that, as an undertaking, you  
10 could provide more reasonings on how you determined  
11 that you needed to hire 173.3 FTEs as OM&A and 188.4  
12 FTEs as capital over the last few years that would be  
13 able to address the recommendations saying that OPG  
14 needs to catch up with the backlogs?

15 N. PENDER: So the auditor general came in in  
16 2022. They did a 2024 follow-up, a check-in. We  
17 haven't completed the five-year review of that  
18 process with the auditor general. So I will leave it  
19 to our counsel to guide whether we can answer this  
20 question.

21 D. COBAN: If I understood your question  
22 specifically, you are looking for a more detailed  
23 explanation of the FTE increases that you took us  
24 through and sort of how they are connected to the  
25 auditor general's recommendations of being able to  
26 implement those recommendations. I think subject to  
27 the qualification that some of that work is ongoing,  
28 we can on a best efforts undertake to provide

1 additional explanation.

2 T. ZHU: So I think right now -- because we are  
3 determining payments for the next five years, so we  
4 want to get enough information and the evidence that  
5 is supporting the FTEs that you put in the plan in  
6 2027. And that plan is built on what was the actual  
7 FTE that is building up over the years; right?

8 D. COBAN: Understood. So you are looking for  
9 not just the auditor general but sort of a more  
10 fulsome explanation of all the drivers behind those  
11 FTEs?

12 T. ZHU: Yes, please.

13 D. COBAN: Yes.

14 M. MILLAR: That is JT-1.15.

15 **UNDERTAKING JT-1.15: ADVISE HOW OPG DETERMINED**  
16 **WHETHER THEY NEEDED TO HIRE 173.3 FTES AS OM&A**  
17 **AND 188.4 FTES AS CAPITAL OVER THE LAST FEW**  
18 **YEARS**

19 T. ZHU: And that is all of my questions. Thank  
20 you so much.

21 M. MILLAR: Thank you.

22 I think we are almost done, but I think one  
23 question got punted away from this panel and then  
24 perhaps punted back to Mr. Eminowicz. So over to  
25 you.

26 **EXAMINATION BY T. EMINOWICZ:**

27 T. EMINOWICZ: Thomas Eminowicz, Ontario Energy  
28 Board Staff.

1 Yes, so with the benefit of side discussion, I  
2 am back. So I have been asked to revisit my question  
3 that I was having with the Panel about the details of  
4 some projects and the components of refurbishment  
5 projects.

6 So I think, especially for me, to help kind of  
7 jog my memory, if we could please go to Exhibit D1-1-  
8 2, Attachment 1, Tab 8. This should be the Otter  
9 Rapids G1 overhaul and refurbishment. And in the  
10 recommendations section for this project, we were  
11 generally talking about maintenance and operating  
12 costs relating to the Otter camp and the road.

13 And so I guess to kind of pick up where we left  
14 off, I just wanted to confirm how common is it for a  
15 project to overhaul and refurbish a generating unit  
16 like this, as an example, to include work that is not  
17 directly related to the actual, like, generating  
18 equipment.

19 N. PENDER: I am not sure I can answer how  
20 common, but I can give you some context. So Otter  
21 Rapids is, as we discussed earlier, broadly in the  
22 middle of nowhere. So if we want to bring large  
23 equipment to site, you either choose road or rail or  
24 water. The only option here is road or flying it in.

25 So a prerequisite for doing this refurbishment  
26 work, we are talking about heavy engineered equipment  
27 that is heavy and bulky. So to commence that work,  
28 there will be activities required to enable staff to

1 get to site, equipment to get to site, provision of  
2 health and safety requirements. So in the case of  
3 Otter Rapids, this is the camp, the road, the staff;  
4 they are all necessary to undertake the  
5 refurbishment.

6 T. EMINOWICZ: Yes, thank you. That is  
7 certainly helping my memory.

8 And so what I think I had kind of asked as a  
9 follow-up was relating it back to the eligibility of  
10 a project for the capacity refurbishment variance  
11 account, and I thought I had understood that the  
12 assessment at the very least could or generally is  
13 done kind of at a detailed level where components of  
14 the project could be assessed for whether it is  
15 eligible for variance account treatment.

16 And I had asked for some sort of summary or  
17 identification of the projects in the IR term, so in  
18 2027 to 2031, where there would be examples of  
19 subcomponents, where certain portions of a CRVA-  
20 eligible project may not have, like, those certain  
21 subcomponents eligible for variance account  
22 treatment.

23 So I assumed I was asking for an undertaking for  
24 the period, and if there was none in the period, I  
25 was asking for just any general example to understand  
26 how that happens.

27 M. HANNON: Thank you. So I don't have that in  
28 front of me, so I will have to get back to you on

1 that.

2 Typically what we would do is look at the scope  
3 of the project and then determine the eligibility.  
4 For many of the projects that are in our plan  
5 currently, they are unallocated, right, so the scope  
6 hasn't been fully defined, and we are just taking it  
7 as a general assumption that it is eligible. I can  
8 take that back, though, for you and get an answer.

9 T. EMINOWICZ: Yeah, thank you. I am just  
10 looking for examples of projects to just illustrate  
11 how that comes about.

12 M. HANNON: Thank you.

13 M. MILLAR: The undertaking is JT-1.16. Could  
14 we have a recitation again of what the undertaking is  
15 for?

16 T. EMINOWICZ: Yeah. I was asking for examples  
17 of projects that are identified as eligible for  
18 capacity refurbishment variance account treatment  
19 where there are components of the project that are  
20 not eligible for variance account treatment. And if  
21 there are none in the proposed term or the plan that  
22 is presented, just any example from the past if there  
23 is nothing that is easy or available in the future  
24 term.

25 M. MILLAR: Okay.

26 **UNDERTAKING JT-1.16: PROVIDE EXAMPLES OF**  
27 **PROJECTS THAT ARE IDENTIFIED AS ELIGIBLE FOR**  
28 **CAPACITY REFRUBISHMENT VARIANCE ACCOUNT**

1           **TREATMENT WHERE THERE ARE COMPONENTS OF THE**  
2           **PROJECT THAT ARE NOT ELIGIBLE FOR VARIANCE**  
3           **ACCOUNT TREATMENT, AND IF THERE ARE NONE IN THE**  
4           **PROPOSED TERM, PROVIDE ANY EXAMPLE FROM THE PAST**

5           T. EMINOWICZ: And so the kind of follow-up that  
6 I had on that was related to just the idea of the  
7 generality, as Mr. Pender was explaining, the  
8 beautiful yet remote part of the province where Otter  
9 Rapids is.

10           In Exhibit D1-1-2, Table 1, which is where we  
11 have kind of, like, the list of projects, we have, I  
12 think, almost or just over \$4 billion of capital  
13 expenditures summarized, I think -- that is Column I,  
14 as in "India."

15           And then in Column M, as in "Michael," there is,  
16 I think, almost \$2.5 billion of capital in-service  
17 additions for these projects.

18           And I was just wondering if OPG would be able to  
19 somehow give a sense of the proportions of, like,  
20 these amounts where there is project work but where  
21 the actual tasks are not directly related to  
22 generating equipment.

23           N. PENDER: So I will kind of take a step back.  
24 So we talked around Aguasabon this morning, if I  
25 recall. That is a surge tank to supply water to the  
26 generating facility to undertake its intended purpose  
27 to generate power. We have got dams that hold water  
28 to provide fuel to the stations to create power. I

1 think you can see where I am going.

2       There is a system involved with generating  
3 power. So there is a turbine, and it has equipment,  
4 electrical, that allows it to be distributed out.  
5 So, for me, if we want this product, this product has  
6 a certain system requirement to have fuel, do it  
7 safely, leave site. So our work to do that is  
8 predicated on the function of power generation. That  
9 is the business we are in. So I think we -- to draw  
10 a distinction to say, That is power generating, That  
11 is not power generating, is a highly subjective  
12 perspective. So I am not sure how to be helpful in  
13 your question.

14       T. EMINOWICZ: Well, maybe if it is easier to  
15 just focus on the work that is easily attributable to  
16 the generating equipment, however your judgment would  
17 interpret applicability to -- so, for me, generating  
18 equipment is equipment that is used to generate and  
19 then inject electricity into the IESO system. So,  
20 like, a road, even though it is necessary for the  
21 project to get -- to bring the equipment, the road  
22 itself is not equipment required to generate energy  
23 and inject it into the grid.

24       N. PENDER: I would a hundred percent agree with  
25 you. Can I give you an alternative terms of  
26 reference? To maintain that station and to have it  
27 providing electricity into the grid, I need to get  
28 people to site. How I choose to get people to site

1 is one of cost prudence. There are multiple ways to  
2 transport people. Road is a fairly economic means to  
3 transport people to a site. So we can -- there is  
4 delineations of directness in the orders of  
5 magnitude, how far you go back. And I feel like I am  
6 being difficult; I am really not.

7 I am just trying to understand, where do you --  
8 where do you cap the system at this is power  
9 generation, and this is something else linked to  
10 safety systems, public safety systems, regulatory  
11 systems, environmental systems all for the purpose of  
12 power generation, because that is the game we are in.  
13 The delineation is a real problem for me.

14 T. EMINOWICZ: I would leave it to your judgment  
15 of how to delineate, like, the physical thing that is  
16 used to generate and convey energy. I will just  
17 leave it at that. Up to you if you think that is an  
18 undertaking you can take, or I will just drop it.

19 D. COBAN: No. I don't think it is a proper  
20 undertaking on the exchange we had. You know, OPG's  
21 position is that the work is eligible for CRVA. If  
22 in the course of a detailed assessment, something is  
23 identified as not being eligible, as Ms. Hannon  
24 called out, you know, that will be brought forward in  
25 the normal course. But to try to delineate at this  
26 point in time on some kind of distinction, I think,  
27 would be unhelpful.

28 T. EMINOWICZ: Thank you. That is all for me.

1 Thank you.

2 M. MILLAR: Thank you, Mr. Eminowicz. And I  
3 think that is it for staff.

4 We will take our afternoon break now for 15  
5 minutes, so until, say, 2:55 or so, and then, Mr.  
6 Rubenstein, you are up. Okay. Thank you.

7 --- Recess taken at 2:39 p.m.

8 --- Upon resuming at 2:55 p.m.

9 M. MILLAR: I see everyone is back, so let's get  
10 started again. Good afternoon, everyone. We are  
11 moving now to School Energy Coalition. I believe it  
12 is actually you, Ms. Scott, who is going to be doing  
13 most of the questions?

14 J. SCOTT: Yes, I am. Can you hear me okay?

15 M. MILLAR: I can hear you, so over to you.

16 **EXAMINATION BY J. SCOTT:**

17 J. SCOTT: Thank you. Though staff did cover  
18 some of our questions, I would like to return to D1-  
19 SEC-041, if we could. And in the response, part A  
20 says:

21 "OPG assesses asset condition through its  
22 equipment health monitoring process for the  
23 hydroelectric system, structures, and  
24 components provided in Attachment 1." (as read)

25 And Attachment 1 is a health monitoring and  
26 reporting procedure. And then in part C of this  
27 response, it states:

28 "Condition assessments are documented in

1 multiple ways. Historically, this has at times  
2 included plant-level assessments that address a  
3 broad range of equipment and were not prepared  
4 for project-specific decisionmaking." (as read)

5 So maybe if we could go to that Attachment 1 and  
6 page 8 of 23. And under "report generation and  
7 format," it refers to these plant-level health  
8 reports. So maybe can you explain what these reports  
9 entail, and if not for project-specific  
10 decisionmaking, then what are these reports for?

11 N. FABPRO: This is Nicole Fabbro. In response  
12 to your question, the plant-level health -- plant-  
13 level health reports essentially would be a summation  
14 of the assessment of condition of major components  
15 inside of the plant and as part of this new process  
16 that we are in varying stages of implementation. On  
17 an annual basis, the engineering team will sit down  
18 with the plant leadership staff and review, based on  
19 a myriad of information, an assessment of the health  
20 of the major components of the plant.

21 With that being said, I would like to  
22 distinguish that engineering will provide an  
23 assessment of asset condition, and based on that  
24 asset condition, the engineering will also recommend  
25 short-term and long-term mitigating actions. And as  
26 I have -- or as I have noted previously on the  
27 record, based on those actions, in some cases, a  
28 greater investment may be required to address the

1 asset, the asset condition. This is, at times,  
2 distinct and separate from a project-based risk  
3 assessment.

4 And I also noted in prior discussions earlier  
5 today that at times, in order to manage some  
6 potential project risks, decisions need to be made  
7 around the appropriate scope of work to be included  
8 in a particular project. So that would be my best  
9 response on how to delineate between the two.

10 J. SCOTT: So -- and on that same page, it talks  
11 about these reports being provided to the regulator,  
12 so I am assuming the regulator is the Ontario Energy  
13 Board, or is it referring to some other regulator?

14 N. FABRO: I do not have the list of the  
15 regulatory bodies that is referenced in page 8 of 23  
16 in Attachment 1 in front of me.

17 J. SCOTT: Well, what we are going to ask for is  
18 that -- could you provide us with a plant-level  
19 health report for the stations related to the  
20 renewable generation projects greater than 30  
21 million, both for those projects that have been  
22 completed before the work was done and the impending  
23 projects.

24 N. FABRO: As I have noted previously, we are  
25 in varying stages of implementation of the health  
26 monitoring and reporting software; however, what I  
27 can provide is a representative example or sample of  
28 what a plant health committee, I guess, slide deck

1 would look like, and that would be in reference to  
2 one of the projects listed in SEC-41, Attachment 3.

3 J. SCOTT: Okay. Well, maybe if you could -- if  
4 for the projects that are listed in Attachment 3  
5 where you have that information, provide it to us. I  
6 guess because the -- like, you know, you have  
7 provided us with Attachment 3, but it is very -- in  
8 some -- well, it is very high level. In some cases,  
9 you know, the condition of the stator is poor to  
10 good, which doesn't really tell us.

11 D. COBAN: Sorry, Ms. Scott. Just trying to get  
12 some instructions here. I think, as we heard from  
13 Ms. Fabbro, we can provide you a representative  
14 sample, but at this time, we are not prepared to go  
15 through that entire list there and sort of go through  
16 it and figure out what is and isn't available. So we  
17 will give you a sample so that you can look at the  
18 rigour of the information, but not able to do the  
19 whole thing.

20 M. RUBENSTEIN: Sorry. Why not? If -- just to  
21 be clear, these are for project -- these are for the  
22 plants where, as I understood the evidence, because  
23 you are implementing this, you will have it for some  
24 plants and not others; is that my understanding?

25 N. FABBRO: That is correct. As I noted  
26 previously, some of these projects were initiated  
27 before we implemented this new live system, if you  
28 will. And as a result, I cannot confirm that a full

1 plant health condition assessment in the new system  
2 is available for every single project listed in  
3 Attachment 3.

4 M. RUBENSTEIN: Yeah, sure. And I guess the  
5 question -- the undertaking we are asking for is for  
6 the projects that Ms. Scott discussed on that table  
7 where you have those reports are available to provide  
8 them. I mean, a representative sample is not really  
9 that -- sample is not --

10 --- Off record discussion

11 M. MILLAR: Ms. Coban, do you want to try to  
12 summarize the undertaking?

13 D. COBAN: Sure. For the information in SEC-41,  
14 we will provide a representative sample of the health  
15 condition report, and we will consider if we are able  
16 to provide anything further than that sample, and if  
17 we can, we will; and if we cannot, we will explain  
18 the basis for the refusal.

19 M. MILLAR: It is JT-1.17.

20 M. RUBENSTEIN: And just so the record is clear,  
21 the request at the second part there that SEC is  
22 seeking is the plant-level health reports that do  
23 exist for all of those projects.

24 **UNDERTAKING JT-1.17: PROVIDE A REPRESENTATIVE**  
25 **SAMPLE OF THE HEALTH CONDITION REPORT IN REGARDS**  
26 **TO SEC-41 AS WELL AS THE PLANT-LEVEL HEALTH**  
27 **REPORTS THAT EXIST FOR ALL OF THOSE PROJECTS**

28 J. SCOTT: So the dates on this procedure are

1 PDF creation date of the -- of 2021/12/01 and a  
2 compliance date of September 1st, 2022. So is this  
3 the first version of this procedure?

4 N. FABPRO: I do not have that information in  
5 front of me.

6 J. SCOTT: If you could undertake to tell us.  
7 Because my second part of the question is, was this  
8 produced in relationship with -- as a result of the  
9 auditor general's value for money audit and in  
10 response to the recommendation that said OPG did not  
11 always assess the conditions of its hydroelectric  
12 stations and address engineering recommendations on a  
13 timely manner?

14 N. FABPRO: Again, similarly, I cannot confirm  
15 or deny any relation to the auditor general report in  
16 the institution of this process at this time.

17 J. SCOTT: Can you undertake to tell us if there  
18 were previous versions of this procedure?

19 N. FABPRO: Yes, I can undertake to provide  
20 confirmation of any prior versions of this health  
21 monitoring and reporting procedure.

22 M. MILLAR: That is JT-1.18.

23 **UNDERTAKING JT-1.18: PROVIDE CONFIRMATION OF**  
24 **ANY PRIOR VERSIONS OF THE HEALTH MONITORING AND**  
25 **REPORTING PROCEDURE, AND PROVIDE AN ASSESSMENT**  
26 **OF THE STATUS OF THE PCA COMPLETION FOR ALL 54**  
27 **HYDROELECTRIC STATIONS TODAY FOR REGULATED HYDRO**

28 J. SCOTT: Thank you.

1           So the -- in the follow-up to the auditor  
2 general's report, it said -- it -- OPG stated that  
3 they had reviewed the completion dates of the plant  
4 condition assessments for all 66. The legacy auditor  
5 general had reviewed that and found that  
6 approximately 20 percent did not have planned  
7 condition assessments completed in the last ten  
8 years. Do all 66 of the stations have PCAs done now?

9           N. FABBRIO: Again, unfortunately, I do not have  
10 direct confirmation in front of me as to completion  
11 of a PCA for all 66 hydroelectric stations.

12           J. SCOTT: Maybe we could add that to the  
13 previous undertaking?

14           N. FABBRIO: I can undertake to provide an  
15 assessment of the status of the PCA completion for  
16 all 66 hydroelectric stations today for regulated  
17 hydro.

18           J. SCOTT: Thank you. Yes, yes, yes.

19           So Attachment 3, staff asked about when assets  
20 that were rated as fair or good were replaced, and  
21 you did respond with the reasons why there may be  
22 reasons for doing that. Just take this one step  
23 further. Is -- does OPG have a process where they  
24 can cost the sort of cost benefit of replacing fair  
25 to good assets under a sort of global outage versus  
26 maybe doing it later on?

27           N. FABBRIO: What I can confirm is as part of the  
28 project management process that we follow and as part

1 of the early phases of planning a project, as with  
2 any project, we will assess risks associated with the  
3 overall project. And one of those risks may be  
4 concealed conditions or the risk of finding a greater  
5 degree than perhaps what we could have planned for.  
6 And that process that we follow to further define the  
7 total scope of the project is provided in D2-1-1.

8 In addition, I would like to highlight -- and if  
9 we could please go to D1-Staff-311, please. And if  
10 we could specifically go to starting at line item 37.  
11 Thank you. So in this undertaking -- or sorry. In  
12 this interrogatory response, we provide a series of  
13 factors that are considered as we move into the  
14 planning of a turbine generator unit overhaul or  
15 refurbishment. And we identify assessment of risks  
16 and a series of bullets on page 3 of 5, lines 3  
17 through 12. So these risks, as I mentioned, are  
18 assessed as part of the project planning process by a  
19 combination of engineering as well as plant staff and  
20 project management staff.

21 J. SCOTT: So does that include the risk of  
22 replacing perfectly good assets? I understand I saw  
23 the concealed -- I understand the concealed  
24 condition, but the idea of replacing a good -- an  
25 asset in good condition that didn't need replacing  
26 and the increased cost of doing that early?

27 N. FABBRO: The project teams in conjunction  
28 with support from engineering would assess the risks

1 versus the benefits of making that decision as part  
2 of the overall project scope.

3 J. SCOTT: Okay. Maybe could we ask for one of  
4 the projects, and maybe the Coniston Stinson project  
5 back on that -- the Attachment 3, if you could sort  
6 of provide us with a breakdown of the costs between  
7 fair to good assets being replaced versus poor or  
8 unacceptable assets being replaced.

9 M. SIKSTROM: I think part of that comparison is  
10 already done in the business case for the Coniston  
11 Stinson project in Exhibit D1-1-2, Attachment 1, Tab  
12 5. So in that BCS, it presents a number of different  
13 alternatives. So the preferred alternative is  
14 highlighted there with new DIVE units, which is a  
15 type of turbine and generator units, and also  
16 compares that to alternative 4, which is  
17 redevelopment of both sites with new Saxo units.

18 So as part of that description, it compares how  
19 the new technology, which would necessitate replacing  
20 some of the equipment in the SEC-41 attachment that  
21 may be rated fair, with new equipment is due, in  
22 part, to this new -- the new technology that is being  
23 installed at this site. And the cost benefit of  
24 doing so is highlighted between those two  
25 alternatives.

26 J. SCOTT: So does that include replacing the  
27 power transformers which were rated good?

28 M. SIKSTROM: That is correct. The existing

1 power transformers weren't compatible with the new  
2 DIVE-Turbine technology.

3 J. SCOTT: Okay. Well, we will have a look at  
4 that, and thank you for that response.

5 I have some questions related to prioritization  
6 of projects, so if we can go to D1-SEC-43. And in  
7 that, when we asked about the Renewable Generation  
8 Turbine Generator Refurbishment Program, and we  
9 referred to D2-1-1. And so looking at page 4 of 13  
10 of D2-1-1, under "project selection and  
11 prioritization," and it says:

12 "Produce a prioritized list of candidate  
13 projects for inclusion in the business plan  
14 within unallocated capital projects and project  
15 OM&A subject to the business planning approval  
16 process." (as read)

17 So could you explain how allocated capital  
18 projects fit into, then, the prioritization process?

19 M. SIKSTROM: So as we conduct the  
20 prioritization process as part of our business  
21 planning function, projects that already have a  
22 business case approved in the form of allocated  
23 projects, they are at the top of the prioritization  
24 list. Essentially, they are our must-do within our  
25 prioritization process.

26 J. SCOTT: Okay. I did actually see that in --  
27 because you did also refer us to -- I think it is  
28 Staff-311, and I was going to ask about how -- so if

1 you -- if a project that has a business case  
2 approved, that must -- how -- could you not then  
3 approve more than the funds that are available? I am  
4 -- I guess I am -- within the projects that are  
5 approved, how do you prioritize within those?

6 M. SIKSTROM: The projects that already have a  
7 business case approved are prioritized first, and  
8 then remaining capital is then prioritized amongst  
9 the unallocated projects.

10 J. SCOTT: If there is a capital envelope for a  
11 certain year, the ones with approved with business  
12 cases go first. Is there a risk that that is going  
13 to be more than the capital envelope?

14 I guess my question is, is there a master list  
15 of all the projects and a prioritization of all of  
16 those projects?

17 M. SIKSTROM: I guess there were two parts to  
18 your question there, Ms. Scott.

19 The first part with the scenario where if we had  
20 a capital envelope that was less than our allocated  
21 portfolio, then we would work with our allocated  
22 portfolio to manage it within our capital envelope.

23 And your second question related to is there --  
24 do we have a list of projects. We do provide in our  
25 evidence a list of the allocated and unallocated  
26 projects.

27 J. SCOTT: But as far as I can see, there is not  
28 a -- they are not ranked in a certain order.

1           Maybe I can ask this in another way. My  
2 understanding is you are using the Copperleaf 55  
3 program.

4           M. SIKSTROM: That is correct.

5           J. SCOTT: Is that --

6           So based on experience from other, you know,  
7 distribution -- utilities -- distribution utilities  
8 is the Copperleaf 55 produces a score, and they can  
9 provide us with a list that has a score for each  
10 project. Are you able to produce something similar  
11 to that?

12          M. SIKSTROM: So Copperleaf is used to help us  
13 value our potential investments, and we -- it is used  
14 to help us prioritize, as you said, our selection of  
15 unallocated projects.

16          So we did provide that list of unallocated  
17 projects along with their score in IR D2-AMPCO-22.  
18 Lori, perhaps you can bring it up.

19          J. SCOTT: Is that the value framework one?  
20 Yes.

21          M. SIKSTROM: Yeah.

22          J. SCOTT: And that was going to be my -- one --  
23 another question is, is the Copperleaf score the same  
24 as the value framework?

25          M. SIKSTROM: The Copperleaf tool -- we apply  
26 our value framework and use the Copperleaf tool to  
27 help perform those calculations to come up with that  
28 asset and investment net value that is highlighted in

1 the table that we use to help us prioritize our  
2 unallocated investments.

3 J. SCOTT: But only the unallocated investments?  
4 The allocated ones have an approved business case,  
5 and they go first; is that what -- that is what you  
6 are saying?

7 M. SIKSTROM: Yes. In case of -- in the case of  
8 the projects that have an approved business case,  
9 they are prioritized, and they don't form part of the  
10 list that we provided in Attachment 1.

11 J. SCOTT: So maybe could we pull up the AMPCO-  
12 22 spreadsheet just so that I can make sure that I  
13 understand what the numbers are saying.

14 So there is a net benefit -- maybe someone could  
15 make that just a little bit bigger so we can look at  
16 it. And go to the far right. Yeah.

17 So there is a net benefit score and a -- in  
18 dollars and a cost in dollars; correct?

19 M. SIKSTROM: Yeah, the net benefit score is  
20 really a value, the value of -- a summation of the  
21 value of the mitigated risks with the cost of the  
22 investment netted out.

23 J. SCOTT: Okay. Is that similar to a  
24 Copperleaf score, then, that net benefit score?

25 M. SIKSTROM: Yeah, that net benefit score, that  
26 is the score that we look at to help us prioritize  
27 our unallocated portfolio.

28 But I should add just for context, like, we do

1 use Copperleaf as a tool, and these scores, to help  
2 us prioritize. But we do take into consideration  
3 other constraints that we highlight in more detail in  
4 D2-AMPCO-23, resourcing, scheduling considerations,  
5 environmental requirements, and so on and so forth.  
6 So the score does kind of form our foundation for our  
7 prioritization, the unallocated portfolio, but there  
8 are other considerations as well.

9 J. SCOTT: Okay. Thank you very much.

10 If we can maybe move to -- well, I don't know if  
11 we need to pull it up, but A1-CCC-009 in Attachment  
12 11 is the Renewable Generation Turbine Generator  
13 Overhaul Program. And that was an internal -- as I  
14 understand, an internal audit of that program. And  
15 it referred to RG-PROCOP-001, a hydroelectric  
16 optimization procedure document. Has that been  
17 completed?

18 M. SIKSTROM: Could we just scroll down to which  
19 page and line you are referring to in this  
20 attachment?

21 J. SCOTT: Let me -- I don't have the page. It  
22 was in one of the recommendations. If you just  
23 scroll through that document. Key findings...

24 I am sorry, I don't have the page. I don't know  
25 which -- well, in - actually, if you go to A1-4-1,  
26 Attachment 4, which was a summary of the internal  
27 audits. And it says:

28 "Management will continue to develop the

1 hydroelectric optimization procedure document."

2 (as read)

3 M. SIKSTROM: Sorry, Lori, would you mind just  
4 scrolling down --

5 J. SCOTT: Yeah. Attachment 4, page 38 of 89.  
6 No, that is not...

7 There. Yes, right there. "Management will  
8 continue" at the top of the page.

9 M. SIKSTROM: Could you just scroll up one page,  
10 please, Lori, just so I can see. Sorry, just scroll  
11 down again, Lori. I am just trying to find the one  
12 response.

13 D. COBAN: Ms. Scott, just because we have been  
14 trying to dig up the references, would you mind just  
15 restating your question so we have that before us.

16 J. SCOTT: Has that procedure been completed,  
17 and, if so, is there a copy on the record, or could  
18 you provide one if there is not?

19 D. COBAN: And just for our clarity, Ms. Scott,  
20 we had started on this exchange talking about the  
21 overhaul program, but I believe this audit that you  
22 are taking us to now is related to a different topic.  
23 I just want to make sure we are not getting confused.

24 J. SCOTT: This is on the Turbine Generator  
25 Overhaul Program and prior --

26 D. COBAN: No. The audit you pointed us to is  
27 on the generation revenue planning. So the reference  
28 you are pointing us to is related to a different

1 scope.

2 J. SCOTT: Sorry, page -- no, I am sorry. Yeah.  
3 That was -- well, I am -- just I am still looking for  
4 the RG-PROCOP-001, hydroelectric optimization  
5 procedure document, is what I was looking for.

6 D. COBAN: I think without a reference, it is  
7 hard for us to really understand if that is an  
8 undertaking we can give you. So perhaps you can come  
9 back to us with that reference, and we will consider  
10 the undertaking.

11 J. SCOTT: Okay. I will do that, then.

12 D. COBAN: Thank you.

13 J. SCOTT: Okay. If we look at the summaries of  
14 the internal audits, and specifically related to  
15 maintenance and work orders. So in the internal  
16 audit, I think 20-19, renewable generation and power  
17 marketing asset management and maintenance follow-up,  
18 the finding was that a significant number of  
19 maintenance work order tasks remain backlogged.

20 And the 22-11, there was a -- there was a  
21 statement saying there is no formal documented plan  
22 to reduce work order task backlogs. And there was a  
23 similar recommendation in the 2022 audit -- auditor  
24 general's recommendation number 3, action item 1. So  
25 in that 2022 auditor general's recommendation number  
26 3, the back load of work orders was 9,500 at the end  
27 of 2021.

28 So my question is, can we get an update on that?

1 But related to that, my understanding, there is --  
2 and the nuclear benchmarking annual report includes  
3 tracking of the back load of maintenance work orders.  
4 Is there something similar for hydroelectric that  
5 tracks the maintenance work orders and where -- the  
6 status of them?

7 N. PENDER: Can I just verify recommendation  
8 number 3 from the AG report was to deal with Ontario  
9 Power Generation and IESO? Can you just give me the  
10 reference, please. I am just trying to track it  
11 down.

12 J. SCOTT: Yeah. I am -- and I am looking at --  
13 this is F1-AMPCO-090, the follow-up on the 2022  
14 performance audit. And recommendation number 4 was:

15 "To better monitor, track, and complete  
16 maintenance work on its hydroelectric  
17 generation fleet." (as read)

18 And that is where the reference to the back load  
19 was approximately 9,500 work orders at the end of  
20 2021.

21 So there is no page numbers on this. It is just  
22 -- it is item 3:

23 "The aging of hydroelectric stations and  
24 equipment has led to a continuous backlog of  
25 work orders which could result in increased  
26 maintenance cost." (as read)

27 N. PENDER: So I have just gone to the AG  
28 follow-up report from 2024.

1 J. SCOTT: Mm-hmm. Right. So then -- yes.

2 N. PENDER: And there was a recommendation 4 on  
3 page 7 of 23, action item 1.

4 J. SCOTT: Right. That is the page I was  
5 looking at, yes.

6 N. PENDER: So -- and I think it -- yeah. It  
7 references a legacy position as of 2021, some 9,500  
8 work orders. The account from here was that  
9 recommendation 4, action item 1 fully implemented,  
10 and so we have reviewed and revised our work  
11 management procedures to ensure appropriate work  
12 prioritization and completion by due dates.

13 And then it lists a couple of examples around  
14 work management, master data procedure was revised in  
15 June 2023.

16 And then the bullet below around work  
17 management, assessing, planning, and scheduling  
18 procedure was revised in February 2024, and I note  
19 that the AG had classified this as fully implemented.

20 J. SCOTT: Right, but my question was, is there  
21 an update on the number of the backlog of -- the  
22 number of maintenance work orders, and if -- a  
23 backlog, if it still exists or not?

24 N. PENDER: This is something I don't  
25 [indiscernible] something we could undertake to  
26 provide.

27 J. SCOTT: So there is no -- there is no  
28 equivalent report to this, as part of the

1 hydroelectric annual report or anything, that  
2 includes tracking of the back load of maintenance  
3 work orders?

4 N. PENDER: We have established a methodology to  
5 track status, and that was -- that was how -- well, I  
6 can't go into exactly how the AG made its fully  
7 implemented assessment, but we provided enough  
8 information to close out this action item.

9 J. SCOTT: But you -- so you cannot provide the  
10 number of -- the backlog of maintenance work orders  
11 for hydroelectric at this time?

12 N. PENDER: I don't have it to hand, no.

13 J. SCOTT: Can you undertake to provide that?

14 N. PENDER: For sure, yeah. We can undertake to  
15 provide the volume of backlog of work orders within  
16 the context of recommendation 4, action item 1, which  
17 is fully implemented, yes.

18 J. SCOTT: Great. Thank you.

19 I. RICHLER: It is -- for the record, it is Ian  
20 Richler, I have taken over for Michael Millar as  
21 moderator, and we will note that as Undertaking JT-  
22 1.19.

23 J. SCOTT: Thank you.

24 **UNDERTAKING JT-1.19: PROVIDE THE VOLUME OF**  
25 **BACKLOG OF WORK ORDERS WITHIN THE CONTEXT OF**  
26 **RECOMMENDATION 4, ACTION ITEM 1**

27 J. SCOTT: I just have a couple of questions  
28 about opening rate base for hydroelectric. And we

1 don't have to pull these ones up, but there are a  
2 number of IR responses that confirm that the Timmins  
3 building expansion and the Dymond machine shop were  
4 common capital and therefore part of the asset  
5 service fee.

6 So -- but just to confirm, that doesn't change  
7 the 2027 hydroelectric capital expenditures; they are  
8 still 880.9 million as shown in D1-1-1, Table 2?

9 M. HANNON: That's correct.

10 J. SCOTT: And so there hasn't been any update  
11 to the rate base for hydroelectric for 2027, if I  
12 understand correctly?

13 M. HANNON: There would not be, no. Those two  
14 projects were coming into service post-2027.

15 J. SCOTT: Okay. B1-SEC-028, Attachment 1,  
16 which was one of the motion IRRs -- IR responses, and  
17 it is an Excel spreadsheet, shows the conversion from  
18 Capex to in-service capital. If we could pull that  
19 up. It is an Excel spreadsheet.

20 If you just scroll down a little, there is a  
21 line called "reconciling differences," which I  
22 understand -- maybe you can explain what that line is  
23 for.

24 M. HANNON: Sorry, can you repeat that? You  
25 went a little blurry there.

26 J. SCOTT: There is Capex and then in-service,  
27 and there is a line at the bottom, "reconciling  
28 differences." I don't know, is that related to CWIP?

1 Or what is that line representing?

2 M. HANNON: That line is representing all  
3 capital expenditures that do not go into service  
4 during this period.

5 J. SCOTT: But there is a line in service 2032  
6 or later, so it's --

7 M. HANNON: Yeah, so it is essentially -- if you  
8 look at our narrative, there was about 126 million  
9 that we called out that is included in our capital  
10 that never goes into service. That is what that line  
11 represents.

12 J. SCOTT: And so how -- maybe you can explain  
13 that a bit more. Why does it never go into service?

14 M. HANNON: There were a few projects that we  
15 identified that had included contingency on their  
16 unallocated amounts in their capital expenditure.  
17 The directions were that those were -- that  
18 contingency was not to be put into service because we  
19 couldn't validate that it was going to be spent. So  
20 that caused the discrepancy of 126 million with no  
21 impact to the rate.

22 J. SCOTT: Okay. And so -- it was that  
23 spreadsheet. But -- so if I sum up line 15 for 2027  
24 on that spreadsheet and get 836.5 and 6 million --

25 I. RICHLER: Ms. Scott, you're -- you're --  
26 sorry. It is Ian --

27 J. SCOTT: -- million is in service --

28 I. RICHLER: Jane, it is Ian. You are -- you

1 are breaking up a bit. I think the sound -- the --  
2 we are having a bit of a tech issue. Maybe you could  
3 just repeat the question, please.

4 J. SCOTT: Sorry.

5 So if I sum up the line of capital additions for  
6 2027 and get something lower than what is shown in  
7 the total capital additions on other -- sort of  
8 another table, can I assume that that is the  
9 differences before 2022?

10 M. HANNON: Yes, you are correct.

11 J. SCOTT: Okay. Thank you.

12 Now, I am not sure that this Panel is the place  
13 to ask this, but I will. H1-Staff-260, Attachment 3,  
14 Table 1D, which, again, is part of the motion IR  
15 responses. It is an Excel spreadsheet again. So it  
16 is H1-Staff-260, Attachment 3, Table 1D. Yeah, Table  
17 1D.

18 So there is a note 6, and that is stating that  
19 the line is the total capital additions. So -- and  
20 we talked a bit about this before, about only some  
21 projects being eligible for CRVA only applies to a  
22 subset of the project. So can you explain how -- why  
23 the total capital is used in this calculation?

24 M. KIRK: Yeah, Ms. Scott, this question  
25 ultimately will probably be better suited for Panel  
26 4. But at a high level, I can tell you that the  
27 reference to total capital is in relation to  
28 threshold methodology that we use for clearing the

1 hydroelectric CRVA over a five-year period.

2 J. SCOTT: Okay. I did read about that, but I  
3 maybe wanted a bit more explanation. But maybe I  
4 will save that for Panel 4. Thank you.

5 Now, I did have some questions about one of the  
6 projects that exceeded 10 percent of its first  
7 execution business case summary from Project 82089.  
8 There is a number of references. I don't know if we  
9 need to pull them all up. But if the business case,  
10 Exhibit D1-1-2, Attachment 1, Tab 6 -- I don't know.  
11 Are we getting that pulled up, or, I mean, I can  
12 proceed without it?

13 So my understanding, the initial execution  
14 release of 136.5 million and project over variance,  
15 so it was really baseline distribution of 145  
16 million. And then my understanding -- then the  
17 superseding business case summary increased it to  
18 167.5. So an increase of 31 million or 22.77  
19 percent.

20 Now, there is a project change form -- 016,  
21 Attachment 5.

22 I. RICHLER: Sorry. Jane, it is Ian again. We  
23 have a really poor -- we have a really poor  
24 connection, and you keep breaking up.

25 J. SCOTT: Oh, sorry.

26 I. RICHLER: The only -- the only  
27 troubleshooting trick I know is to maybe try turning  
28 off your camera which can sometimes take up some

1 bandwidth. So can I --

2 J. SCOTT: Okay.

3 I. RICHLER: Can I ask you to do that, and we  
4 will see if it improves at all. Thanks.

5 J. SCOTT: Okay.

6 I. RICHLER: But just go back 30 seconds because  
7 we didn't hear any of that.

8 J. SCOTT: Sorry.

9 Okay. There is a project change form, D1-AMPCO-  
10 016, Attachment 5. And in that, there is a change in  
11 budget for project management. And my understanding,  
12 it says:

13 "Added 0.25 a person --" (as read)

14 We can see that:

15 "-- and an increase of 1.1 million." (as read)

16 So I was hoping someone could explain that to  
17 me.

18 M. SIKSTROM: So, Ms. Scott, the addition as per  
19 the change description in that attachment, we added  
20 an additional 0.25 FTE to the project team, which was  
21 -- which would trigger the contingency change amount.

22 J. SCOTT: Maybe that is -- so if -- if you  
23 could just blow that up a bit. Do we have the change  
24 -- my understanding, there was one project manager,  
25 one project engineer, and one senior business  
26 development officer, and then the new budget is for  
27 one project manager, one project engineer, one senior  
28 project engineer, and 0.25 of a senior business

1 development. So I read that to be an increase of  
2 0.25?

3 M. SIKSTROM: That is correct.

4 J. SCOTT: And -- but that -- but the budget  
5 increased by 1.1 million?

6 M. SIKSTROM: There may have been some other  
7 details that went into building that contingency draw  
8 amount that is noted in the attachment, Ms. Scott,  
9 but I don't have them in front of me.

10 J. SCOTT: Can I get an undertaking to provide  
11 further information on that?

12 M. SIKSTROM: Yeah, we can take an undertaking  
13 to, on a best-efforts basis, rationalize what went  
14 into that contingency drawdown amount that is noted  
15 in that.

16 J. SCOTT: Thank you.

17 I. RICHLER: Let's record that as Undertaking  
18 JT-1.20.

19 **UNDERTAKING JT-1.20: RATIONALIZE WHAT WENT INTO**  
20 **THE CONTINGENCY DRAWDOWN AMOUNT THAT IS NOTED IN**  
21 **D1-AMPCO-016**

22 J. SCOTT: So if we go to D1-AMPCO-013, the  
23 project closure report for this project.

24 D. COBAN: Can we just have that reference one  
25 more time, Ms. Scott, please.

26 J. SCOTT: Yeah, D1-AMPCO-013, Attachment 3.  
27 And I can't see -- I can't see the page number, but  
28 just scroll down to the next page, yeah. So at the

1 top there, and it says:

2 "The project was completed successfully.

3 Project was completed with an actual cost of  
4 167.2 million under the approved budget of  
5 167.5." (as read)

6 But, as we saw earlier, the actual original  
7 execution release was 136.5.

8 So my question, I guess, is how -- why is this  
9 considered a success in that it came in under budget  
10 but the budget was updated; compared to its original  
11 budget, it was overspent?

12 M. SIKSTROM: So the key to identifying this  
13 project as completed successfully is related to the  
14 fact that the 167.5 million was an approved budget,  
15 and the project cost did not go over the approved  
16 budget. So acknowledging that there was an over  
17 variance in a superseding release, but as part of our  
18 project management process, the changes that merited  
19 that those two documents and those two approvals were  
20 justified in changes in the conditions of the  
21 project, and that is how we concluded that the  
22 project completed successfully.

23 J. SCOTT: Okay.

24 I think I am -- I have used up my time, my part  
25 of SEC's time, so I will turn it over to my colleague  
26 Mr. Rubenstein. Maybe if there is any time left at  
27 the end after he has asked his questions, I might ask  
28 a few more, but...

1           **EXAMINATION BY M. RUBENSTEIN:**

2           M. RUBENSTEIN: Thank you very much, Panel. I  
3 just have a couple areas that I would like to discuss  
4 with you, and I want to follow up on the discussion  
5 about unallocated projects and allocated projects and  
6 how the budgeting works.

7           And at a high level, as I understood from your  
8 answers to OEB Staff and Ms. Scott, there is an  
9 annual -- or over multi-years, there is annual  
10 budgets. You have allocated projects, which are  
11 those that have an approved business case. And then  
12 you have a certain amount of the budget that is  
13 unallocated that you then run a prioritization  
14 process and that you essentially draw from -- you  
15 draw from to then select projects, then, I assume,  
16 also then have to go through the business case  
17 process, and then they become allocated. Is that, at  
18 a high level, how this works?

19          M. SIKSTROM: In general, yes, we have a capital  
20 budget that we figure out every -- determine every  
21 year. There are certain projects that are classified  
22 as must-do, as you alluded to, and then after those  
23 have been prioritized, the remaining investments, we  
24 prioritize with the help of Copperleaf and the AINV  
25 and other constraints to maximize the value as much  
26 as we can within the constraints of our unallocated  
27 portfolio.

28          M. RUBENSTEIN: So when you select a project or

1 a prioritization process now for the -- what I am  
2 calling sort of bringing up projects from the list,  
3 the unallocated list, presumably, then, they also  
4 have to go through a business case process; correct?

5 M. SIKSTROM: Yes. Once one of the potential  
6 investments that is one of the unallocated  
7 investments -- when it reaches the milestone to go  
8 into a Gate 1, it turns into a project and then  
9 proceeds through the project management process with  
10 our various gates to get to execution.

11 M. RUBENSTEIN: Like, do you do any -- what type  
12 of work is then done for the purposes of getting a  
13 project onto the list, the candidate investment list?

14 M. SIKSTROM: In terms of identifying potential  
15 investments, they follow our asset management process  
16 that we describe in Exhibit D2-1-1. And so when  
17 investments are identified, we then score them using  
18 our value framework with the help of Copperleaf to  
19 come up with that net benefit score that helps us  
20 prioritize our unallocated investments to be included  
21 in our business plan.

22 M. RUBENSTEIN: Now, in the business cases,  
23 often you will see alternatives, and I don't just  
24 mean do-nothing alternatives. There will be some  
25 alternative solution to the issue. Do I have that  
26 right?

27 M. SIKSTROM: Yes. Alternatives are often  
28 identified in our business case.

1 M. RUBENSTEIN: Now, that is at the business  
2 case, but now we are -- before we get to the business  
3 case, we are entering in investments into the -- into  
4 Copperleaf. Is there multiple candidate investments  
5 for each of those alternatives, or is -- you have  
6 already -- or you are making that selection, and then  
7 the project enters Copperleaf?

8 M. SIKSTROM: So the potential investments  
9 address the asset condition and the associated risks,  
10 and working with our engineering group and our  
11 operations group, they identified short-term and  
12 long-term mitigating actions. And those recommended  
13 mitigated actions are which we translate into  
14 potential investments in Copperleaf. So each  
15 Copperleaf -- our preferred investment, as what you  
16 are kind of talking about, that is the one that we  
17 score in Copperleaf for that particular investment.

18 M. RUBENSTEIN: So I will just give you a  
19 hypothetical. Just sort of at an abstract layer,  
20 there is sort of a -- there is a potential issue, and  
21 you have two options; one is a more expensive upfront  
22 investment, but it will last longer, so to speak, or  
23 a -- you know, a less costly investment, but  
24 obviously it will last -- the solution will be  
25 shorter in duration, right. Those are two  
26 alternatives. Something like that, sometimes you see  
27 in your business case.

28 I want to understand, for the purposes of the

1 Copperleaf, are both of those put in, or are you  
2 making a determination over some analysis of which  
3 one of those is preferable and it enters Copperleaf?

4 M. SIKSTROM: The alternative that is entered in  
5 Copperleaf, there is -- it is the -- this is the  
6 alternative of that investment to address that asset  
7 condition or risk. The -- that selection of the  
8 alternative we put into Copperleaf is based on the  
9 discussion with engineering and operations. Once the  
10 project or a potential investment proceeds into the  
11 project management process, we do review those other  
12 alternatives or potential other alternatives in --  
13 through the project management process as well and  
14 the BCSs that you talked about earlier.

15 M. RUBENSTEIN: So you look at it twice, so to  
16 speak? Once is sort of scored through the value  
17 framework, and then at the -- once you have sort of  
18 selected the project from the list to be allocated  
19 and you go through the BCS process, you look at it  
20 again?

21 M. SIKSTROM: When potential investments are  
22 identified, the scope is very preliminary. And so as  
23 the scope and cost and other mature through the  
24 project management process, alternatives are often  
25 assessed and -- to ensure we have selected the  
26 preferred alternative, which may have been refined  
27 through -- as you progress through Gate 1 and Gate 3,  
28 that scope and details are often refined.

1 M. RUBENSTEIN: Okay.

2 Now, with respect to the list of projects, I  
3 think, as you mentioned, in D2-AMPCO-22, I think it  
4 is Attachment 1, there is the list of the value  
5 framework outputs. And I believe those correspond to  
6 the list -- or supposed to or some variation of the  
7 list of unallocated projects; do I have that right?

8 M. SIKSTROM: Yes. The list in Attachment 1,  
9 D2-AMPCO-22, this is a list of the unallocated  
10 projects that were included in our business plan.

11 M. RUBENSTEIN: But the list that was  
12 prioritized to get to that was longer; do I have that  
13 right? Or is that every potential candidate  
14 investment?

15 M. SIKSTROM: We have potential investments that  
16 were not included in this list.

17 M. RUBENSTEIN: And can you provide a revised  
18 version of this table with all of the investments and  
19 then indicating which ones are in the list that is in  
20 the application and which were not, which were  
21 obviously not selected for whatever reason?

22 D. COBAN: No, we are not able to provide that.  
23 I think we looked at this issue as part of AMPCO-23  
24 in the resolution of our motions, Mr. Rubenstein.

25 M. RUBENSTEIN: Well, I am just understanding  
26 from this what I -- look, I am understanding from  
27 today's discussion how this works, and I was not  
28 clear at the time. So the list is -- as I understood

1 here, there is a larger list of potential investments  
2 that you have done some work on, which you haven't  
3 selected, and I am not sure -- and so I am going to  
4 ask if that can be produced.

5 D. COBAN: No.

6 M. RUBENSTEIN: And what is the basis of that?

7 D. COBAN: Well, the first basis is that we  
8 understand to have resolved this issue through the  
9 resolution of AMPCO-23.

10 And the second basis is that investments which  
11 did not make it into the plan we don't believe are  
12 relevant because, ultimately, they don't form part of  
13 what we are considering here today.

14 M. RUBENSTEIN: And you don't think  
15 understanding which projects you obviously didn't  
16 chose -- helps inform; doesn't help inform the  
17 prudence of the projects you are planning to do?  
18 What you have selected, what you have not, and why  
19 those were not selected through your process? That  
20 confuses me.

21 D. COBAN: I think you are free to ask the  
22 witness question around how that determination is  
23 made. And certainly when it comes to the allocated  
24 projects, we have detailed evidence on the record as  
25 to the valuation of alternatives with respect to many  
26 of those projects, and so we believe the record is  
27 complete and sufficient to allow the evaluation of  
28 prudence.

1 M. RUBENSTEIN: Well, let me ask you this: Is  
2 it based on -- is it going -- is what sits underneath  
3 the projects that were not selected, do they have --  
4 is it just simply based on their net benefit scores  
5 are lower than those on this table?

6 M. SIKSTROM: No. As we talk about in Exhibit  
7 D2-1-1, net benefit, or AINV, performs the basis for  
8 our prioritization, but we also apply constraints --  
9 whether it be resourcing, scheduling, environmental  
10 constraint, as examples -- that could inform how we  
11 prioritize those potential investments into our  
12 business plan.

13 M. RUBENSTEIN: So there are projects that would  
14 have higher net benefit scores than the projects that  
15 are on this list?

16 M. SIKSTROM: Potentially. But they -- how we  
17 prioritize our unallocated potential investments are  
18 based on -- those constraints would have to be taken  
19 into consideration as some of those constraints  
20 determine the executability of the selection of  
21 unallocated potential investments that we added.

22 M. RUBENSTEIN: Well, let me ask this -- let me  
23 ask the question a bit differently. Can you provide  
24 a list of all of the projects that were part of the  
25 longer list that you -- that had higher net benefit  
26 scores and why they were not selected ultimately?

27 D. COBAN: No. I think the witness has  
28 explained that the selection of projects is not just

1 on the basis of the net score. There is other  
2 considerations that go with that, and we are not  
3 prepared to provide anything beyond what is included  
4 here in the application that ultimately doesn't form  
5 part of the amounts we are here to --

6 M. RUBENSTEIN: Yeah. Just to be clear, my  
7 question was -- and to provide the reasons why I  
8 think there was some discussion of sort of, here are  
9 the types of reasons, but the specific reasons.

10 D. COBAN: No. We maintain the refusal.

11 M. RUBENSTEIN: Now, let me just ask about the  
12 overall budget, how that is determined. Because if  
13 you go look, as I understand, there is an overall  
14 budget set that includes the allocated and the non-  
15 allocated. It is not clear to me from the evidence  
16 how that overall number is determined. Can you help  
17 me?

18 N. PENDER: So if we turn to A2-2-1, page 18,  
19 line 10. Yeah, okay, this is good.

20 So line 10. So starting at the top level, so  
21 the OPG business planning and budgeting process, line  
22 9, is a:

23 "[...] decentralized annual process undertaken  
24 with a consistent top-down framework of  
25 strategic objectives, resource guidelines, and  
26 costing assumptions." (as read)

27 So within this framework, individual businesses,  
28 such as ours in hydro in this case, set strategic and

1 performance objectives to identify a plan and the  
2 work required to achieve these objectives.

3         So we approach it in two ways. One is the top-  
4 down kind of global OPG perspective. Me from the  
5 hydro, we -- as we kind of established, we are  
6 condition-based. So when we talk about SEC-41, that  
7 is the foundational elements of identifying the work  
8 that we need to do, and then we set a plan in and  
9 around that to meet those kind of global capital  
10 objectives.

11         Now, we don't work in a vacuum. And our core  
12 objective is really, as a business, to maintain  
13 availability and reliability, and it is really to  
14 manage within -- manage the bottom-up requirements  
15 within the kind of top-down scope of the business.

16         M. RUBENSTEIN: So you have a capital budget,  
17 which is allocated or non-allocated, that you are  
18 seeking approval for the regulated business for the  
19 five years, they have very specific numbers, in which  
20 a sizable amount is obviously unallocated. You don't  
21 even know which of the specific projects in the list  
22 you are going to do. So it is just not clear to me  
23 how you pick -- how those specific numbers are  
24 determined.

25         Why is it not \$10 million more? Or \$40 million  
26 less? That is the type of question.

27         N. PENDER: I will refer you to D2-AMPCO-023.  
28 So line 37, please. This is D2-AMPCO-23? Yeah?

1 Okay.

2 Yeah, sorry, I have just updated the reference.

3 Let's start on line 25, please.

4 So when we talk about the unallocated portfolio,  
5 these are potential starts or potential future  
6 starts. As my colleague, Mr. Sikstrom, has  
7 mentioned, it is selected and prioritized through our  
8 asset management process described in D2-1-1, Section  
9 3.2. Now, we recognize these haven't been fully  
10 scoped, and they are based on Class 5 estimates.

11 Now, as we review this portfolio, from time to  
12 time, we may change what sits on this portfolio based  
13 on a prioritized basis, but we use the combination of  
14 the unallocated and unknown top-down requirements  
15 allocated projects for which we have confirmed BCSs  
16 really to build together our kind of capital and OM&A  
17 request. So that starts as the foundation into the  
18 business planning process.

19 M. RUBENSTEIN: Can I ask -- move on to a  
20 different topic. Can I ask you to go to F1-SEC-152.

21 In this interrogatory we had asked OPG for each  
22 historic or current continuous improvement or  
23 productivity initiative for the hydroelectric  
24 business, to provide for each year between 2016 and  
25 2024 certain information, quantified information.

26 And you say at line 29:

27 "OPG is unable to attribute discrete cost  
28 savings or isolate incremental production

1           increases to individual initiatives, as overall  
2           performance reflects the interacting effects of  
3           multiple initiatives, external conditions, and  
4           operational factors that together drive the  
5           aggregate outcome." (as read)

6           Do you see that?

7           So just so I can understand, when I look through  
8           the list that you have provided here, which ones are  
9           focused on reducing cost? Is it really just the  
10          organizational realignment one?

11          N. PENDER: No. I would say it is broader than  
12          those you have characterized. So when we think about  
13          cost, I think there is the efficiency with which the  
14          business operates.

15          So on page 2 of 4, we have detailed what I am  
16          going to call two sets of safety initiatives. One is  
17          what we probably recognize as conventional worker  
18          safety, and, for me, that is really about driving  
19          down the level of incidences to our people. And  
20          having a good, strong safety culture has the net  
21          effect of driving efficiency within our business. So  
22          if we have a safety event or people get injured, that  
23          takes time away from doing work to address the impact  
24          of it.

25          And our safety performance has radically  
26          improved in recent times. So we have set the  
27          strongest TRIF metrics in our history in the last  
28          three years. So, for me, that would be just one

1 example of driving for excellence and kind of  
2 continuous improvements.

3 M. RUBENSTEIN: I don't disagree. Safety is  
4 incredibly important. I recognize, obviously, there  
5 is a cost implication for an unsafe environment but -  
6 - so let me just put aside safety for a moment or  
7 safety-related and non-safety. Is the -- regional  
8 realignment, is that the only one that is just -- it  
9 is cost focused?

10 N. PENDER: So I would then probably draw your  
11 attention to equipment, reliability, and maintenance.  
12 So I think you are going at what I would kind of call  
13 headline cost, whereas I was the business leader and  
14 focused on within business cost and how can I drive  
15 an efficient -- an effective business.

16 So one of the key areas I'd draw your eye to  
17 would be on page 3 of 4, line 11, equipment failure  
18 reviews. So we spent a lot of time talking about  
19 equipment reliability, and so instituting, from 2020,  
20 a focus on forced outage causes to inform business  
21 and operational decisions, in my mind, is a direct  
22 driver to how much cost we consume as a business to  
23 produce our product. Really strengthening that  
24 cross-functional ownership between equipment  
25 reliability, as my colleague Ms. Fabbro mentioned  
26 earlier on, plant health committee meetings, and  
27 really trying to drive down how we manage equipment  
28 condition, risk mitigation, and failure reviews. And

1 you can see that in our performance.

2 So, to me, in each case, it is really driving  
3 through the cost of production in the business. I  
4 can give you further examples if helpful.

5 M. RUBENSTEIN: But as I understand, as you  
6 mentioned in the beginning, we -- there is -- you  
7 can't quantify the cost impact of any of it.

8 N. PENDER: I can't isolate independently one  
9 variable because we run it as a business, we don't  
10 run it as a series of independent variables. So the  
11 aggregate outcome produces our RRR scorecard,  
12 equipment -- you know, availability, cost  
13 performance, safety performance. But to isolate one  
14 individual component and attribute it solely to that,  
15 it is a combination of factors. So that is -- it is  
16 just not how we run the business.

17 M. RUBENSTEIN: Now, in any of the individual  
18 initiatives, do they have KPIs that talk about cost,  
19 that are specific to cost?

20 N. PENDER: Yeah. Can I draw you to SEC-150,  
21 Attachment 2. So this is what we call our excellence  
22 plan. And so what I have drawn out from there is I  
23 have drawn an example from people. I have drawn an  
24 example from, third column, plant, about maximizing  
25 equipment performance.

26 But if I draw your eye to "measures of success"  
27 on the bottom, these are all measures of success of  
28 the performance [indiscernible]. Translating that

1 directly into your question, the efficiency with  
2 which we achieve -- take your choice of any one of  
3 those, that really translates, for me, into our unit  
4 production cost. Do this well, we will be run as an  
5 efficient business.

6 M. RUBENSTEIN: So these are the metrics, the  
7 KPIs that you have for any of the initiatives that  
8 you are showing on the screen?

9 N. PENDER: These are the measures of success.

10 M. RUBENSTEIN: And I don't see any that have a  
11 target of cost saving. Just as a reference. Not to  
12 -- just because it is cross panels. For example --  
13 which I will take the nuclear folks to -- they  
14 reference in an audit report that one of the KPIs of  
15 one of the initiatives that they talked about has a  
16 cost. The measure was about, you know, annual  
17 maintenance cost savings. There is nothing like that  
18 for the hydro business?

19 N. PENDER: Not in -- we run -- so the way we  
20 run hydro is somewhat different than nuclear  
21 business. So comparables -- I am going to  
22 extrapolate comparables to industry and hydro are  
23 somewhat difficult due to the nature of the business.

24 So we have performance targets. That doesn't  
25 say we have performance targets in the business. And  
26 if we can talk about our benchmarking, so our cost  
27 performance, I can direct you to there in terms of  
28 how we bench relative to others. So we do have

1 targets. I have just drawn you to the measures of  
2 success, but I haven't given you the targets that sit  
3 underneath it.

4 M. RUBENSTEIN: The targets are not specifically  
5 cost-based?

6 N. PENDER: So if I refer you to Exhibit F1-1,  
7 page 29, Chart 11. So this is our -- thank you,  
8 Lori. So on line 6 here, Chart 11, this is our unit  
9 energy cost forecast, and this sits under the section  
10 of hydroelectric cost effectiveness. So we have cost  
11 targets which are a function of cost to run the  
12 business divided by measures of generation.

13 M. RUBENSTEIN: Sure. But not at a productivity  
14 continuous improvement level? That is the question I  
15 was asking. I take it from what you showed me, you  
16 don't have any for any of the initiatives?

17 N. PENDER: They are inherent in our cost. But  
18 to your question, directly and explicitly, not as you  
19 framed.

20 M. RUBENSTEIN: Okay. Thank you.

21 And just my last question -- I assume it is  
22 going to be for undertaking, it is on a different  
23 topic. Can I ask you to go to E1-SEC-132.

24 In this IR we asked for underlying calculation  
25 included in Chart 6 in the pre-filed evidence, and  
26 you provide some information -- underlying  
27 information on the second page. And so the problem I  
28 am having is reconciling the information on Chart 6

1 with the cost information in Chart 1 in this  
2 interrogatory.

3 So, for example, Chart 6 in 2026 has payment to  
4 non-OPG supply generator at negative 46 million, and  
5 I am simply unclear and I can't figure out which  
6 combination of costs that are shown here reconcile  
7 with the 46 million.

8 And I assume it is import cost, non-OPG gas  
9 cost, wind costs, potentially OPG gas costs, if we  
10 are talking about regulated, but I get different  
11 numbers. So I was asking you -- so by way of  
12 undertaking, can you reconcile Chart 1 in this  
13 interrogatory and Chart 6 in the evidence?

14 M. CHIDIAC: So essentially just looking to map  
15 out the costs from Chart 6, how we showed them here  
16 in SEC-132 --

17 M. RUBENSTEIN: Yes.

18 M. CHIDIAC: And -- what components are included  
19 in each line item?

20 M. RUBENSTEIN: Yes.

21 M. CHIDIAC: Yes, we can undertake to provide  
22 that.

23 I. RICHLER: That will be JT-1.21.

24 M. RUBENSTEIN: And if they don't reconcile,  
25 why.

26 M. CHIDIAC: Sure.

27 **UNDERTAKING JT-1.21: RECONCILE CHART 1 IN E1-**  
28 **SEC-132 AND CHART 6 IN THE EVIDENCE E1-2-1**

1 I. RICHLER: Thank you, Mr. Rubenstein.

2 Ms. Scott, I think you said you might have some  
3 follow-up?

4 J. SCOTT: Actually, I will just ask one on that  
5 F1-SEC-150 that you just had up, the attachment --  
6 the strategy and excellence plan. Yeah. At the  
7 bottom, it says:

8 "Right-click on the table and select drill  
9 through." (as read)

10 Could you provide us with a copy that actually  
11 has that drill through?

12 N. PENDER: So this is from our Power BI. And  
13 so just to clarify, your question is you are  
14 interested in what we call the GDAR, which is the gap  
15 driver action result?

16 J. SCOTT: Yes. Not knowing exactly what it  
17 was, it just -- my understanding was it was going to  
18 provide more information on a specific -- on specific  
19 objectives.

20 N. PENDER: Yeah, on a best-efforts basis, we  
21 will provide the relevant GDAR for the strategy and  
22 excellence plan for renewable generation 2026-2028.

23 J. SCOTT: Thank you.

24 I. RICHLER: JT-1.22.

25 **UNDERTAKING JT-1.22: PROVIDE THE RELEVANT GDAR**  
26 **FOR THE STRATEGY AND EXCELLENCE PLAN FOR**  
27 **RENEWABLE GENERATION 2026-2028**

28 I. RICHLER: Anything else, Ms. Scott?

1 J. SCOTT: If -- is there still time? Yes?

2 I. RICHLER: Not really. We are supposed to  
3 break now. Do you have much more?

4 J. SCOTT: No. I am fine. Thank you.

5 I. RICHLER: Okay.

6 So let's call it a day, and we will be back here  
7 tomorrow morning at 9:30. Thanks, everyone.

8 --- Whereupon the proceeding adjourned at 4:30  
9 p.m. to resume Thursday, May 28, 2026, at  
10 9:30 a.m.