



# ONTARIO ENERGY BOARD

**FILE NO.**

**EB-2025-0297**

**Ontario Power Generation Inc.**

---

**VOLUME:**

**Technical Conference – Day 3**

**DATE:**

**May 29, 2026**

THE ONTARIO ENERGY BOARD

Ontario Power Generation Inc.

Application for payment amounts for the period from  
January 1, 2027 to December 31, 2031

Technical Conference held person and virtually  
at 2300 Yonge Street, 25th Floor, Toronto, Ontario  
on Friday, May 29, 2026, commencing at 9:30 a.m.

-----  
Day 3  
-----

A P P E A R A N C E S

MICHAEL MILLAR	Ontario Energy Board
IAN RICHLER	
THOMAS EMINOWICZ	
JEFFREY SAUER	
MUSAB QURESHI	
CHRIS CINCAR	
TYLER DAVIDS	
ADA LI	
FIONA O'CONNELL	
YAROSLAV PALIY	
ANDREW PIETREWICZ	
DANA WONG	
TINA ZHU	
ZUBIN PANCHAL	
MUHAMMAD YUNUS	
ASHLEY SANASIE	
TINA LI	
DALIANA COBAN	OPG
ANDREA BROWN	
BRYAN ICYK	
JENNIFER VULANOVIC	
MELISSA LAUNDRY	
LORI PATCHETT	
AIMEE COLLIER	
CHARLES KEIZER	
ARLEN STERNBERG	
JONATHAN MYERS	
JON SILVER	
SHELLEY GRICE	Association of Major Power Consumers of Ontario (AMPCO)
CLEMENT LI	Building Owners and Managers Association (BOMA)
TOM LADANYI	Coalition of Concerned Manufacturers and Businesses of Canada (CCMBC)
LAWRIE GLUCK	Consumers Council of Canada (CCC)
TOM LADANYI	Energy Probe Research Foundation

A P P E A R A N C E S

MAIA CHASE	Independent Electricity System Operator
KEITH PINTO	Keith Pinto
DANIEL VOLLMER	Minogi Corp.
SCOTT WALKER	Ontario Association of Physical Plant Administrators
COLIN FRASER BOHDAN DUMKA	The Society of United Professionals
MIKE MCLEOD	Quinte Manufacturers Association
MARK RUBENSTEIN JANE SCOTT JAY SHEPHERD	School Energy Coalition (SEC)
DAN ROSENBLUTH BAYU KIDANE	PWU
MARK GARNER	Vulnerable Energy Consumers Coalition (VECC)
COLM BOYLE	WTFN Investment Holdings LP
KATHLEEN CAREW MOHAMED EL DEFRAWY PERRIK LE DREFF JOHN BLAZANIN DEREK KINDLON SCOTT NELMS JOEL PEREIRA	Panel 2 - Darlington Refurbishment Program, Pickering Refurbishment Program, and Nuclear Operations and Nuclear Projects
RYAN HOWARD DEREK KINDLON LINDSAY GREENLAND SCOTT NELMS ALEX KOGAN	Panel 3 - Darlington New Nuclear Program

I N D E X   O F   P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:30 a.m.	1
EXAMINATION BY T. ZHU:	1
EXAMINATION BY S. WALKER:	5
EXAMINATION BY L. GLUCK:	9
EXAMINATION BY T. EMINOWICZ:	28
EXAMINATION BY L. GLUCK:	30
--- Upon recessing at 10:55 a.m.	44
--- Upon resuming at 11:13 a.m.	44
PRELIMINARY MATTERS	45
EXAMINATION BY M. BUONARGURO:	46
EXAMINATION BY S. GRICE:	67
--- Upon recessing at 12:24 p.m.	84
--- Upon resuming at 1:25 p.m.	84
PRELIMINARY MATTERS	84
EXAMINATION BY M. RUBENSTEIN:	86
EXAMINATION BY T. EMINOWICZ:	120
EXAMINATION BY M. RUBENSTEIN:	120
--- Upon recessing at 2:53 p.m.	140
--- Upon resuming at 3:15 p.m.	140
PRELIMINARY MATTERS	140
PANEL 3 APPEARANCES	145
EXAMINATION BY T. EMINOWICZ:	146

I N D E X   O F   P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
EXAMINATION BY M. RUBENSTEIN:	148
EXAMINATION BY L. GLUCK:	159
--- Whereupon the proceeding adjourned at 4:01 p.m. to resume Monday, June 1, 2026 at 9:30 a.m.	165

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT KT-3.1: TABLE 1, DRP NET REVENUE	95
EXHIBIT KT-3.2: TABLE 2, DRP PRP RFBR TABLE	125

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING JT-3.1: PROVIDE THE EXTERNAL PURCHASE SERVICES FTES NUMBER IN THE OUTAGE OM&A IN 2031 FOR THE DNNP. IF CANNOT PROVIDE EXPLAIN WHY	4
UNDERTAKING JT-3.2: PROVIDE THE HISTORICAL AND FORECAST OPERATIONS AND PROJECT SUPPORT IN-SERVICE ADDITIONS BROKEN OUT BETWEEN DARLINGTON AND PICKERING TO THE EXTENT POSSIBLE	12
UNDERTAKING JT-3.3: ADVISE, FOR EACH PICKERING PROJECT, WHETHER IT IS USEFUL AND NEEDED AS PART OF THE PICKERING REFURBISHMENT PROJECT OR WHETHER IT IS USEFUL AFTER PICKERING RETURNS TO SERVICE OR BOTH	19
UNDERTAKING JT-3.4: PROVIDE THE CALCULATION FOR THE 2025 STUDY FOR 2022 TO 2024 FOR THREE-YEAR TGC MEGAWATT HOUR AND PROVIDE WORKING PAPERS, IF POSSIBLE	43
UNDERTAKING JT-3.5: EXPLAIN WHY AND WHAT IS DRIVING THE CHANGE TO THE AGE COEFFICIENT DEPENDING ON STARTING YEAR IN F2-CCC-71, PART B	44
UNDERTAKING JT-3.6: EXPLAIN WHAT HAPPENED THAT ALLOWED THE 36-MONTH CYCLE TO GO FROM '23 TO '24 IN THIS CASE ORIGINALLY	59
UNDERTAKING JT-3.7: ADVISE HOW MUCH OF THE 180 DAYS OF UNIT 2 OUTAGE WORK ORIGINALLY SCHEDULED TO HAPPEN IN 2023 TO 2025 IS NOW IN A 2027 UNIT 2 OUTAGE	67
UNDERTAKING JT-3.8: ADVISE OF THE OTHER SENSOR PROJECT THAT IS CURRENTLY BEING UNDERTAKEN	77
UNDERTAKING JT-3.9: PROVIDE PROJECT OVER VARIANCE REPORTS, SUPERSEDING BCS, PCR, PIR AND THE ORIGINAL EXECUTION BUSINESS CASE SUMMARY TO THE EXTENT THAT THAT INFORMATION IS AVAILABLE AND INCREMENTAL TO WHAT IS OTHERWISE ALREADY ON	

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
THE RECORD FOR THE PROJECTS LISTED IN AMPCO-34 WITH COST VARIANCES GREATER THAN 20 PERCENT AS COMPARED TO THE ORIGINAL EXECUTION BUSINESS CASE SUMMARY FOR OPG OR THE APPLICANTS	85
UNDERTAKING JT-3.10: REVIEW EXHIBIT KT-3.1 AND PROVIDE ANY APPROPRIATE CORRECTIONS, ADDITIONS, OR SUBTRACTIONS	94
UNDERTAKING JT-3.11: PROVIDE INFORMATION SHOWING HOW OPERATIONS AND SUPPORT CAPITAL IS ALLOCATED BETWEEN PICKERING AND DARLINGTON FOR THE PURPOSES OF THE CALCULATION IN F2-SEC-157, PART C, PAGE 9, AND EXPLAIN THE BASIS FOR THAT ALLOCATION	118
UNDERTAKING JT-3.12: CONFIRM THE ACCURACY OF TABLE 2, THE DRP PRP RFBR TABLE	126
UNDERTAKING JT-3.13: EXPLAIN THE LOGIC AND THINKING FOR THE DIFFERENCE BETWEEN THE PRP RFBR AND DRP RFR TARGET PRICING STRUCTURES, INCLUDING WHY OPG'S SHARE OF COST SAVINGS UNDER THE PRP IS GREATER THAN ITS SHARE OF COST OVERRUNS	127
UNDERTAKING JT-3.14: PROVIDE INFORMATION TO SHOW WHAT PERCENTAGE OF CONTRACTOR COSTS FOR THE PRP AS A WHOLE ARE BASED ON A COMPETITIVE RFP PROCESS FOR THAT SPECIFIC WORK AND PROCURED SPECIFICALLY FOR THE PURPOSES OF THE PRP PROJECT	130
UNDERTAKING JT-3.15: PROVIDE A COPY OF THE SOLE SOURCE JUSTIFICATION DOCUMENT FOR THE MAKHOS JOINT VENTURE, FRAMATOME, AND CANATOM PROCUREMENT FOR THE PRP PROJECTS, SUBJECT TO CONFIDENTIALITY	132
UNDERTAKING JT-3.16: PROVIDE DOCUMENTATION DETAILING THE PROFESSIONAL QUALIFICATIONS OF THE INDIVIDUALS TO SERVE ON THE REVIEW BOARD	

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
AND ADVISE AS TO OPG'S RATIONALE FOR HAVING FORMER EMPLOYEES ON THE REVIEW BOARD	135
UNDERTAKING JT-3.17: PROVIDE THE TOTAL PROJECT COSTS FOR THE PROJECTS IN RELATION TO THE PERCENTAGE AMOUNTS IN CHART 3 AND CHART 4	142
UNDERTAKING JT-3.18: PROVIDE THE PROCUREMENT GOVERNANCE DOCUMENT	142
UNDERTAKING JT-3.19: PROVIDE THIRD PARTY- PREPARED DOCUMENTATION IN REGARDS TO THE MAKHOS-BIRD JOINT VENTURE'S PRICING	143
UNDERTAKING JT-3.20: BREAK OUT THE REVENUE INFORMATION BETWEEN PICKERING AND DARLINGTON IN RELATION TO SEC-137, ATTACHMENT 1, PAGE 2, AND ADVISE WHY RATE RIDERS ARE NOT INCLUDED IN THE TABLE	143
UNDERTAKING JT-3.21X: CONFIDENTIAL RESPONSE TO CERTAIN WRITTEN QUESTIONS SUBMITTED BY M. RUBENSTEIN TO OPG	144
UNDERTAKING JT-3.22: PROVIDE THE MONTHLY FORECAST ACCURACY FACTOR GOING BACK TO THE BEGINNING OF THE PROJECT AND ADVISE WHEN THE METRIC WAS APPLIED TO DNNP AND WHETHER IT IS BEING USED FOR OTHER LARGE PROJECTS	151
UNDERTAKING JT-3.23: EXPLAIN WHAT part of OPG's cost management processes, if any, deviate from international best practices as referenced in THE "DISCUSSION" PORTION OF D2-SEC-110, ATTACHMENT 3, AND EXPLAIN SPECIFICALLY HOW OPG'S FORMULA FOR COST VARIANCE DEVIATES FROM INTERNATIONAL BEST PRACTICES, OR IF IT DOES	154
UNDERTAKING JT-3.24: PROVIDE THE REALISTIC ESTIMATE AS REFERRED TO ON PAGE 4 OF D2-SEC-116, Attachment 11, AND ALSO PROVIDE THE	

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
PROCUREMENT AMOUNT THAT IS INCLUDED IN THAT APPLICATION TO SHOW AN APPLES-TO-APPLES COMPARISON WITH THE ESTIMATE AT COMPLETION AT THE HIGH, LOW, AND MOST LIKELY OUTCOME	155
UNDERTAKING JT-3.25: PROVIDE SOME FORM OF INFORMATION SHOWING THE QUALIFICATIONS OF THE INDIVIDUALS ON D2-SEC-116, ATTACHMENT 14, AND ADVISE WHETHER ANY OF THOSE EXTERNAL MEMBERS HAVE EVER BEEN EMPLOYEES OF OPG	158
UNDERTAKING JT-3.26: PROVIDE THE DNNP BASIS OF SCHEDULE	159
UNDERTAKING JT-3.27: PROVIDE THE PERCENTAGES FOR THE EARLIER MILESTONES VERSUS THE END MILESTONES IN D2, TAB 4, SCHEDULE 3, PAGE 11	162

1 Friday, May 29, 2026

2 --- On commencing at 9:30 a.m.

3 M. MILLAR: Good morning, everyone. Welcome to  
4 Day 3 of the technical conference. We are going to  
5 get to CCC.

6 Before we get to CCC, I believe Ms. Zhu wanted  
7 to follow up on one matter to make sure we have got  
8 the right Panel for her questions, and Mr. Eminowicz  
9 may have a question as well.

10 T. EMINOWICZ: Yeah.

11 M. MILLAR: But, Ms. Zhu --

12 T. EMINOWICZ: So we just need a couple moments.  
13 Ms. Zhu has a clarification from one of the questions  
14 and responses yesterday and another question that we  
15 are not sure if it is for this Panel or for Panel 3,  
16 so we will just kind of start asking it, and then you  
17 can tell us how far this Panel can take it. Thank  
18 you.

19 **EXAMINATION BY T. ZHU:**

20 T. ZHU: Good morning. This is Tina Zhu, OEB  
21 Staff. I have a follow-up question from yesterday.  
22 Could we pull up F2-CCC-078, please. Could we move  
23 to the next page to see the table.

24 So yesterday I had a request to have OPG to  
25 provide all the external services costs, then OPG  
26 referred me to this interrogatory response. Then our  
27 question added at -- if the numbers provided in this  
28 interrogatory response is with the 20 million

1 threshold or no, and OPG was going back to double-  
2 check. So I just wanted to follow up with OPG's  
3 thoughts.

4 M. EL DEFRAWY: Good morning, everyone. Mohamed  
5 El Defrawy.

6 So, yes, we did confirm the values associated  
7 for the purchase services here exclude the 20  
8 million, so there is no threshold.

9 T. ZHU: Thank you for the confirmation.

10 And I have one more question I will try to ask  
11 to this Panel, and you can let me know if this should  
12 be deferred to the DNNP Panel. This question refers  
13 to interrogatory F2-Staff-200. Could we look at part  
14 B of the response. Second paragraph, OPG responded  
15 that there are 45.3 million in planned contracting  
16 services for the 12-month cycle outage in 2031.

17 And could we also pull up the pre-filed evidence  
18 from Exhibit F2, Tab 1. Schedule 1, Table 1B,  
19 please. I will say that again. Exhibit F2, Tab 1,  
20 Schedule 1, Table 1B, please.

21 On the line number 2, it is showing that the  
22 DNNP outage OM&A in the 2031 plan is 48.6 million.  
23 My question, if we look at the percentage of DNNP  
24 outage OM&A to be purchased through external  
25 contracting services in 2031, the percentage seems  
26 high. So this percentage is the 45.3 million, as we  
27 just visited from the Staff-200 interrogatory  
28 response, divide by the 48.6 million which is showing

1 on the Table 1B. So that external purchased  
2 percentage is over 90 percent.

3 Could you clarify if this is the norm going  
4 forward for DNNP facilities outage OM&A, that it will  
5 mainly be fulfilled through external contracting  
6 services?

7 C. KEIZER: So can I -- just a clarification.  
8 Your question is clearly related to DNNP. So you  
9 initially started off with, "Is this a question for  
10 DNNP or this Panel?" So --

11 T. ZHU: Yes. Because part of the reason why I  
12 am trying to ask here is because the pre-filed  
13 evidence, Exhibit F2, according to the mapping that  
14 OPG provided, it is within the scope of Panel 2, but  
15 the interrogatory itself is with the Panel 3. Just  
16 before you go, I wanted to make sure that I don't  
17 miss the opportunity to get a proper answer.

18 C. KEIZER: No, no, that is fair game. I  
19 understand. I think it is -- I think what -- we have  
20 a witness who actually can answer that and -- even  
21 though it is a DNNP-related question. So we will  
22 have that answer for you now, I guess.

23 D. KINDLON: I can do my best right now. I have  
24 my other notes for the DNNP Panel. But, yes, the  
25 majority of -- the majority of the outage OM&A will  
26 be driven by external purchase services. Within that  
27 number, there is also some materials in there. And  
28 as OPG labour is required, we may see some minor

1 flexes within the base OM&A number, the 119 million,  
2 as well.

3 T. ZHU: Thank you for the answer.

4 And I have an undertaking request. Could OPG  
5 provide the external purchased services FTEs number  
6 in the outage OM&A in 2031 for DNNP?

7 D. KINDLON: Yes, we can provide on a best-  
8 efforts basis.

9 T. ZHU: Thank you very much.

10 M. MILLAR: That is JT-3.1.

11 **UNDERTAKING JT-3.1: PROVIDE THE EXTERNAL**  
12 **PURCHASE SERVICES FTES NUMBER IN THE OUTAGE OM&A**  
13 **IN 2031 FOR THE DNNP. IF CANNOT PROVIDE EXPLAIN**  
14 **WHY**

15 M. MILLAR: And were those your questions, Ms.  
16 Zhu?

17 T. ZHU: Yeah, that concludes my questions.  
18 Thank you for your time.

19 M. MILLAR: Mr. Eminowicz, you had something.

20 T. EMINOWICZ: We are good, thank you.

21 M. MILLAR: Okay. Great. We will now turn it  
22 over to CCC.

23 Mr. Gluck, are you starting us off?

24 L. GLUCK: I am, thank you.

25 M. MILLAR: Okay. Over to you.

26 C. KEIZER: I thought Mr. Walker had some kind  
27 of clarification question just because he had  
28 mentioned that at the end of the day yesterday.

1 M. MILLAR: Yeah. Mr. Walker, are you there?

2 S. WALKER: I am, Mr. Millar. I am at your  
3 disposal as to what time today you -- I just need a  
4 few more minutes with the Panel before you send them  
5 home for the weekend.

6 M. MILLAR: Do you have any time restrictions?

7 S. WALKER: I do not. Well, sorry, there is a  
8 family --

9 M. MILLAR: Yeah, Mr. Walker, why don't you --  
10 why don't you just go ahead now. Family is always  
11 first.

12 **EXAMINATION BY S. WALKER:**

13 S. WALKER: Thank you, sir.

14 This relates to the follow-up question  
15 associated with Attachment 1. This is specific to L,  
16 E2-OAPPA-10, Attachment 1.

17 In reviewing this chart, I was surprised that  
18 the answers for all of the years were the same, that  
19 the terawatt hours were the same. And in the  
20 response you provided to IR E2-OAPPA-10 -- so L --  
21 yes, thank you. That equation makes accountability  
22 for things like planned outages. So, you know,  
23 clearly, per our conversation yesterday, we have more  
24 outage time happening in 2027 than we would in 2028,  
25 so I was surprised that they were all levelized. And  
26 I just wanted to confirm that the calculations in  
27 that table conform to the equation that you provided,  
28 or if it was provided on another basis, what that

1 basis was.

2 M. EL DEFRAWY: So that is correct. The numbers  
3 that are shown in Attachment 1 conform to the  
4 equation that is shown in the IR. As mentioned in  
5 the IR, the -- this is done in an illustrative basis;  
6 however, even -- so overall, there will be some minor  
7 changes in the numbers based on, you know, a specific  
8 input such as planned outage days and changes  
9 associated with that because UCF is an output, not an  
10 input; however, overall, this does conform to the  
11 equation that is shown.

12 S. WALKER: Okay. Would it be possible to have  
13 this table provided as an Excel sheet with the  
14 formulas included and the calculations provided?

15 C. KEIZER: I guess I am trying to understand  
16 for what purpose with an Excel spreadsheet. I mean,  
17 you have got the formula, you have got the output  
18 table. I mean, the witness has indicated that the  
19 table, you know, conforms to the formula and UCF as  
20 an output, not an input, so...

21 S. WALKER: Yeah. And fair enough, Mr. Keizer.  
22 I guess I -- this IR was based on Exhibit E2, Tab 1,  
23 Schedule 2, Table 1B, and I just wanted to confirm  
24 that the calculations were predicated on the  
25 information that was provided in evidence.

26 C. KEIZER: I think the witness can confirm  
27 that.

28 M. EL DEFRAWY: I confirm that.

1 S. WALKER: Okay. Excellent.

2 Just last -- one last follow-up question, Mr.  
3 Blazanin. Yesterday in your conversation with Ms.  
4 Zhu, you had advised her in relation to some  
5 questions she had about the FTEs that the OPG  
6 Pickering plant would be shut down and shuttered as  
7 of September of this year. And I believe those  
8 numbers are reflected in that table that I just  
9 referenced. I just wanted to confirm that that is  
10 consistent, that you are, in fact, planning to shut  
11 down on September 30th or sometime in September.

12 J. BLAZANIN: Yeah, that is the commitment we  
13 have made, and the plant will be shutting down in  
14 September of this year.

15 S. WALKER: Okay. Why are -- that is an awful  
16 lot of -- your CNSC license goes until the end of the  
17 year. You have obviously made a decision to forego a  
18 significant amount of revenue. Is there a basis for  
19 that? Or what is the reason for that?

20 J. BLAZANIN: I would have to confirm, but I  
21 think there was an IESO implication to that as well  
22 and the shutdown dates. But September was the date  
23 that we established and communicated that we were  
24 going to shut down.

25 S. WALKER: Is that to accelerate the PRP  
26 program, or is it literally a system constraint  
27 issue?

28 J. BLAZANIN: It would not be to accelerate. In

1 fact, we would like to have more time, if we could,  
2 to plan the refurbishment, but it has nothing to do  
3 with accelerating Pickering.

4 S. WALKER: Okay. Thank you, sir. Those were  
5 my only follow-up questions. Thank you for the time  
6 today.

7 J. BLAZANIN: Thank you.

8 M. MILLAR: Thank you very much, Mr. Walker. We  
9 will turn it over to you, Mr. Gluck.

10 L. GLUCK: Thank you.

11 C. KEIZER: Sorry to interrupt, Mr. Gluck. Just  
12 one last administrative thing. Yesterday -- I might  
13 as well deal with it because I will forget otherwise  
14 -- when we were dealing with the undertaking  
15 numbering, I think we -- as the transcript revealed,  
16 there was an issue with -- around Undertaking 21. We  
17 gave it, then we withdrew it because we answered it  
18 in the process, and then I think the numbering may  
19 have got a bit mixed up. But I think we can continue  
20 with the existing numbering; we just will identify  
21 JT, you know, 2.21 or whatever it was --

22 M. MILLAR: JT-2.21 never got marked.

23 C. KEIZER: -- as we intentionally left blank or  
24 something like that, so we can keep the numbering as  
25 is.

26 M. MILLAR: Yes. And my apologizes for --

27 C. KEIZER: Oh, no. That's fine.

28 M. MILLAR: -- missing that. But you are right,

1 JT2.21 was marked and then was resolved, so I think  
2 you can just --

3 C. KEIZER: Yeah. Perfect. Thank you.

4 M. MILLAR: Okay. Thank you.

5 Anything further, Mr. Keizer?

6 C. KEIZER: I think we will let Mr. Gluck go  
7 ahead.

8 M. MILLAR: Okay. We will go to Mr. Gluck.  
9 Thank you.

10 **EXAMINATION BY L. GLUCK:**

11 L. GLUCK: Thank you. Good morning, Panel. My  
12 name is Lawrie Gluck, and I am a consultant for the  
13 Consumers Council of Canada.

14 My first set of questions are relating to the  
15 Pickering sustaining capital investments. So if we  
16 can open up Exhibit D2, Tab 1, Schedule 3, Table 4B,  
17 please. Thank you. And this table is setting out  
18 the in-service additions related to the nuclear  
19 operations capital.

20 And would you take it subject to check that the  
21 total in-service amount for the Pickering portfolio  
22 projects, both allocated and unallocated, over the  
23 2027 to 2030 period prior to the first refurbished  
24 Pickering unit coming back online are approximately  
25 \$426 million?

26 J. PEREIRA: Good morning. This is Joel  
27 Pereira. Subject to check, we can -- we will be able  
28 to confirm that.

1 L. GLUCK: Thank you.

2 And the operations and project support cost that  
3 is shown in this table, those costs are related to  
4 both Darlington and Pickering; is that right?

5 J. PEREIRA: Yes, that is true.

6 L. GLUCK: Thank you.

7 And a similar question. Over the '27 to 2030  
8 period, before Pickering is returned to service -- or  
9 the first unit of Pickering is returned to service,  
10 those costs equal about 105 million between '27 and  
11 2030; is that right? Would you take that subject to  
12 check?

13 J. PEREIRA: That is correct, subject to check.

14 L. GLUCK: Thank you.

15 And I don't think I have seen it on the record,  
16 but is there a breakdown of operations and project  
17 support, capital in-service additions between  
18 Pickering and Darlington stations?

19 J. PEREIRA: So if -- it would be looking at a  
20 combination of Exhibit D2, Tab 1, Schedule 3, Table  
21 2. So we have listed all projects here between  
22 Darlington, Pickering, and the operations and project  
23 support, categorized by anything that was ongoing  
24 from the previous application and anything new in  
25 this application.

26 And then that in combination with Table 5,  
27 again, D2, Tab 1, Schedule 3, would give you a view  
28 of everything that is unallocated across those three

1 portfolios, Darlington, Pickering, and the operations  
2 and project support.

3 L. GLUCK: Thank you.

4 Would it be possible for you to undertake to  
5 just simply provide the numbers? The in-service  
6 additions between Pickering and Darlington over both  
7 the historical and forecast periods? The table we  
8 are looking at here, Table 5A, it doesn't even have  
9 dollars.

10 J. PEREIRA: So if I could take you to IR  
11 response CCC-44, to the Attachments. So Attachment 1  
12 would include all of the tier 1 and 2 projects in the  
13 unallocated portfolio with their in-service amounts  
14 listed by year.

15 L. GLUCK: And these are the operations and  
16 project support projects?

17 J. PEREIRA: That is correct. So if you were to  
18 scroll to page 2 of the attachment, page 2 of 2, to  
19 the category below, to the advance inspection and  
20 maintenance program, it has got the projects there.  
21 Again, to clarify, these would be the tier 1 and 2  
22 projects.

23 L. GLUCK: So are they going to add up to 105  
24 million over the '27 to 2030 period? I went through  
25 all the tables that you brought me to. I could go  
26 project by project and add up everything, and they  
27 would end up equalling 105 million for those four  
28 years?

1 J. PEREIRA: So the only thing missing from here  
2 would be the tier 3 projects unallocated, and so we  
3 could undertake to provide that as a complete list,  
4 if you would like, on an annual basis.

5 L. GLUCK: Sure. It would be best for me if you  
6 would just provide the number, in-service addition  
7 number broken out between Pickering and Darlington in  
8 aggregate, for the historical and forecast periods.

9 C. KEIZER: Based upon your original request; is  
10 that right, Mr. Gluck?

11 L. GLUCK: That is right.

12 C. KEIZER: We will do -- well, I guess to the  
13 extent that we can split it out, we will provide the  
14 undertaking.

15 L. GLUCK: Thank you.

16 M. MILLAR: JT-3.2. Mr. Gluck, could you just  
17 repeat it? Because I got a little lost in going  
18 through the --

19 L. GLUCK: Sure. To provide the historical and  
20 forecast operations and project support in-service  
21 additions broken out between Darlington and  
22 Pickering.

23 C. KEIZER: To the extent we can.

24 L. GLUCK: Great. I appreciate that. Thank  
25 you.

26 **UNDERTAKING JT-3.2: PROVIDE THE HISTORICAL AND**  
27 **FORECAST OPERATIONS AND PROJECT SUPPORT IN-**  
28 **SERVICE ADDITIONS BROKEN OUT BETWEEN DARLINGTON**

1           **AND PICKERING TO THE EXTENT POSSIBLE**

2           J. BLAZANIN:  If I can clarify one piece, some  
3 of this project work may be for the fleet.  I don't  
4 know for a fact, but it may not be easily divisible  
5 between the two sites, so it might not be dedicated  
6 to a site.  So we will separate it that way as well.

7           L. GLUCK:  That is great.

8           J. BLAZANIN:  Okay.

9           L. GLUCK:  Thank you.

10          If we could go to D2-CCC-41, part D, please.  
11 Thank you.  And in this response, OPG notes that most  
12 of the forecasted in-service amounts related to the  
13 Pickering sustaining portfolio are timed to enter  
14 service at the same time as the scheduled completion  
15 of Unit 5 refurbishment, but there are some projects  
16 that would be brought into service in advance; is  
17 that correct?

18          J. BLAZANIN:  That is correct.

19          L. GLUCK:  Thank you.

20          And in the response, you mentioned a couple of  
21 projects; the Pickering 5 to 8 second simulator and  
22 the Pickering cranes and hoist projects, which you  
23 say are required to support the execution of other  
24 projects; is that correct?

25          J. BLAZANIN:  That is correct.  So cranes and  
26 hoists would be there to support other project work  
27 potentially that is going on in the plant as part of  
28 the sustaining portfolio.  But the second simulator

1 would be for the authorized training staff to be  
2 trained and ready to return those units to service  
3 and commission those units and start them up. And so  
4 that simulator needs to be in place and operational  
5 for that staff to be trained.

6 L. GLUCK: Okay. Thank you.

7 If we could go to D2-1-3, Table 1C, please.  
8 Thank you. So the projects -- I am just trying to  
9 map the projects we just talked about to this table.  
10 So my suspicion is that the -- those two projects are  
11 on line 56 and 57 of this table; can you confirm that  
12 or correct me?

13 J. BLAZANIN: That looks to be correct.

14 L. GLUCK: Okay. And then can you talk to me  
15 about what line 55 is; what that project is just in  
16 general and what it does?

17 P. LE DREFF: Good morning. Perrik Le Dreff.  
18 So the Project 89535 focuses on cranes that are in  
19 the boiler room that is the main reactor building, as  
20 well as some cranes that are in the reactor -- sorry  
21 -- in the turbine hall. The purpose of these  
22 upgrades is to essentially address some of the aging  
23 and degradation with these cranes and to ensure that  
24 the controls and some of the electrics are brought up  
25 to current standard.

26 L. GLUCK: Thank you.

27 So are those -- is that project -- or those  
28 cranes, I guess I should say, are they used as part

1 of the refurbishment? Like, are they helpful to the  
2 work that you are going to do as part of the  
3 Pickering refurbishment, or are they used post-  
4 refurbishment?

5 P. LE DREFF: Both.

6 L. GLUCK: Okay. Thank you.

7 Can we go to D2-CCC-44, Attachment 1, page 2,  
8 please. Thank you. So we did look at this table  
9 before, and this lists all the unallocated Pickering-  
10 related portfolio projects -- is that right -- on  
11 this page?

12 J. PEREIRA: So as per my earlier comment, it  
13 includes all of the unallocated projects at Pickering  
14 except the tier 3s.

15 L. GLUCK: Perfect. Thank you.

16 And I just want to ask a few questions about  
17 individual projects here and their purpose. So if we  
18 could talk about -- it is at -- there is no lines  
19 there. It is called the Pickering Channel Inspection  
20 and Gauging Apparatus for Reactors, life extension  
21 upgrades. I think it is -- the acronym is CIGAR.  
22 Can you tell me about what that project is and what  
23 the asset does.

24 K. CAREW: Kathleen Carew. So the CIGAR system  
25 is required for channel inspections performed to  
26 verify the fitness for service of the pressure tube.

27 L. GLUCK: Thank you. And is that something you  
28 need to do as part of to get ready for the

1 refurbishment, or is that useful after the  
2 refurbishment is complete?

3 K. CAREW: It will be useful after  
4 refurbishment.

5 L. GLUCK: Okay. Thank you.

6 And with respect to the -- there is a project  
7 called the Ajax pump replacement. It is a similar  
8 question, what is that project, and whether it is --  
9 the asset is useful for refurbishing Pickering or it  
10 is useful after Pickering is refurbished and as part  
11 of the operation of Pickering.

12 K. CAREW: Pickering Ajax pumps will need to be  
13 in service for the commissioning and readiness of the  
14 fuel-handling systems. So subject to check on the  
15 scheduling of those commissionings and whether those  
16 pumps will be used for additional pressure tests of  
17 the heat transport system, will need to be in-  
18 serviced to make sure readiness during the project  
19 and afterwards.

20 L. GLUCK: Okay. So what I would like instead  
21 of going through every project here now, I would  
22 appreciate if you would undertake to provide a  
23 description of what these projects are, the projects  
24 related to Pickering, and whether they are useful or  
25 needed in the refurbishment of Pickering and as part  
26 of doing the work for refurbishment or whether they  
27 are useful after Pickering is brought back online.

28 C. KEIZER: Just a question about the amount of

1 description that you are looking for. Like, you  
2 know, these projects, obviously, have a lot of detail  
3 and information associated with them, and there is a  
4 lot of projects on this list. So -- and I am not  
5 quite sure what you are going to be doing with the  
6 technical parameters of it in terms of evaluating it  
7 for the purposes of the question. So I just would  
8 need to understand what you mean by when you say "a  
9 description of the project."

10 L. GLUCK: Sure. A very short summary of the  
11 project, not a lot of technical detail. And the key  
12 piece is, is it useful for the refurbishment of  
13 Pickering? You need -- you need to do that project  
14 before you are refurbishing or while you are  
15 refurbishing, or is it useful for the operation of  
16 Unit 5 once it comes back online?

17 C. KEIZER: Or could we say, and it may be both?

18 L. GLUCK: Then you could say both. And with  
19 it, and why it is useful before or after  
20 refurbishment. But to your point, if you have to say  
21 both, you will -- you can say both.

22 C. KEIZER: Yeah, I guess I just -- I understand  
23 the nature of the undertaking. It is a lot of  
24 projects to do. It will take a lot of time to do.  
25 Can I just have a moment?

26 L. GLUCK: Sure.

27 J. BLAZANIN: Can we go to SEC-56. My colleague  
28 is asking to turn that up. It might provide some of

1 the information already, so let's take a look there.  
2 The second part about whether it is used for  
3 refurbishment or post-refurbishment or both, I don't  
4 think is there, but I just want to -- this may have  
5 some of the descriptions.

6 J. PEREIRA: So if we can go to the attachment,  
7 Attachment 3 and 4, but we can start with Attachment  
8 3. So the attachments here, Attachment 3 and 4,  
9 provides a list of our unallocated projects. For the  
10 Pickering ones, in addition to sort of their  
11 estimated investment value, there is a justification  
12 and detailed description of the project. I want to  
13 see if this may be useful in helping sort of clarify  
14 your questions.

15 L. GLUCK: Well, maybe we can find the channel  
16 inspection, the CIGAR project on the list.

17 J. PEREIRA: So that would be line 51, I  
18 believe.

19 L. GLUCK: Okay. I mean, if you would like to  
20 recycle the description, that is fine. But the key  
21 point that I would like you to answer in this -- in  
22 my proposed undertaking is whether it is useful and  
23 needed as part of the refurbishment project to  
24 refurbish Pickering or it is useful after Pickering  
25 returns to service.

26 P. LE DREFF: So subject to check, but looking  
27 at the description, the way to think about it is  
28 before Pickering refurbishment was decided, this

1 plant was being managed to an end-of-life. And so  
2 this toolset was basically obsolete already a number  
3 of years ago and was being maintained to a minimum  
4 level, knowing that the life -- like, remaining  
5 needed life of that toolset was extremely limited.

6 And so the purpose of having this toolset,  
7 because it is tried and true, is that after a unit  
8 comes back online, this will be the method to perform  
9 the fuel channel inspections that the CIGAR toolset  
10 performs until such time as the new system, because  
11 we have flagged a new project start in the Pickering  
12 rapid delivery machine system, comes into place. And  
13 so because this is tried and true, the idea is you  
14 will have this as your backup toolset.

15 C. KEIZER: So why don't we, then, just to -- so  
16 you can move on, Mr. Gluck, we will -- based upon the  
17 descriptions that are here, we will then identify, as  
18 you have asked us to identify, those which were  
19 useful for refurb and those which are continuing,  
20 ongoing, or both.

21 L. GLUCK: That is perfect. Thank you.

22 M. MILLAR: Okay. So that is JT-3.3.

23 **UNDERTAKING JT-3.3: ADVISE, FOR EACH PICKERING**  
24 **PROJECT, WHETHER IT IS USEFUL AND NEEDED AS PART**  
25 **OF THE PICKERING REFURBISHMENT PROJECT OR**  
26 **WHETHER IT IS USEFUL AFTER PICKERING RETURNS TO**  
27 **SERVICE OR BOTH**

28 L. GLUCK: Can we move to D2-CCC-42, part D,

1 please. Thank you. And it is a similar line of  
2 questions. But with respect to the Pickering water  
3 treatment plant lease, I understand that its purpose  
4 is to support ongoing post-refurbishment operation;  
5 is that correct?

6 J. BLAZANIN: That is correct.

7 L. GLUCK: And, similarly, this is -- the answer  
8 there is that this is really only needed after  
9 Pickering is brought back online?

10 J. BLAZANIN: This is needed for station  
11 operations, correct.

12 L. GLUCK: Okay. Perfect. Thank you.

13 Can we move to CCC-73, please -- F2-CCC-73.  
14 Sorry. So in response to part A, OPG explains that  
15 the base OM&A cost for Pickering are primarily  
16 related to regular labour cost with -- related to the  
17 nuclear operator training program; is that right?

18 J. PEREIRA: That is correct.

19 L. GLUCK: And I could take you to the table  
20 where this shows up, but I would ask that you would  
21 take it subject to check that over the 2027 to 2030  
22 period prior to Pickering re-entering service, there  
23 is \$70.9 million of base OM&A costs. If you would  
24 like to see the table, it is in F2-2-1, Table 1A.

25 J. PEREIRA: So line 2 on the table displayed  
26 between '27 to 2030 is what you would be referring  
27 to?

28 L. GLUCK: Yes.

1 J. PEREIRA: That is correct.

2 J. BLAZANIN: Sorry. Maybe we missed something.  
3 Is there a question?

4 L. GLUCK: Well, it was just -- originally, I  
5 was hoping you would just agree that it is \$70.9  
6 million of base OM&A cost for Pickering.

7 J. PEREIRA: Yes, that is correct.

8 L. GLUCK: Okay. Thank you.

9 And so what I am trying to reconcile is that  
10 there is \$70.9 million of cost over four years, and  
11 this is primarily related to a nuclear operator  
12 training program. So what I am trying to understand  
13 is how many -- I would like additional details about  
14 that program; how many operators in the program, how  
15 does the cost of a training program add up to \$71  
16 million over 4 years.

17 K. CAREW: So I will speak about the details of  
18 the training program while my colleague looks for  
19 numbers, as appropriate. But the nuclear operator  
20 training program for our authorized staff is a CNSC-  
21 licensed position for which there is a full 36 months  
22 of in-classroom/simulator training and then  
23 additional time in classroom as well as on-the-job  
24 training and co-piloting portions. That is a  
25 significant amount of resource, both for the  
26 individuals who are being trained, the individuals  
27 who are providing the training, the individuals who  
28 are maintaining and operating the simulator, and the

1 individuals who are creating and delivering the  
2 appropriate exams for those classes.

3         Given the end-of-life plans for Pickering and  
4 the wind-down of authorized classes to prepare for  
5 that, we do need to perform training at a slightly  
6 accelerated pace to make sure that we have adequate  
7 staffing in place to support the station operations  
8 once Unit 5 comes back online, and as well, to allow  
9 us to support the other key operational positions  
10 within the organization, as the knowledge and  
11 experience that the authorized staff gain as part of  
12 this training program is essential and useful in  
13 other parts of our business as well such as our  
14 leadership positions and other work management-type  
15 operations planning positions as well.

16         So that, in general, explains the basis and how  
17 important that program is to nuclear power plant  
18 operations. I will turn it over to Mr. Pereira to  
19 add further details.

20         J. PEREIRA: I can confirm the number of FTEs of  
21 the operators in the plants. We provided this in F2-  
22 SEC-167, Attachment 1.

23         L. GLUCK: Okay. Thank you for that.

24         If we can move to A1-CCC-9, Attachment 23,  
25 please. Thank you.

26         So the long lead materials procurement internal  
27 audit was completed in July of 2024; is that correct?

28         K. CAREW: That is correct.

1 L. GLUCK: And if we go to page 4, please, the  
2 target completion date of the management action plans  
3 in response to the audit were expected to be complete  
4 at various points in 2025; is that correct?

5 K. CAREW: I see that. It looks correct.

6 L. GLUCK: Thank you.

7 And one of the observations from the audit is  
8 that there are no tools in place to capture early  
9 demand signals from future investment and condition  
10 to provide reliable data to facilitate supplier  
11 capacity mitigation activities.

12 P. LE DREFF: Can we pull up the Board Staff  
13 interrogatory number 15, please. I believe that  
14 question was answered in section "Delta" or "Echo."

15 And the reason I wanted to point folks here  
16 under "Echo" and "Foxtrot" is as it relates to our  
17 panel on projects or operations that the audit  
18 findings were not directed to any specific project  
19 area, and so we don't have specific detail on the  
20 actions raised in the audit.

21 L. GLUCK: Okay. So if we -- in the audit,  
22 excuse me, one of the observations was that there  
23 were no tools in place; is that right? The audit  
24 said that?

25 It is under -- it is the first bullet under  
26 "systems and tools."

27 P. LE DREFF: That is correct as noted.

28 L. GLUCK: Thank you.

1           And my understanding is the concern with  
2 deficient supplier capacity risk mitigation is that  
3 it can cause delays to schedule and production  
4 related to vendors' projects -- products, excuse me,  
5 which could adversely impact OPG's projects; is that  
6 fair? Generally, that is what the concern would be?

7           P. LE DREFF: That sounds accurate.

8           L. GLUCK: Thank you.

9           And during the '22 to '26 historical period, did  
10 OPG experience any problems with procuring certain  
11 products with long lead times which caused OPG's  
12 projects to be delayed or adversely impacted?

13          P. LE DREFF: I don't have any specific examples  
14 to cite; however, one of the things I could stress is  
15 from the project's point of view, from early  
16 identification of a project, we have a dedicated  
17 supply chain team that is mapped to the projects  
18 teams, and they work with the broader supply chain  
19 functions that include functions like category  
20 management, that focus on key category areas like  
21 large assets, like transformers, and so on.

22          And through our vendor relationships and  
23 relationships with direct OEMs, original equipment  
24 manufacturers, we engage early, even before we have,  
25 like, finished specifications or finished  
26 engineering, to get a sense of the -- of the market  
27 dynamics. And so that is information that is fed in  
28 when we are laying out our early scoping, definition

1 phase works of our projects.

2 L. GLUCK: Thank you.

3 So just back to the original question. Were  
4 there any projects that experienced delays or adverse  
5 impacts related to procuring certain products with  
6 long lead times?

7 C. KEIZER: I think he indicated that he didn't  
8 have any particular examples that came to mind.

9 Is that correct, Mr. Le Dreff?

10 P. LE DREFF: That is correct. One notable  
11 category is -- that is applicable in the rate period  
12 is we did have COVID-related impacts that affected a  
13 number of projects. That is the main, I would say,  
14 like, global category that jumps out.

15 L. GLUCK: Would you be able to undertake to  
16 check if there are any projects during the historical  
17 period that were impacted by long lead time materials  
18 that led to delays or other cost overruns related to  
19 those projects?

20 J. BLAZANIN: I think that would be a bit of an  
21 onerous task to go back project by project and  
22 understand why something was delayed. If it was  
23 COVID-related and there was a global shortfall it  
24 didn't have anything to do with the early demand  
25 signals or otherwise, so I think it would be pretty  
26 onerous to try to do that.

27 L. GLUCK: Would it be possible to do it if you  
28 were to ignore COVID-related ones? So perhaps a

1 little bit --

2 J. BLAZANIN: Again, you would have to look at  
3 all of the projects, understand what the delays were,  
4 and then start to eliminate those. So you would have  
5 to go project by project by project to try to do  
6 this.

7 L. GLUCK: I would like this undertaking.

8 C. KEIZER: Well, I think the witness has  
9 indicated, given the significant number of projects  
10 that exist at OPG, that you are asking them to go  
11 through and look for particular detail, which may  
12 take a significant amount of time given the extent of  
13 the projects, the complexity of them, and the number  
14 of them. And so, I mean, OPG's position is that that  
15 is an unreasonable undertaking given the amount of  
16 time that would be required to -- given the timing we  
17 have to be able to respond to the undertaking.

18 L. GLUCK: Where this is coming from is that  
19 there is an audit suggesting that there was some  
20 deficiencies with respect to the governance related  
21 to the procurement of long lead materials, the --  
22 those deficiencies can lead to problems related to  
23 the projects themselves which could lead to cost  
24 overruns that are now showing up in rate base for  
25 recovery from ratepayers going forward. So I think  
26 it is important to understand whether the procurement  
27 of long lead materials caused any problems.

28 C. KEIZER: Yeah. Are you referring to the

1 sentence in the audit that says "the demand data  
2 supporting the supplier capacity risk mitigation issue  
3 may be incomplete"? Is that what you are saying? Is  
4 that what you are asking about, that particular  
5 sentence?

6 L. GLUCK: Yes.

7 C. KEIZER: So it may be incomplete, which means  
8 the audit is inconclusive. So you are asking us to  
9 take on significant amount of work to review all of  
10 the different projects, define particular rationale  
11 made, which may be a predominant issue in any of  
12 these projects, for an audit finding which is not  
13 conclusive.

14 L. GLUCK: I mean, the top of that table says:  
15 "End-to-end processes, responsibilities, and  
16 use of systems to enable the development of  
17 procurement strategies for demand  
18 identification from potential investments are  
19 not clearly defined or accepted by business  
20 units." (as read)

21 And the risk is high. And that is the summary  
22 of the audit with everything in it, not just one  
23 sentence.

24 C. KEIZER: Yeah. And I was looking at the  
25 finding of the audit.

26 So at this stage, Mr. Gluck, the answer to your  
27 undertaking request, unless we discuss it further at  
28 lunch as to whether or not it is doable or not

1 doable, is the answer it -- giving you the  
2 undertaking is no.

3 L. GLUCK: Okay. Thank you.

4 T. EMINOWICZ: Mr. Gluck, may I?

5 L. GLUCK: Of course.

6 **EXAMINATION BY T. EMINOWICZ:**

7 T. EMINOWICZ: Yesterday with the witness panel,  
8 OEB Staff asked about a TRF major component  
9 replacement program, and from what I recall, there  
10 was a mention of long lead materials for that  
11 program. We also discussed the deferral or movement  
12 of a Unit 2 outage. Just wondering if the  
13 undertaking could be taken for those two things  
14 specifically.

15 P. LE DREFF: Maybe I could offer something that  
16 would help address your concern. So what this audit  
17 is identifying, the way that I read it, is that there  
18 aren't top-down processes that are essentially  
19 saying, buy this now, and, buy that now.

20 But fundamentally, the way that we operate the  
21 portfolio isn't trying to time the market of when it  
22 would be a good time to procure something, but it is  
23 based on condition of assets. And then that is when,  
24 through the asset management process and then the  
25 portfolio management processes, we have the ability  
26 to identify, like, when is a project going to start.  
27 And it is quite a long time gap between when a new  
28 start is identified to when it is executed. And so

1 that generally is giving the teams adequate time to  
2 assess the market, look at options, and so on.

3 So I would offer that this top-down trying to  
4 drive, like, a demand to purchase is not how we  
5 operate our portfolio.

6 T. EMINOWICZ: I guess what I am trying to  
7 understand is it is my understanding that the TRF  
8 facility was at its end of nominal life. It started  
9 in the '80s. I think the late '80s it came into  
10 service and had a 30-year service life. And work was  
11 moved from 2026 to 2027 on the -- at least somewhat  
12 on the basis of long lead materials. And I guess I  
13 am just curious if any of these audit findings could  
14 have contributed to a missed opportunity to do that  
15 work that was originally presented as 2026 and got  
16 moved into 2027.

17 P. LE DREFF: The answer to that is no. So the  
18 project that we spoke about at the end of the day  
19 yesterday, the CRS compressor, there was one  
20 manufacturer that is the original equipment  
21 manufacturer, and discussions were initiated very  
22 early with that vendor. And we actually just  
23 completed the factory acceptance test on time this  
24 year for that -- that component.

25 There is another very complex component that is  
26 being installed in 2029, and, again, we have had  
27 purchase orders out in good time with no impacts.  
28 Again, it is specialized equipment dealing with

1 hydrogen. And so, again, no impacts there. And this  
2 is the value of identifying those scopes very early,  
3 to be able to engage with these equipment  
4 manufacturers early.

5 T. EMINOWICZ: Thank you, Mr. Le Dreff. Thank  
6 you, Mr. Gluck.

7 **EXAMINATION BY L. GLUCK:**

8 L. GLUCK: Thank you.

9 If we could open A1-Staff-15 again, please. In  
10 this question OEB Staff asked for the specific major  
11 projects and the proportion of the smaller  
12 hydroelectric and nuclear projects over the forecast  
13 period that involved long lead materials across  
14 various parts of that question.

15 We asked that for each year of the '22 to 2031  
16 historical and forecast periods, that the dollar  
17 value associated with capital projects involving long  
18 lead time materials for each of the regulated hydro  
19 and nuclear operations businesses be provided.

20 C. KEIZER: Sorry, Mr. Gluck, can you just  
21 repeat your question. Sorry. I missed part of it.

22 L. GLUCK: Sure. This response lists a number  
23 of projects and proportion of projects that involve  
24 long lead materials, and what we would like is the  
25 dollars related to the projects that are impacted by  
26 long lead materials for the historical period and the  
27 forecast period.

28 C. KEIZER: Sorry. And you are talking about

1 this for the -- obviously for nuclear, you are saying  
2 -- is that what you are saying?

3 L. GLUCK: I was asking for hydro and nuclear.  
4 This response speaks to both. I asked my questions  
5 to the nuclear Panel because it seemed more nuclear  
6 focused, but this response speaks to both hydro and  
7 nuclear businesses. And this is the kind of thing  
8 that would need to be done by an undertaking.

9 C. KEIZER: And you want, what, a dollar value  
10 related to the project; is that what you are asking?

11 L. GLUCK: It is an aggregate number.

12 C. KEIZER: Of the --

13 L. GLUCK: Long lead material projects for each  
14 year, '22 to 2031.

15 C. KEIZER: So total project costs for those  
16 projects that have long lead time materials?

17 L. GLUCK: That is right.

18 C. KEIZER: Is that something we could take away  
19 at the break? Just, I think there is a bit of  
20 confusion on the panel there. We might want to have  
21 a discussion at the break about what we can and  
22 cannot do.

23 L. GLUCK: Sure.

24 C. KEIZER: And also whether we can commit the  
25 hydro folks at the same time. I think that is the  
26 other element here.

27 L. GLUCK: Okay. That sounds good. Thank you.  
28 If we could go to D2-AMPCO-28, please,

1 Attachment 1. And here, this table shows that the  
2 Darlington water treatment plant interconnections  
3 project experienced a cost overrun of about \$42  
4 million, or 80 percent; is that correct?

5 C. KEIZER: Is there a line number, sorry, that  
6 you are pointing to?

7 L. GLUCK: Sure, yeah. It is line 4.

8 C. KEIZER: I see it.

9 P. LE DREFF: That is correct.

10 L. GLUCK: Thank you.

11 And the water treatment plant interconnection  
12 project went into service in December of 2024; is  
13 that also correct?

14 P. LE DREFF: That is correct.

15 L. GLUCK: Thank you.

16 Can we go to D2-AMPCO-57A, please. Thank you.

17 And I understand from part A to this response that  
18 23.2 million of the cost overrun was caused by the  
19 need to address unidentified buried services; is that  
20 correct?

21 P. LE DREFF: That is correct.

22 L. GLUCK: And if we can go to D2-AMPCO-59,  
23 please. In this response, OPG discusses the  
24 activities it undertook to identify the buried  
25 services prior to the start of construction. And one  
26 of the cited activities was a review of site drawings  
27 and OPG notes that the buried services were not shown  
28 on the site drawings; is that right?

1 P. LE DREFF: That is correct.

2 L. GLUCK: And those site drawings would have  
3 been completed by OPG itself; is that correct?

4 P. LE DREFF: Yeah. Then Ontario Hydro at the  
5 time of construction.

6 L. GLUCK: Okay. Could we go to D2-AMPCO-62A,  
7 please. And this is with respect to the Darlington  
8 digital control project.

9 And my understanding is that in EB-2020-0290,  
10 the cost of that project was expected to be 77.5  
11 million, and the current estimate is 156.4 million;  
12 is that right? I think it is in the question, those  
13 -- that is where I got those numbers from.

14 P. LE DREFF: That is correct.

15 L. GLUCK: And one of the reasons for the  
16 increased cost estimate is that there has been a 7-  
17 year project extension and additional contingency  
18 requirements; is that right?

19 P. LE DREFF: That is correct.

20 L. GLUCK: And in part B to the question, I  
21 think down a little bit on the page -- thank you --  
22 OPG explains that the project has experienced  
23 challenges regarding specialized external resource  
24 availability. Do you see that?

25 P. LE DREFF: Yes, I do.

26 L. GLUCK: And could you explain that further,  
27 what is being referred to there?

28 P. LE DREFF: Yes. So these computers are of a

1 vintage of the early 1980s, and as a result, the  
2 modern industry with hardware and software has moved  
3 on many, many generations ago. And so as an  
4 industry, we have faced challenges with having that  
5 skill set available. You are talking about pretty  
6 antiquated hardware that no company offers as an off-  
7 the-shelf component.

8       It does involve, like, a small set of experts  
9 that have to do reverse engineering on the original  
10 equipment, and OPG has tried for several years to  
11 find more expertise. OPG is also investing in its  
12 own resources with additional staffing to be able to  
13 not just deliver these Darlington-specialized  
14 computer projects, but also the future Pickering  
15 projects.

16       L. GLUCK: Thank you.

17       And similarly, there is a discussion regarding  
18 unanticipated equipment failures, which has reduced  
19 the number of spares for critical components within  
20 the project scope. Can you discuss that as well? Is  
21 that similar?

22       P. LE DREFF: That is definitely similar in that  
23 the early estimating for the project was based on it  
24 is these boards that we need to reverse-engineer,  
25 update the design, find a manufacturer that can  
26 manufacture these boards. And so as the project  
27 continued to be scoped and evolved, then in the  
28 field, you had more failures that then expanded the

1 scale of what the project then needed to take on.

2 L. GLUCK: Thank you.

3 Can we go to D2-CCC-55, part C, please. I think  
4 it is -- oh, it is there. Thank you. In this  
5 response, OPG sets out the levelized cost of energy  
6 for each of the four unit DNNP, the PRP, and the  
7 recalculated LCOE for the substantially completed  
8 DRP. And my understanding when you say that it is  
9 the recalculated LCOE, it was based on a request I  
10 made to include the Darlington turbine rotor  
11 replacement project as part of that cost; am I  
12 understanding it correctly?

13 C. KEIZER: I don't know if we have the right IR  
14 up, do we?

15 L. GLUCK: Well, I was going to ask a question  
16 here, but I think the -- where the response is 45. I  
17 think you are right that we should look at CCC-45  
18 first.

19 Should I ask the question again?

20 C. KEIZER: Yeah, that would be preferred,  
21 please.

22 L. GLUCK: Thank you.

23 So the LCOE for the substantially completed DRP  
24 inclusive of the -- in -- this calculation now  
25 includes the Darlington turbine rotor replacement  
26 project, the 9 cents per kilowatt hour; is that  
27 right?

28 J. BLAZANIN: That is my understanding, that it

1 included that extra cost in the calculation -- or  
2 that extra scope project.

3 L. GLUCK: Thank you.

4 And the recalculated DRP LCOE of 9 cents per  
5 kilowatt hour is shown in -- sorry -- 2015 dollars;  
6 is that correct?

7 J. BLAZANIN: I think we have to scroll back up,  
8 yeah.

9 C. KEIZER: Yeah.

10 J. BLAZANIN: It is in 2015 dollars restated  
11 back to the time of the release quality estimate for  
12 Darlington refurbishment.

13 L. GLUCK: Thank you. Thank you.

14 And if we could go to -- back to 55, CCC-55 C,  
15 please. Just trying to get the numbers on the same  
16 basis as each other. The other -- the DNNP and the  
17 Pickering refurbishment are using 2024 dollars; do  
18 you see that?

19 J. BLAZANIN: I do.

20 L. GLUCK: Thank you.

21 And I attempted to do the math, and I come up  
22 with -- if I were to convert the 9 cents per kilowatt  
23 hour in a 2015 value, moving it to a 2024 dollar  
24 value, using a CPI-based escalation rate, which is, I  
25 think, what you have used, I come up with \$114.50 per  
26 megawatt hour; is that correct? Or could you  
27 undertake to provide the number in a -- on the basis  
28 of 2024 dollars?

1 C. KEIZER: I don't think that is -- I don't  
2 think that can be confirmed by this panel in terms of  
3 how you have calculated it.

4 L. GLUCK: Okay. So can you take an undertaking  
5 to provide the value in 2024 dollars?

6 C. KEIZER: No. We don't believe it is an  
7 appropriate calculation to do, that the proper  
8 reference amount back for DRP is the original RQE,  
9 based on the calculation we provided in the previous  
10 -- previous IR that you refused to -- referred to.

11 L. GLUCK: So can you explain how you -- just in  
12 terms of the methodology, how you deflate or inflate  
13 dollar values from year to year? Is it a CPI-based  
14 calculation? Is it GDP? IPI? It is just a  
15 percentage. Like, what percentage are you using and  
16 on what index is applied?

17 C. KEIZER: Sorry, Mr. Gluck. Can I just have a  
18 moment?

19 L. GLUCK: Sure.

20 C. KEIZER: Mr. Gluck, I mean, first of all, I  
21 don't think this is the right Panel to put that  
22 question to. So we would have to consider that  
23 further, but we believe that it is Panel 4.

24 L. GLUCK: Okay. That is fine.

25 C. KEIZER: Or the next panel. But -- so maybe  
26 what we could do is just clarify at the break as to  
27 which the appropriate Panel is, and then we can  
28 address that question. But at the same time, we may

1 reserve our right to refuse it, depending on the way  
2 in which the question is posed. But let's clarify at  
3 the break as to whether it is the next Panel or the  
4 Panel after that.

5 L. GLUCK: That is good. Thank you.

6 So my last -- this is my last question, but my  
7 colleague Mr. Buonarguro will have some questions as  
8 well. And I am not sure if this is the correct  
9 Panel.

10 I -- if we could go to F2-CCC-71, please. And  
11 my questions really relate to the rate framework and  
12 the stretch factor, but the nuclear benchmarking  
13 appears to be mapped to this panel, so I guess I will  
14 try here. Can we go to part L at Chart 5, please.  
15 And I want to make sure that I understand the table.

16 So the middle column titled "2025 study using  
17 2021 to 2023 data," and when you include all four  
18 normalizations, so the bottom row in the table, is  
19 that the basis for the stretch factor in the nuclear  
20 rate-making framework?

21 C. KEIZER: I don't think the question relating  
22 to stretch factor is appropriate for this Panel. So  
23 it is -- it is Panel 4. This Panel can only address  
24 the benchmarking itself.

25 L. GLUCK: Okay. So if I have questions about  
26 this table -- most of my questions are about this  
27 table -- it should go to Panel 4?

28 C. KEIZER: If the question is related to the

1 benchmarking that was done, then this Panel can  
2 address the benchmarking. If your question is  
3 related to the stretch factor, then that is Panel 4.

4 L. GLUCK: Okay. Let me try one question here.

5 The far-right column, the 2025 study, 2022 to  
6 2024, is that the most updated information -- the  
7 most up-to-date information that OPG has? And you  
8 have run -- because I understand that OPG provided  
9 the response to this question, not ScottMadden. So  
10 is this OPG running the ScottMadden normalizations to  
11 the 2022 to 2024 actual results for Darlington?

12 M. EL DEFRAWY: That is correct. This is OPG  
13 applying the ScottMadden methodology for 2022 to  
14 2024, as requested in the IR.

15 L. GLUCK: Okay. And when you do that, you have  
16 done what ScottMadden does, not just in terms of the  
17 normalizations, but also the peer group; right?

18 Like, you are -- you are sort of -- OPG itself is  
19 doing what ScottMadden did entirely in their study,  
20 which is the middle column is -- I understand the  
21 middle column represents ScottMadden's study. That  
22 is the results from it. And then you did the exact  
23 same thing that ScottMadden does but used an  
24 additional year of data?

25 M. EL DEFRAWY: That is correct. So we added an  
26 extra year, 2024; however, we removed 2021, as this  
27 is a three-year basis.

28 L. GLUCK: Okay. And so you would have used the

1 same starting point that they used for the full data  
2 set, which I understand is they go all the way back  
3 to 2006 in the data set. So you are using that as  
4 well?

5 M. EL DEFRAWY: So to clarify, what we do is we  
6 take the coefficients that ScottMadden has determined  
7 for the various drivers, such as technology, age,  
8 whatnot, based on the ScottMadden model, and those  
9 are applied as adjustments to the various TGC  
10 components.

11 L. GLUCK: Okay.

12 M. EL DEFRAWY: So this is -- maybe if I could  
13 just add, so overall, yes, that would include the  
14 2006. So it is the same methodology and it is the  
15 same adjustments that are factored in for the 2021 to  
16 2023.

17 L. GLUCK: Okay. Thank you.

18 And in A1-Staff-002, I don't know that we  
19 necessarily need to pull it up, but ScottMadden  
20 provided all the working papers that underpinned its  
21 study. Do you have the same calculations done for  
22 the '22 to 2024 version of the run?

23 M. EL DEFRAWY: So I am not entirely certain on  
24 that aspect.

25 L. GLUCK: Do you have working papers and  
26 calculations that show what you did?

27 M. EL DEFRAWY: We do, yes.

28 L. GLUCK: Can we -- can we undertake to provide

1 them?

2 M. EL DEFRAWY: Perhaps maybe prior, I will try  
3 to maybe offer up some additional clarification.

4 So overall for the '21 to 2023 values that are  
5 calculated via ScottMadden, these adjustments are  
6 then escalated to obtain the 2024 adjustments amounts  
7 and then escalated as well on a forward-looking  
8 basis. So it basically factors in the adjustments  
9 that are calculated based on the methodology and the  
10 model by ScottMadden and then applied for the  
11 forward-looking years, if that helps explain it. So  
12 it is really a function and a factor of escalating  
13 these adjustments that ScottMadden determined.

14 L. GLUCK: When you say, "escalating the  
15 adjustments," can you just help me a little bit?

16 M. EL DEFRAWY: So, for example, the technology  
17 adjustment, that 539 million.

18 L. GLUCK: Yeah.

19 M. EL DEFRAWY: If we want to determine what  
20 that would be in 2027, for example, we escalated that  
21 based on a 2 percent basis. So overall, that  
22 adjustment is just an escalation that is applied not  
23 only to OPG, but other industry as well, and that all  
24 goes into determining the various quartiles.

25 C. KEIZER: So rather than going down the  
26 technical road, is it helpful for you, Mr. Gluck, if  
27 we just show you the calculation that was done for  
28 the far-right column, 2022 to 2024?

1 L. GLUCK: Yeah, that would be helpful, but we  
2 want to see the -- sort of the live Excel  
3 spreadsheets that show how the calculation was done  
4 so we can follow along.

5 C. KEIZER: Yeah, I guess to the extent that we  
6 can provide those, we will; if we can't, we will  
7 explain why we can't. But effectively, the  
8 undertaking would be to show you the calculation was  
9 done -- how it was done so you could understand the  
10 basis of the calculation, sure.

11 L. GLUCK: Okay. Thank you.

12 M. MILLAR: Okay. That is JT-3.4. And it is to  
13 show the calculation for the right column there, the  
14 numbers for 2022 to -- the 2025 study for 2022 to  
15 2024 for three-year TGC megawatt hour. Okay. JT-  
16 3.4.

17 L. GLUCK: I didn't hear in that -- are we  
18 getting the working papers, or really you are just  
19 going to give us an output?

20 C. KEIZER: I am giving you the basis of the  
21 calculation. I don't know if there is working  
22 papers. The witness already indicated he wasn't sure  
23 whether there were or were not. So I think we are  
24 indicating or demonstrating to you the calculation,  
25 how it was done, so you can understand the basis of  
26 how it was done so -- as you say, so you can follow  
27 along.

28 L. GLUCK: And if there are working papers, can

1 you provide them?

2 C. KEIZER: Well, that part I would have to take  
3 under advisement, given what they were and what the  
4 nature of those working papers were. But if we can  
5 provide them, we will; if we can't, we will explain  
6 why we can't.

7 L. GLUCK: Okay. Thank you.

8 **UNDERTAKING JT-3.4: PROVIDE THE CALCULATION FOR**  
9 **THE 2025 STUDY FOR 2022 TO 2024 FOR THREE-YEAR**  
10 **TGC MEGAWATT HOUR AND PROVIDE WORKING PAPERS, IF**  
11 **POSSIBLE**

12 L. GLUCK: And I have one related question, and  
13 it is an -- it is an -- I would like ScottMadden to  
14 take an undertaking, so I will just put it to this  
15 panel, and you can tell me it should go somewhere  
16 else.

17 So in F2-CCC-71, part B, if you go to the table,  
18 please, you will see that the coefficients for the  
19 model change quite significantly depending on the  
20 starting date of the data set, so whether you start  
21 in 2006 or 2009. And you can see that, like, as an  
22 example, using age as an example, it basically shows  
23 that if you use 2009 as the starting point, the age  
24 coefficient becomes negative, which implies that  
25 older stations actually cost less to operate than  
26 newer stations.

27 And if you use 2006, the number becomes  
28 positive, implying that older stations cost more to

1 operate. So there is a big change depending on what  
2 year you use to start the study, and I would like --  
3 and I would like ScottMadden to undertake to explain  
4 why and what is driving that change to the  
5 coefficient.

6 C. KEIZER: Can I just have a moment?

7 L. GLUCK: Yes.

8 C. KEIZER: I guess only one caveat, because we  
9 are speaking on behalf of ScottMadden, and you are  
10 asking the undertaking from them, so to the extent --  
11 subject to any comments or considerations from  
12 ScottMadden, then we will provide the undertaking on  
13 that basis.

14 L. GLUCK: Thank you.

15 M. MILLAR: That is JT-3.5.

16 **UNDERTAKING JT-3.5: EXPLAIN WHY AND WHAT IS**  
17 **DRIVING THE CHANGE TO THE AGE COEFFICIENT**  
18 **DEPENDING ON STARTING YEAR IN F2-CCC-71, PART B**

19 L. GLUCK: Okay. Those are my questions. Mr.  
20 Buonarguro has some questions as well.

21 M. MILLAR: Thank you, Mr. Gluck. We are  
22 actually pretty close to a break time. So, Mr.  
23 Buonarguro, is it okay if we take our morning break?  
24 Okay. Let's come back in 15 minutes at 11:10.

25 --- Upon recessing at 10:55 a.m.

26 --- Upon resuming at 11:13 a.m.

27 M. MILLAR: Charles, any preliminary matters?

28 C. KEIZER: I have one preliminary matter.

1 M. MILLAR: Okay.

2 **PRELIMINARY MATTERS**

3 C. KEIZER: Actually, could I ask -- Mr.  
4 Blazanin, he is going to make some clarification with  
5 respect to an exchange that took place relating to  
6 CCC-41, I believe.

7 J. BLAZANIN: Yes. I don't know if we need to  
8 call -- should we call up the -- I don't think we are  
9 on.

10 M. MILLAR: Okay. There we go.

11 J. BLAZANIN: Yeah, so CCC-41, I think it is  
12 part D, the reference, we were having an exchange  
13 about these projects, and when they come into  
14 service, are they for refurbishment.

15 The timing of these assets coming into service  
16 is timed such anticipating Unit 5 will be operational  
17 returned to service, which is May 2031 in  
18 [indiscernible] date. Anticipating potentially that  
19 these units could come in a little bit sooner or  
20 otherwise, these assets are timed to be able to be  
21 tested and commissioned well in advance and be useful  
22 for operational purposes, and so that is why some of  
23 the timing for most of these is related to that.

24 So I just wanted to make that clarification. It  
25 seemed to me that it was a discussion around they  
26 need to be available when Unit 5 returns on service,  
27 at that point in time, but they have to be ready in  
28 advance. I just want to make that clear distinction

1 there. Okay. Thank you.

2 M. MILLAR: Okay. I think we can turn now to  
3 Mr. Buonarguro.

4 **EXAMINATION BY M. BUONARGURO:**

5 M. BUONARGURO: Good morning. My name is  
6 Michael Buonarguro. I am counsel with the CCC. I  
7 don't have a lot, but there are some questions I just  
8 have to ask because I am just too interested. If we  
9 could start with Exhibit C2, Tab 1, Schedule 1, page  
10 30.

11 I am waiting for it to pop up on the screen.

12 C. KEIZER: Yeah, I don't think the witnesses  
13 necessarily would have that because I think it is a  
14 cost of capital --

15 M. BUONARGURO: It is decommissioning costs.

16 C. KEIZER: I think this -- if it is getting  
17 into the nature of decommissioning, that would be  
18 Panel 4 but --

19 M. BUONARGURO: Well, if I can ask the question  
20 and then if --

21 C. KEIZER: Yeah.

22 M. BUONARGURO: -- it seemed to me it was -- the  
23 reason I am asking is because of some of the  
24 discussion yesterday that made me think of this, so I  
25 thought I would ask. It has to do with the heavy  
26 water.

27 If you see at the top of the page, it explains  
28 that -- and I will summarize. It explains since

1 units 1 and 4 at Pickering were decommissioned, the  
2 heavy water from those units has been transferred to  
3 the D20 facility and used in various ways. Do you  
4 see that?

5 K. CAREW: Just a moment. I am looking for it  
6 on my own screen. Is it page 30?

7 C. KEIZER: I think you are around line 1 to --

8 M. BUONARGURO: Page --

9 C. KEIZER: -- 1 to 4. Is that where you are,  
10 Mr. Buonarguro?

11 M. BUONARGURO: Yeah. The top paragraph  
12 summarizes the entire thing.

13 K. CAREW: I see it.

14 M. BUONARGURO: So my question is, my  
15 understanding is that the plan or what actually  
16 happened, which is take that water after  
17 decommissioning and -- and put it in the -- or store  
18 it in the D20 facility, my understanding is that that  
19 not -- is not necessarily what was planned  
20 originally. That is something that happened  
21 recently.

22 So I am trying to understand or I would like to  
23 understand what -- what did OPG assume was going to  
24 happen with the heavy water from decommissioned units  
25 1 and 4 from Pickering as part of the ONFA funding --  
26 so when ONFA is figuring out what they are going to  
27 do on decommissioning, what was assumed in that plan  
28 versus what is happening now?

1 C. KEIZER: I don't think that is for this  
2 panel, Mr. Buonarguro.

3 M. BUONARGURO: Okay. I can -- it sounds like I  
4 can ask Panel 4?

5 C. KEIZER: You can give it a try, yeah.

6 M. BUONARGURO: Thank you.

7 If we can go to Exhibit L, F2-CCC-76. And at  
8 part B, what I asked was, the first part of the  
9 question:

10 "Please confirm that the scope and timing of  
11 outages and cyclical maintenance included in  
12 this category of cost are defined regulatory  
13 requirements --" (as read)

14 Talking about outages:

15 "-- and that neither the scope nor the timing  
16 of either can be changed without regulatory  
17 approval." (as read)

18 And then what -- the answer that I got was:

19 "Partially confirmed. A portion of the scope  
20 of each outage and the timing of each outage is  
21 defined by regulatory requirements, and the  
22 remaining portion of the scope of each outage  
23 is within OPG's discretion. As discussed in  
24 part A, outage timing is defined by regulatory  
25 requirements for preventative maintenance and  
26 inspections and requires regulatory approval to  
27 change. This typically represents 40 to 60  
28 percent of each outage's scope; the remainder

1           is comprised of additional preventative  
2           maintenance, corrective maintenance, and  
3           projects to sustain and improve plant  
4           reliability." (as read)

5           And so when I read that in the context of the  
6           questions I was asking, it sounded like this -- and I  
7           will use the 2027 planned VBO outage as an example.

8           It sounds like from this answer any time we do  
9           an outage, there is a regulatory requirement. So in  
10          this case, a VBO in 2027 that is driving the timing,  
11          and we have do it in 2027 in this case. And then we  
12          layer on other requirements which may extend the  
13          outage, but we all do it all at once. So there is an  
14          initial required outage, and then we tag things onto  
15          that. And it seemed to be describing that to be the  
16          case in every time you do an outage.

17          So that is how I read that answer, but I don't  
18          think that is precisely true, so I wanted you to --  
19          to give you my understanding of the answer, and then  
20          maybe you can help me understand whether that is true  
21          or whether it is slightly different than that.

22          K. CAREW: So as stated in part "Bravo" about  
23          the question being partially confirmed, the outage  
24          frequency is tied to license requirements, and many  
25          of those license requirements will be inspections and  
26          preventative maintenance that are required to  
27          important station systems, tied to the license. So  
28          that is 100 percent true and informs how we schedule

1 our outages and the major scope that goes into them  
2 that are licensed requirements.

3 We typically will set that particular scope as  
4 that bounding critical path. And we also look for  
5 those opportunities -- because there will be other  
6 important works that would impact production versus,  
7 I will say, nuclear safety, those production works  
8 are sought to fit within the scope of the licensed  
9 requirements.

10 Now, in the upcoming rate period, there are  
11 important works there, like the primary moisture  
12 separator work, that is significantly longer and will  
13 be tied to a fitness for service for the boilers in  
14 the upcoming case, for which there are license  
15 requirements as well. So in that case, you see that  
16 significant work impacting that outage schedule.

17 But barring something like that, you will find  
18 the normal suite of work such as pressure tube,  
19 feeder inspections, et cetera, become the bounding  
20 scope of an outage, and the remaining works that are  
21 not that licensed requirement work fit within the  
22 time frames.

23 M. BUONARGURO: Thank you.

24 From that answer, it sounds like I so far got it  
25 right for the most part. Most of the time, you have  
26 a planned outage, which is timed because of  
27 regulatory requirements, and then you will build out  
28 the scope of that outage to do other work that you

1 need to do at the same time?

2 K. CAREW: Yes. But I would like to make the  
3 distinction that we don't build out the scope to  
4 extend the length of time.

5 M. BUONARGURO: So let's use the 2027 as an  
6 example because it is -- there is three things going  
7 on in the -- at least that I understand it, there is  
8 three things going on with that with respect to Unit  
9 2 at least. There is the VBO; correct? The vacuum  
10 building outage that has to be done on a 36-month  
11 cycle?

12 K. CAREW: Vacuum building outages are on 12-  
13 year cycle.

14 M. BUONARGURO: Sorry. 12-year cycle, so -- but  
15 that is -- the reason that is in 2027 is because  
16 that is the 12th year?

17 K. CAREW: Correct.

18 M. BUONARGURO: Okay. So you have to do that  
19 one. You mentioned the PMO, I think is what you  
20 called it. What is it -- well, what is the other  
21 part -- what are the other parts of that outage that  
22 are happening at Darlington Unit 2?

23 K. CAREW: On Unit 2?

24 M. BUONARGURO: Yes.

25 K. CAREW: Unit 2 has a normally-scheduled  
26 outage that is running concurrent with the vacuum  
27 building outage and, as stated in our evidence,  
28 allows us to only actually shut down three units

1 because the Unit 2 outage, also at its normally  
2 scheduled time, is running concurrent with the vacuum  
3 building.

4 M. BUONARGURO: So what is that -- tell me more  
5 about the normally occurring outage that you are  
6 talking about. I think you already -- what did you  
7 call it before?

8 K. CAREW: So in 2027, Unit 2 has a planned  
9 outage for which we are executing two major scopes of  
10 work also in our evidence. One is the primary  
11 moisture separators.

12 M. BUONARGURO: That is it.

13 K. CAREW: And the other is the turbine controls  
14 upgrade.

15 M. BUONARGURO: Right. For the primary moisture  
16 separators work, is the timing of that dictated by  
17 regulatory requirements? Does it have to be in 2027?

18 K. CAREW: The primary moisture separator work  
19 is scheduled in 2027. Associated with the fitness  
20 for service condition for the boilers on Unit 2, our  
21 inspections conducted, following, I will say,  
22 awareness of the degradation on the boilers revealed  
23 that we did need to act, and we have scheduled it in  
24 2027 to reduce the risk on operations and safety for  
25 the Unit 2 steam generators.

26 M. BUONARGURO: Thank you.

27 But it is not the same as the VBO? The VBO, you  
28 have to do every 12th year. The PMO is more

1 circumstantial. We have discovered a circumstance we  
2 have to deal with, and we are going to plan -- you,  
3 OPG, are going to propose to plan it for 2027 for  
4 various reasons including, presumably, the fact that  
5 you can overlap it with the VBO; is that fair?

6 K. CAREW: So the Unit 2 outage in 2027, I would  
7 just like to state, is also the licensed mandated  
8 time frame of 36 months, and the condition of the  
9 primary moisture separators as revealed during our  
10 inspections does drive the need to perform that work.

11 And during every outage, every full scope outage  
12 that is scheduled, we are required to perform fitness  
13 for service assessments which are submitted to the  
14 CNSC for their acceptance, which provides approval  
15 for the continued operation of those steam  
16 generators.

17 M. BUONARGURO: I think what you are telling me  
18 is that the revealing of the condition with respect  
19 to the PM -- and I keep forgetting -- PM -- primary  
20 moisture separators fits within this 36-month cycle?  
21 It is related to the 36-month inspection cycle?

22 K. CAREW: That is not what I said.

23 M. BUONARGURO: Fair enough.

24 K. CAREW: I said the 2027 outage --

25 M. BUONARGURO: Yeah.

26 K. CAREW: -- needs to occur. It is a normally-  
27 scheduled, licensed-required 36-month frequency  
28 outage.

1 M. BUONARGURO: Okay.

2 K. CAREW: During that outage, we will conduct  
3 the primary moisture separator replacement work as  
4 the degradation discovered previously provided us the  
5 information to know that we have that need.

6 Following any outage we do, all of our -- all of  
7 our boiler inspections are required to be -- I will  
8 say we analyze them, and we provide a fitness for  
9 service declaration to the CNSC. The condition of  
10 primary moisture separators will be part of that.  
11 And given what we know about its degradation, we need  
12 to perform that work so that we are in a position to  
13 demonstrate fitness for service of the Unit 2 steam  
14 generators.

15 M. BUONARGURO: Okay. So currently, the primary  
16 moisture separator work is scheduled for 2027. The  
17 CNSC, I presume, knows about it and is now requiring  
18 you do it; is that the right way to put it?

19 K. CAREW: No, that is not the correct way to  
20 put it. I can assure you the CNSC is well aware of  
21 it.

22 M. BUONARGURO: Sure.

23 K. CAREW: And we do have fitness for service.  
24 It is a time bound thing. So we do have fitness for  
25 service supporting our safe operations at this time,  
26 but we need to address the degradation mechanism. We  
27 cannot wait until it degrades to such a point that it  
28 causes an event. And so to make sure that we can

1 demonstrate fitness for service following the next  
2 scheduled outage, we need to perform the project to  
3 replace them.

4 C. KEIZER: Sorry. Maybe I can -- can you just  
5 clarify the reason for the 36-month regulatory  
6 outage? Because it is not the moisture separators  
7 that are causing it, but is that -- and maybe that is  
8 the point of confusion.

9 K. CAREW: That is correct. The 36-month  
10 frequency is not tied to primary moisture separators.  
11 It is tied to other component assessments, and there  
12 will be various pieces of equipment including relief  
13 valves, obviously pressure tubes, feeders, many of  
14 those pieces of equipment that drive the frequency of  
15 our outages.

16 M. BUONARGURO: Okay.

17 Okay. So there is a third part to the outage in  
18 2027 for Unit 2, which is the turbine control and  
19 auxiliary systems upgrade; is that right?

20 K. CAREW: That is correct.

21 M. BUONARGURO: Now, that is the -- that is the  
22 outage that was -- sorry -- that was the work that  
23 was originally scheduled for 2025?

24 K. CAREW: Correct.

25 M. BUONARGURO: And maybe that is a good example  
26 to try and clarify the difference between what is  
27 happening in 2027 and 2025. Because in 2025, that  
28 was -- there was an outage planned for just that, as

1 I understand it?

2 K. CAREW: That is not correct.

3 M. BUONARGURO: Okay. I am not banding very  
4 well here, but I am learning, so thank you. Maybe  
5 you can explain why I am wrong on that.

6 K. CAREW: We will -- we do not schedule our  
7 outages solely for the execution of a project; it is,  
8 in fact, the opposite, where we can. Unless there  
9 was a situation that actually forced you to shut a  
10 reactor down for safety reasons, we will schedule our  
11 projects during normal scheduled outages.

12 M. BUONARGURO: So maybe you can help me. What  
13 was the normally scheduled outage that -- in 2025  
14 that wasn't driven by the turbine control upgrade?

15 K. CAREW: So the Unit 2 2025 outage was moved  
16 to 2024 and executed at that time.

17 M. BUONARGURO: Sorry. So there is the turbine  
18 control and auxiliary systems upgrade work which was  
19 scheduled for 2025. I think you are telling me  
20 originally there was a separate required outage in  
21 2025 that was going to be used or combined with the  
22 upgrade work. The upgrade work was moved to 2027,  
23 and the work that it had been tied to in 2025 was  
24 moved up to 2024? You have nodded, but yes? Sure.

25 K. CAREW: Yeah, I will correct your premise  
26 there.

27 M. BUONARGURO: Sure.

28 K. CAREW: So we did move the outage to 2024,

1 including the turbine controls work; however, in  
2 reviewing resources, grid constraints, and concerns  
3 with the execution of the TG controls at that time,  
4 we then made the decision to execute the Unit 2  
5 outage in 2024 and move the turbine controls upgrade  
6 project to 2027.

7 M. BUONARGURO: Was there another Unit 2 outage  
8 in 2024, or does this become the only one in 2024?

9 K. CAREW: So let's pull up E2-SEC-141,  
10 Attachment 1. So if we scroll down to the 2024/2025  
11 time frames, you will see the Unit 2 planned outage  
12 2521 did not occur in 2025, but 2421 occurred in  
13 2024.

14 M. BUONARGURO: Okay. So in 2025, the original  
15 planned outage was 182, 182 days; right?

16 K. CAREW: That is correct.

17 M. BUONARGURO: And that encompassed the upgrade  
18 work, the controls upgrade work; right?

19 K. CAREW: That is correct.

20 M. BUONARGURO: And something else. Can you  
21 tell me what the "something else" was? We haven't  
22 talked about it yet, so I don't know.

23 K. CAREW: Okay. So the "something else" in a  
24 Unit 2 outage is the normally scheduled suite of work  
25 such as pressure tube inspections, various relief  
26 valve replacements, and other equipment reliability  
27 work required to be performed.

28 M. BUONARGURO: Is that the 36-month cycle?

1 K. CAREW: Correct.

2 M. BUONARGURO: And so you took the 36-month  
3 cycle that was originally planned for 2025, and you  
4 moved it up to something like 24 months-ish,  
5 depending on exactly when it was done in 2024?

6 K. CAREW: So I will work backwards from 2027 --

7 M. BUONARGURO: Sure.

8 K. CAREW: -- which is the 36-month frequency  
9 from the 2024 outage. You will note on the chart  
10 that we did take an outage on Unit 2, a shorter  
11 outage in 2022. That work was -- allowed us to  
12 perform bridging activities for a few things -- a  
13 couple of things; one would be the preventative  
14 maintenance work that I mentioned that is  
15 requirements for our license; and the other is  
16 mitigation work for the turbine control system to  
17 make sure that it could be reliable without having  
18 performed the turbine controls upgrade. With the --  
19 with the taking the brief outage in 2022, that did  
20 allow us to not have a 2023 outage.

21 M. BUONARGURO: Sorry. Can I interrupt you just  
22 for a sec. The 2023 outage would have been the  
23 normal 36-month cycle?

24 K. CAREW: Following the return to service --

25 M. BUONARGURO: Okay.

26 K. CAREW: -- of Unit 2 from its refurbishment.

27 M. BUONARGURO: Okay. So Unit 2 comes into  
28 service. 36 months would have been 2023?

1 K. CAREW: Correct.

2 M. BUONARGURO: Would have done an outage there.  
3 Coincidentally, or for obviously good reasons, you  
4 did an outage in 2022 for the reasons you described  
5 to me. That allowed you to avoid the 2023  
6 maintenance outage; I have it right so far?

7 K. CAREW: That is correct.

8 M. BUONARGURO: Now, to avoid the 2023 outage,  
9 did you need CNSC approval?

10 K. CAREW: I do not have the specific details at  
11 my fingertips on CNSC correspondence at that time.

12 M. BUONARGURO: I ask because my understanding  
13 is that you have a 36-month cycle that you have to  
14 adhere to unless the CNSC tells you you don't need  
15 to. I am assuming there would have been some sort of  
16 approval. Perhaps you can take an undertaking just  
17 to explain what happened that allowed that 36 cycle  
18 to go from '23 to -- to go from '23 to '24 in this  
19 case originally; right?

20 C. KEIZER: That is fine. To the extent we can,  
21 yes.

22 M. BUONARGURO: Thank you.

23 M. MILLAR: That is JT-3.6.

24 **UNDERTAKING JT-3.6: EXPLAIN WHAT HAPPENED THAT**  
25 **ALLOWED THE 36-MONTH CYCLE TO GO FROM '23 TO '24**  
26 **IN THIS CASE ORIGINALLY**

27 M. BUONARGURO: I am not trying to recap the  
28 story. So there was a '23 maintenance cycle outage

1 for Unit 2. Because there was a somewhat similar  
2 cycle done or outage done in 2022, you were able to  
3 push to '24 -- or to '25, I should say.

4 Then leaning in presumably sometime in '22 or  
5 '23, you decided to move the '25 maintenance cycle up  
6 a year to '24 and take the upgrade that was supposed  
7 to be in '25 and push it back to '27; do I have that  
8 all right? I think so.

9 K. CAREW: That is correct.

10 M. BUONARGURO: Okay.

11 And in terms of dates, the original '25 outage  
12 was planned for 182 days, according to the chart on  
13 the screen?

14 K. CAREW: That is correct.

15 M. BUONARGURO: And when you split it between a  
16 36-month cycle maintenance outage that was being done  
17 early compared to what you had just planned in 2024,  
18 that was only 86.5 days?

19 K. CAREW: We did complete the Unit 2 outage in  
20 2024 in 86 and a half days.

21 M. BUONARGURO: Right. But it would have been  
22 planned for something around that?

23 K. CAREW: I do not have the details of the plan  
24 --

25 M. BUONARGURO: Okay.

26 K. CAREW: -- that we had for that outage handy.

27 M. BUONARGURO: Perhaps you can -- well, I know,  
28 for example, the 182 days that was planned for 2025

1 included both scopes of the outage, the upgrade and  
2 the 36-month maintenance; right?

3 K. CAREW: Correct. The full-scope outage.

4 M. BUONARGURO: And when I asked at -- when I  
5 asked at E2-CCC-65, part A, I asked, what was the  
6 value -- incremental generation value associated with  
7 moving the upgrade from '25 to '27, and the answer  
8 was 179.5 million.

9 Presumably, you were able to attribute some  
10 level of that 186.5 original planned outage to the  
11 upgrade, and so -- or did you happen to capture the  
12 entire value? I don't know how the calculation was  
13 done so...

14 M. EL DEFRAWY: So overall, the 179.5 million,  
15 that reflects the shortened duration of the 2024  
16 outage, as well as removal of the TG contingency that  
17 we had planned for 20 days in EB-2020, as well as  
18 inclusion of any losses we may have encountered from  
19 '24 onwards.

20 M. BUONARGURO: Okay.

21 So that is -- you took the original 186.5 days  
22 outage, you deducted from that the 86.5 for the  
23 maintenance, which was an actual number. That is  
24 what actually happened in 2023 -- '4. I should say  
25 '4. And you also deducted the 20-day contingent  
26 planned outage that you might have done on the  
27 upgrade had it been done in 2025, plus some other  
28 things?

1 M. EL DEFRAWY: Sorry. Plus -- plus what?

2 M. BUONARGURO: Plus the other things you are  
3 talking about. You said contingent losses, something  
4 --

5 M. EL DEFRAWY: Plus other losses, correct.

6 M. BUONARGURO: Yes, right. Okay. Thank you.

7 Last question on this. When you have been  
8 talking about moving the upgrade outage from 2025 to  
9 2027, you mentioned a few times, and it is in the  
10 answers, to support grid reliability and manage  
11 resource constraints. You never mentioned the fact  
12 that there was incremental revenue associated with  
13 that to the tune of \$179.5 million. Are you -- am I  
14 incorrect that that would have some role in the  
15 decisionmaking?

16 K. CAREW: I would say you are incorrect that  
17 the individuals who were executing this work and  
18 planning this work were thinking of the revenue  
19 impact that, I would say, the bias of station staff  
20 would be to implement this upgrade, given the  
21 challenges we have with operations. So the  
22 preference of station staff would be to execute the  
23 project.

24 M. BUONARGURO: I see. So from an operational  
25 perspective, you would have preferred to do it in  
26 2025 as opposed to 2027?

27 K. CAREW: Personally -- I will speak for myself  
28 -- I would have preferred to have an upgraded system,

1 correct.

2 M. BUONARGURO: Thank you. Those are my  
3 questions.

4 T. EMINOWICZ: Sorry. This exchange just kind  
5 of confused what I thought I understood from  
6 yesterday. So may I please follow up? Thank you.

7 So my first question is on this idea of moving  
8 what I understand to be kind of the regulatory  
9 requirements from the D2521 outage to 2024, when --  
10 approximately when would OPG have made that decision  
11 to advance that work to 2024?

12 K. CAREW: I don't have the details of exactly  
13 when the decision was made.

14 T. EMINOWICZ: But, like, generally, would it  
15 have been in 2024, 2023, just on the basis of  
16 previous discussions about scope freeze, milestones?  
17 I am just looking for, like, a year.

18 K. CAREW: Yeah, I would prefer not to  
19 generalize.

20 T. EMINOWICZ: That is fair. Thank you.

21 So my other question relates to what is on the  
22 screen, so just to avoid going back and forth. In  
23 the first sentence of the response to part A, it  
24 states that the Unit 2 outage would have been -- the  
25 Unit 2, 2027 outage would have been 15 days shorter,  
26 and the sentence is quite specific to the turbine  
27 control and auxiliary systems upgrade.

28 And so yesterday I had tried to understand about

1 kind of all potential work that could have moved  
2 between outages, and I -- from what I recall, I was  
3 pointed to these 15 days.

4       If we could please just go back to the SEC -- I  
5 think it was 141, just the previous table we were  
6 looking at. Yes, this one. I don't even think you  
7 need to scroll. So I see a D2321 planned outage for  
8 Unit 2 that looks like it is a reduction of 82 outage  
9 days. I see the D2421 that is an addition of 86  
10 outage days and a D2521 that is effectively a  
11 reduction of 182 days. So without getting hung up on  
12 the exact math, like, where did those outage days go?  
13 Like, there has been a net reduction over three  
14 years, so where did those outage days -- like, the  
15 work that would have driven those outage days, where  
16 did they go?

17       C. KEIZER: It may be that rather than trying to  
18 -- oh, sorry.

19       K. CAREW: So your question is where did the  
20 scope go from Unit 2?

21       T. EMINOWICZ: Yeah, just generally, I see what  
22 looks to be about 180 days' worth of work on Unit 2  
23 that did not occur across 3 years. And yesterday  
24 when I was trying to understand the migration of  
25 scope that could have gone into the 2027 outage, I  
26 had understood that there was no additional kind of  
27 outage days due to previous work. So it looks like a  
28 lot of work was deferred or cancelled, and I just

1 wanted to confirm what generally -- generally what  
2 happened to that work.

3 K. CAREW: Yeah, I can clarify yesterday's  
4 comments for you in the context of the 2027 upcoming  
5 outage. The 2027 upcoming outage includes all four  
6 steam generators' primary moisture separator  
7 replacements. Those replacements were not part of  
8 these plans from the 2020 -- EB-2020. So that work  
9 is happening in 2027. The length of that work is 360  
10 days approximate -- or slightly less, and that is in  
11 our evidence as well. And the turbine generator work  
12 is the scope of work that has moved into 2027, for  
13 which there is an impact of 15 days.

14 Any other work from Unit 2 that would be  
15 normally scheduled routine work will fit within the  
16 duration of the primary moisture separator work of  
17 the 350-plus days.

18 So additionally, the normally-scheduled outage  
19 in 2024 occurred and performed the works that are  
20 typically performed during our outages such as  
21 regulatory PMs, preventative maintenance, as I have  
22 mentioned.

23 The work that we will perform in 2027 will be  
24 the next iteration of performing preventative  
25 maintenance coupled with the two projects, as I have  
26 mentioned, so the primary moisture separator work and  
27 the turbine generator work. So there is no other  
28 works that are pushing the length of the 2027 outage.

1 T. EMINOWICZ: Thank you.

2 I think I am starting to understand the nuance.  
3 So then, again, generally, all this work that was  
4 planned over the three years that, in this table, was  
5 approximately 180 days, there is some portion --  
6 there is a portion of that work that fits within the  
7 window of what is now planned in 2027?

8 K. CAREW: The portion of the turbine generator  
9 controls upgrade project that will be executed with  
10 the turbine offline, such as pulling all the wires,  
11 installing the cabinets, et cetera, and the static  
12 commissioning that -- where we test all of the  
13 systems before we actually input energy into the  
14 turbine, that will all fit within the primary  
15 moisture separator duration. And the only portion  
16 that extends that outage is the online testing and  
17 commissioning that we perform of the turbine controls  
18 upgrade system, which is the 15 days.

19 T. EMINOWICZ: Yes. I am sorry, I am very self-  
20 conscious about how much time I am taking here. But  
21 I am not trying to ask specifically about, like, the  
22 turbine and the moisture. I am asking in general,  
23 there was 180 days' worth of work over three years.  
24 I just --

25 C. KEIZER: Maybe what we should do is take it  
26 as an undertaking because we have taken a few runs at  
27 it already. So maybe you can state your question,  
28 then we can take it as an undertaking to clarify.

1 T. EMINOWICZ: I would like to have an  
2 understanding of what appears to be about 180 days of  
3 outage work on Unit 2 from 2023 to 2025 that was not  
4 performed, and I would like to know how much of that  
5 work was -- is now in a 2027 Unit 2 outage.

6 K. CAREW: Can I just clarify. In the outage or  
7 extending the timeline of an outage?

8 T. EMINOWICZ: In. So from my perspective,  
9 ratepayers paid, in some sense, for work to be done -  
10 - about 180 days' worth of work to be done, and it  
11 was not done, based on what I see on this table. And  
12 I would like to know how much of that conceptually is  
13 in the 2027 Unit 2 outage.

14 C. KEIZER: All right. We can take the  
15 undertaking.

16 M. MILLAR: It is JT-3.7.

17 **UNDERTAKING JT-3.7: ADVISE HOW MUCH OF THE 180**  
18 **DAYS OF UNIT 2 OUTAGE WORK ORIGINALLY SCHEDULED**  
19 **TO HAPPEN IN 2023 TO 2025 IS NOW IN A 2027 UNIT**  
20 **2 OUTAGE**

21 M. MILLAR: Ms. Grice, can you take us for about  
22 10 minutes or so? Is that okay? 10 or 15 minutes.

23 S. GRICE: I can if you help me just mark that  
24 time. Okay. Thanks.

25 **EXAMINATION BY S. GRICE:**

26 S. GRICE: Good morning. My name is Shelley  
27 Grice, and I am the consultant for AMPCO. Okay. I  
28 just have a few questions.

1           The first question I have is D2-AMPCO-29. Thank  
2 you. So in this question, we asked OPG to provide  
3 project closeout reports for projects that were in  
4 D2-1-3, Table 1A

5           And in the response, you provide the project  
6 closeout reports, and there is just one thing that I  
7 am just interested in. You referred to level A  
8 projects, level B projects. I wondered if you could  
9 just -- if you could characterize what the difference  
10 is between level A and level B projects and if there  
11 are any other levels to be aware of and what they  
12 mean.

13           J. BLAZANIN: In our project governance, when we  
14 establish the project management office and all of  
15 our project controls, project management governance,  
16 we recognize that if you apply the same level of  
17 detail to every type of project, it might be -- start  
18 to become very bureaucratic, if you will.

19           So we took a graded approach to the project  
20 management governance and defined what was required  
21 for the different levels, if you will, A through D.  
22 We also have a category of strategic projects which  
23 are programs, typically a refurbishment, Pickering  
24 refurbishment, Darlington refurbishment, or anything  
25 major of that scale.

26           Category A projects are more significant  
27 projects, they are more complex, longer in duration,  
28 the dollar value attributable to them.

1           Category B requires the same level of discipline  
2 and rigour in many cases, but maybe to a slightly  
3 lesser extent.

4           A Category D project, for example, might be a \$2  
5 million or a million dollar project. It could be a  
6 simple, straightforward project like we have to  
7 repave a parking lot or something. We are not going  
8 to apply all of the -- get a basis of estimate, basis  
9 of schedule, all of that associated with it. It is  
10 not necessary.

11           So we apply a graded approach to guide project  
12 managers in terms of what they are required to do to  
13 effectively manage those projects.

14           S. GRICE: Okay, that is very helpful. Thank  
15 you.

16           Okay. My next question is AMPCO-30. So in this  
17 question, we asked for OPG to complete an Excel  
18 spreadsheet, and you have attached it in the PDF.  
19 Now, it may be me, but I couldn't find the Excel on  
20 WebDrawer.

21           C. KEIZER: Maybe that is something that we can  
22 check on, Ms. Grice, and get back to you about  
23 whether it should or shouldn't be there or...

24           S. GRICE: Okay. That would be great. And it  
25 may be me, and I apologize, but I couldn't find it.

26           C. KEIZER: Sorry. Could you just give us the  
27 IR again.

28           S. GRICE: Sure. It is D2-AMPCO-30.

1 C. KEIZER: AMPCO-30. Thank you.

2 S. GRICE: Okay. Thank you.

3 M. MILLAR: So is this an undertaking to look  
4 into that, or is this something you will come back  
5 after the break?

6 C. KEIZER: I mean, I think we can try to do  
7 this, you know, over the lunch break.

8 On the lunch break, Mr. Millar, I know we just  
9 kind of resumed, and we have had a few kind of  
10 extensions of time on some things. I don't know if  
11 it helps the schedule if we go until -- you know,  
12 subject to the Panel and whether they give me the  
13 evil eye, whether we go to 12:45 or not. I don't  
14 know. I don't know if it helps or hinders the  
15 efficiency of the matter.

16 M. MILLAR: We will be taking our -- we will be  
17 taking a lunch break at one point. I think we have  
18 it marked for around 12:15. I am fine for -- I  
19 actually don't care that much. I am not sure it adds  
20 a bunch of time to the day either way.

21 M. BUONARGURO: You still have SEC after AMPCO,  
22 so --

23 C. KEIZER: Okay.

24 M. BUONARGURO: -- doesn't matter when we take -  
25 -

26 C. KEIZER: Doesn't matter. Okay.

27 M. MILLAR: Yeah. We won't finish this Panel  
28 before lunch, unfortunately, if that is what you were

1 --

2 C. KEIZER: All right. We will have to take Mr.  
3 Rubenstein on with a full stomach, then.

4 M. MILLAR: Okay. Let's carry on. Ms. Grice, I  
5 actually noticed now our lunch break was for around  
6 12:15, so you have still got another 15 minutes.

7 S. GRICE: Okay. Maybe I will be done.

8 M. MILLAR: Oh. There we go.

9 S. GRICE: AMPCO-33, please. Okay. In this  
10 question, we asked for OPG to provide change control  
11 forms for project variances greater than 10 percent.  
12 And I just have a question with respect to Attachment  
13 12, which is where OPG provided your updated project  
14 control document. If we can go to page 10 of that  
15 document, please.

16 So it says at 2.2.16 that:

17 "For complex changes, the review may include an  
18 assessment of the alternatives that were  
19 considered and why the option was selected."

20 (as read)

21 So I just wanted to understand. If that  
22 scenario were to occur, would a change control form  
23 be used for that situation? Or would it be some  
24 other document?

25 J. BLAZANIN: I guess you have to look at the  
26 scale of the project, the scale of the change and --  
27 in concert with the complexities of what is being  
28 addressed, right. So this is intended to be a guide.

1 It all depends on the scale. So below there, we talk  
2 about greater than a million dollars as well. And so  
3 it all depends in terms of whether this is needed  
4 exactly or not.

5 S. GRICE: Okay. So if it was a level A  
6 project, and the review required an assessment of the  
7 option that was selected, would you do that in a  
8 change control form, or do you do it -- is it  
9 significantly an issue of magnitude that it requires  
10 some other process?

11 J. BLAZANIN: Typically, the governance, as it  
12 is stated here, we would look for a change control  
13 form to support the decision to change. Depending on  
14 the scale of it, we may bring that change to a  
15 project management oversight committee for review and  
16 challenge before it gets implemented, et cetera. So  
17 that is how we would manage these types of changes.

18 S. GRICE: Okay. So just overlaying that on top  
19 of the change control forms that were provided in  
20 this interrogatory, am I to take it from that that  
21 none of the projects on Tables -- I think it was 1A  
22 and 1B, then had this situation where a review of the  
23 option was required?

24 J. BLAZANIN: The way I would characterize a lot  
25 of these projects, the change was something that was  
26 addressed at a project management oversight committee  
27 [indiscernible] identified and that we need to  
28 proceed on a certain basis to address the problem.

1 That would have then ultimately been documented in a  
2 change control form and processed to ensure that  
3 everything was documented.

4 In a lot of these cases, there are no other  
5 alternatives but to proceed, and so that is where  
6 that discussion happens in terms of what is the  
7 impact, what are the options, just to validate that  
8 that is correct, that the path forward -- the one  
9 being identified -- is the right one. And then we  
10 move forward on that basis.

11 S. GRICE: Okay. Okay. Thank you.

12 My next question is AMPCO-34. So we asked a  
13 similar question in Panel Number 1 with respect to  
14 the same types of projects with -- under  
15 hydroelectric. And so Tables 2A to 2G that are  
16 referenced in the question refer to projects that are  
17 10 million to 30 million. And when we look at the  
18 spreadsheet that was provided with AMPCO-34, there  
19 are a few projects that have cost overruns.

20 And so my question is we have limited  
21 information on the record with respect to those  
22 projects, so would OPG be willing, as it was in the  
23 hydroelectric panel under JT-2.9, to provide any  
24 business cases, superseding business cases, project  
25 over variances, project control forms, and post  
26 implementation reviews for those projects that have  
27 cost overruns greater than 20 percent?

28 C. KEIZER: Can I just have a moment?

1 J. BLAZANIN: I have to refamiliarize myself  
2 with this table. I can't recall how many projects  
3 are on this list.

4 C. KEIZER: Sorry. And just to clarify, it is  
5 only for those with variances of what? Sorry.

6 S. GRICE: Of greater than 20 percent.

7 C. KEIZER: Greater than 20 percent. So I am  
8 just looking at the total number of projects here.  
9 But I think what you are saying is we might have  
10 something less than what is on the Excel spreadsheet.

11 J. BLAZANIN: Yeah. I presume it is something  
12 less than that is on -- that is on -- than is on this  
13 list. So we would have to take it back and look at  
14 the level of effort it would take to do what you are  
15 asking. And so can you clarify again all the  
16 documentation that you want to support this response?

17 S. GRICE: Okay. So it is only for projects  
18 where the cost variance is greater than 20 percent.  
19 And then --

20 J. BLAZANIN: From the original execution  
21 business case?

22 S. GRICE: Yes, the original execution business  
23 case. And then any project over variance reports,  
24 superseding business cases, project control -- or  
25 sorry, project control reports, and post-  
26 implementation review reports.

27 J. BLAZANIN: Okay. I don't know about the  
28 project control reports, what specifically you are

1 asking for there --

2 S. GRICE: Sorry --

3 J. BLAZANIN: -- we have all kinds of different  
4 reports --

5 S. GRICE: Sorry. Closeout -- I am sorry.  
6 Project closeout reports.

7 J. BLAZANIN: Closeout reports? Okay. And then  
8 post-implementation review will depend on the timing  
9 of when that PIR needed to be done, so if it --  
10 depending on the timing of these projects, it may not  
11 even be available yet.

12 S. GRICE: Correct, yes.

13 J. BLAZANIN: And some of these projects may not  
14 require a PIR. But to the extent we can, we will  
15 take this back and let you know what is involved.

16 C. KEIZER: Yes.

17 S. GRICE: And then -- and just one last thing  
18 is it is just -- and I am looking for stuff that is  
19 not already on the record. Like, if someone has  
20 obviously asked a question about this, and you  
21 produced any of these documents, then -- so it is  
22 incremental to that. And maybe I have just confused  
23 the issue.

24 C. KEIZER: I think we have what you are asking  
25 for, and so let us take it at lunch, and then we will  
26 be able to come back and advise you after lunch. Is  
27 that fine, Ms. Grice?

28 S. GRICE: Okay. That is fine.

1 M. MILLAR: Okay. So you are not giving an  
2 undertaking at this point? This will be a --

3 C. KEIZER: No. Just in case there is some kind  
4 of modification we have to suggest to it. But --  
5 just given the number of projects that are here.

6 S. GRICE: Okay. Thank you.

7 Okay. I just have a quick project question on  
8 AMPCO-45. So this was with respect to Project 87808,  
9 Darlington SmartOps sensor integration project. And  
10 I apologize, I made an error in part A of the  
11 question. I was looking for the total number of  
12 sensors, but I assume based on the response to part B  
13 -- or, sorry, part A that the total number of sensors  
14 being installed in this project is 2,994, that there  
15 are thousands of sensors in Darlington; is that -- am  
16 I assuming that correctly?

17 P. LE DREFF: That is correct. The 2,994 was  
18 referring specifically to the number being installed  
19 by Project 87808.

20 S. GRICE: Okay.

21 And then you say in part C that -- if you look  
22 at Tab 50, that there are three other ongoing sensor  
23 projects at Darlington right now, and I found two,  
24 and I am sorry I can't locate the third. If you  
25 could -- maybe this is an undertaking -- just list  
26 the other sensor projects that are being undertaken  
27 right now.

28 P. LE DREFF: Can we see Attachment 1, Tab 50.

1           S. GRICE:  Sure.  Sure.  So I believe it is in  
2 the second paragraph there.  There is a reference to  
3 Project 83828 and then 83 -- 87342.  I just couldn't  
4 find the third project.

5           P. LE DREFF:  Okay.  I believe that is something  
6 that we can take back.

7           M. MILLAR:  That is JT-3.8.

8           **UNDERTAKING JT-3.8:  ADVISE OF THE OTHER SENSOR**  
9           **PROJECT THAT IS CURRENTLY BEING UNDERTAKEN**

10          S. GRICE:  Okay.

11          Then I just have a general question about this  
12 kind of work.  So this is -- obviously, this project  
13 has a business case, and it is in your investment  
14 plan.  If this was an unallocated project, is this  
15 the type of project that OPG could safely defer?  
16 Like, if you -- if OPG had a cash flow crunch and you  
17 couldn't do everything, could you defer a project  
18 like this?

19          P. LE DREFF:  I think short answer is yes;  
20 however, what this is supporting is overall  
21 reliability and modernization of the plant.  So at  
22 Darlington, we are supported by an OPG monitoring and  
23 diagnostic centre, and what these sensors allow you  
24 to do is -- using various technology, software  
25 technologies and so on -- is aim to predict when  
26 parts are more -- like, components are more  
27 susceptible to failure and also help predict what the  
28 optimum maintenance intervals need to be.

1           And so I would suggest deferring that, you are  
2 just increasing the risk to the plant, and this is  
3 part of a global trend to -- from a modernization  
4 point of view, of making more -- making more, say,  
5 like, smart plants. You have instrumented all of  
6 your equipment to the extent possible to be able to  
7 improve its reliability.

8           S. GRICE: Okay. Okay. Thank you.

9           AMPCO-50, please. So this question -- we just  
10 asked you a few questions about Project Number 89281,  
11 which is the Darlington Unit 1 and Unit 2 generator  
12 stator rewind project. I don't actually have  
13 questions on the interrogatory, but there is just one  
14 -- there is just one reference that you -- sorry.

15           When -- in the responses, you -- we asked for --  
16 I am sorry. I just -- I am a little lost in my  
17 notes. Will you give me one second. Pardon me.  
18 Pardon me. I am back. Okay.

19           Part B, you provide -- because we were asking  
20 about the basis of the estimate of the project, and  
21 you say that you provide the basis of estimate  
22 document supporting the BCS in Attachment 1. So I  
23 wondered -- I just had a question. I am just -- I  
24 want to flip over to the Pickering refurb. I just  
25 couldn't find this on the evidence, but did you --  
26 did you file or have you filed a basis of estimate  
27 document for Pickering?

28           J. BLAZANIN: We did file a basis of estimate

1 document and basis of schedule document.

2 S. GRICE: Okay. Okay. Thank you. I just  
3 wanted to double-check. Okay. Thank you.

4 Okay. This is my last question, and it is on  
5 AMPCO-58. So in part A of the response where we  
6 talked about projects that have a planned execution  
7 window to undertake the work, you reference a  
8 document here. It is a planned outage management  
9 document. What is in that document? Can you just  
10 describe what that document is saying and what it  
11 does.

12 P. LE DREFF: So in PROC-MA-13 planned outage  
13 management sets out -- it is primarily milestone-  
14 driven, working backwards from the time of execution  
15 of a major outage. And the way to think about it, we  
16 typically start with what is called a T-minus 24  
17 milestone, which is 24 months ahead of the planned  
18 outage start date, and that lays out major scopes.

19 You then advance to -- I am just providing you  
20 some of the flavour of some of the milestones in the  
21 document -- to a T-minus 12 milestone where you have  
22 essentially locked in the scope. And then you have a  
23 -- within those 24 months, a whole set of milestones  
24 around procedures are ready, materials are on site,  
25 resources are confirmed, contracts in place, et  
26 cetera. And so it is a -- call it, like, a runway, a  
27 roadmap that we can use repeatedly to plan outages.

28 S. GRICE: Okay. Okay. That is great. Thanks.

1           And then I just have a couple questions on part  
2 B, which is where we asked you to list projects where  
3 the execution window was unavailable when required  
4 and to quantify the impact. So you list in the  
5 response 5 projects there, and the range of costs is  
6 from 1.7 million to 35.8 million. And I just added  
7 up the -- and it is a total of about 60 million.

8           So I just wanted to understand, like, what  
9 happens when you are managing a project and then the  
10 execution window is unavailable? Is the project  
11 paused? Do you reallocate resources? I just wanted  
12 to understand, sort of in the life of the project,  
13 what happens.

14           P. LE DREFF: I would say there is a pretty wide  
15 range of possibilities there. From a tiered approach  
16 in terms of who is involved in a project, you have  
17 OPG, project management resources, PG station  
18 resources, vendor resources, which we group in what  
19 is called PMT, project management team. So those are  
20 typically, like, managers, engineers, that type of  
21 thing. And then you have craft labourer, trades  
22 resources, like millwrights, boilermakers, et cetera.  
23 And so when -- and then, I would say, the last tier  
24 is materials.

25           So typically, we are able to, since we have a  
26 large portfolio, allocate management staff,  
27 professional staff to other projects because our  
28 vendors carry multiple projects for us, same with

1 OPG. Sometimes we do need to keep a core contingent  
2 of resources that do bill to that individual project  
3 for longer where they can continue readiness  
4 activities, et cetera. And the trades that you  
5 otherwise would have called up, like, to perform that  
6 execution, well, then they are not called up, so then  
7 you are not incurring those costs.

8 Materials, we generally don't defer the material  
9 delivery unless there is a very compelling reason.  
10 And so some of those compelling reasons are that the  
11 care and control that is required for those materials  
12 are very, very complicated, so that is -- say, like,  
13 a large transformer is a good example of that. There  
14 is oils, there is seals or things that need to be  
15 circulated and checked, and so then we would move,  
16 then, those deliveries closer to being just in time  
17 for that consideration.

18 S. GRICE: Okay.

19 So it sounds like a -- if, say, a project was  
20 delayed two years, it sounds like the costs that are  
21 being incurred are project management and materials?

22 P. LE DREFF: I would say that is fairly  
23 typical.

24 S. GRICE: Okay.

25 And then I just -- just on the theme too of --  
26 so when a project is available for service and there  
27 is an equipment issue, and, say, to deal with that,  
28 to address that, you need an outage, and there isn't

1 one available, what happens with the project then?  
2 Like, in terms of costs, where does the funding come  
3 from if the business case summary hasn't accounted  
4 for that? I just -- I just want to understand that  
5 particular scenario because I think I saw some of  
6 that in your evidence that a project is not available  
7 for service, and it requires an outage, and then  
8 there is a delay.

9 P. LE DREFF: And just to clarify the question,  
10 you are saying that at a future instance of when that  
11 work can get performed, you are asking, then, how  
12 does it get funded at that time?

13 S. GRICE: So this would be a project -- so it  
14 is done, and you are -- you know, you are trying to  
15 close out the project. You want to sign off that it  
16 is available for service, but you end up you have an  
17 equipment issue. And to deal with that, you have to  
18 delay the project because you got to wait for an  
19 outage to do the work.

20 So I just want to understand, I assume the same  
21 costs are incurred, project management, anything else  
22 that you need, but if there is incremental funding  
23 needed to carry the project and then do this extra  
24 work to have it available for service, how do you  
25 fund that?

26 C. KEIZER: I think the question is a bit of a  
27 hypothetical, so I am not sure how -- the frequency  
28 of it or the -- maybe the witness can help with

1 respect to clarifying the hypothetical and the  
2 validity, I think, of the scenario that you are  
3 putting forward.

4 S. GRICE: I saw the scenario in the evidence.  
5 It was -- I believe it was in a project closeout  
6 report where that scenario occurred.

7 P. LE DREFF: I think I can help with a  
8 distinction. If it is prior to the availability for  
9 service, then the costs remain with the project. If  
10 the project was completed where the availability for  
11 service was declared, so it is in service, and any  
12 future issues we do have, depending on the contract,  
13 on how that was set up, there are warranty provisions  
14 that could be enforced. And if we are outside of  
15 those warranty provisions, then those works would  
16 need to be assessed, whether it could be performed  
17 in-house, whether it would need to be a project, then  
18 -- then there is a whole range of potential outcomes.

19 S. GRICE: And are the costs tracked with that  
20 project, so then that would just contribute to a cost  
21 overrun?

22 P. LE DREFF: If the availability for service  
23 was declared and the project is closed, then it  
24 wouldn't be reopened and costs reassigned to that  
25 project.

26 S. GRICE: Okay. Okay. I think I understand.  
27 Thank you. Those are my questions.

28 M. MILLAR: Thank you, Ms. Grice.

1 We will take our lunch break and return at 1:25  
2 with you, Mr. Rubenstein. Okay.

3 --- Upon recessing at 12:24 p.m.

4 --- Upon resuming at 1:25 p.m.

5 M. MILLAR: Commencing the afternoon session of  
6 day 3 of the technical conference. Any preliminary  
7 matters, Mr. Keizer? I know there were some things  
8 you were going to take away over the lunch break.

9 **PRELIMINARY MATTERS**

10 C. KEIZER: Yeah, there was a couple; one, Ms.  
11 Grice had asked about a spreadsheet that couldn't be  
12 found in the filing, and I understand it was  
13 misfiled. It is going to be loaded on to the Board's  
14 RDS later today, so that will be provided.

15 And then there was also -- we took away AMPCO's  
16 request for an undertaking related to projects --  
17 list of projects where there were variances greater  
18 than 20 percent, and we are prepared to provide that  
19 information. And then I think there was one -- I  
20 don't know if we marked that.

21 M. MILLAR: I don't think we did. So if you or  
22 Ms. Grice could clearly state what the undertaking  
23 is, and then I will mark it.

24 C. KEIZER: Maybe I will leave it to Ms. Grice  
25 to give a run at it, and we will --

26 S. GRICE: Not again. It is painful.

27 C. KEIZER: Actually, I think Ms. Zadeh has note  
28 --

1 M. MILLAR: I think your mic just --

2 C. KEIZER: Yeah, maybe she can refer to her  
3 notes, and if Ms. Grice can then indicate whether she  
4 agrees or not.

5 S. ZADEH: Ms. Grice, I believe you were  
6 referring to the projects listed in AMPCO-34. For  
7 those projects listed there with cost variances  
8 greater than 20 percent as compared to the original  
9 execution business case summary for OPG or the  
10 Applicants, to provide project over variance reports,  
11 superseding BCS, PCR, and PIR to the extent that that  
12 information is available and incremental to what is  
13 otherwise already on the record. Is that fair?

14 S. GRICE: Yes. Thank you very much. The only  
15 addition I had was the original business case  
16 summary.

17 S. ZADEH: Sorry, Ms. Grice. Just to confirm,  
18 it is the original execution business case that you  
19 are looking for?

20 S. GRICE: Yes.

21 S. ZADEH: Okay. That is fine.

22 M. MILLAR: Okay. The undertaking is JT-3.9.

23 S. GRICE: Thank you.

24 **UNDERTAKING JT-3.9: PROVIDE PROJECT OVER**  
25 **VARIANCE REPORTS, SUPERSEDING BCS, PCR, PIR AND**  
26 **THE ORIGINAL EXECUTION BUSINESS CASE SUMMARY TO**  
27 **THE EXTENT THAT THAT INFORMATION IS AVAILABLE**  
28 **AND INCREMENTAL TO WHAT IS OTHERWISE ALREADY ON**

1           **THE RECORD FOR THE PROJECTS LISTED IN AMPCO-34**  
2           **WITH COST VARIANCES GREATER THAN 20 PERCENT AS**  
3           **COMPARED TO THE ORIGINAL EXECUTION BUSINESS CASE**  
4           **SUMMARY FOR OPG OR THE APPLICANTS**

5           C. KEIZER: I think that is the -- oh, wait. I  
6 think Ms. Zadeh has another one.

7           S. ZADEH: Sorry. Going back to Ms. Zhu's  
8 undertaking, which was marked as JT-3.1, and I  
9 believe in repeating back that undertaking, the  
10 witness clarified on a best-efforts basis, but I  
11 would like to -- if possible, similar to the  
12 undertaking that we took in relation to augmented  
13 staff, if we are not able to provide those FTE  
14 numbers, then we will explain why not in the  
15 undertaking response. So it is the same language and  
16 provision that we included in the -- and I apologize.  
17 I don't remember the undertaking from day 2, but it  
18 was in relation -- similar question in relation to  
19 augmented staff.

20          T. ZHU: Yes, that is correct. Thank you.

21          S. ZADEH: Thank you.

22          M. MILLAR: Okay. With that, I think we can  
23 turn it to you, Mr. Rubenstein.

24           **EXAMINATION BY M. RUBENSTEIN:**

25          M. RUBENSTEIN: Good afternoon, Panel. I have a  
26 number of questions on a number of areas. But I just  
27 want to start by following up on a discussion that  
28 was had earlier on today with both CCC and Staff.

1           There was a discussion that you had with Mr.  
2 Buonarguro about a 2025 planned outage where some of  
3 the work was pulled into 2023, and then some of the  
4 maintenance work, as I understand, was deferred to  
5 2027. Do you -- I have that correct? I think this  
6 was Unit 2 of Darlington.

7           K. CAREW: The Unit 2 outage was conducted in  
8 2024.

9           M. RUBENSTEIN: Sorry. It was 2024. But I  
10 think there was a discussion -- sorry. There was a  
11 planned 2025 outage that was pulled into 2024?

12          K. CAREW: That is correct.

13          M. RUBENSTEIN: And I think you were asked,  
14 roughly speaking, you know, when does this decision  
15 get made, and I think, Ms. Carew, you said you didn't  
16 know exactly. I just want to just -- putting aside  
17 that specific outage, when you are planning outages  
18 or when you are planning to defer an outage or move  
19 an outage forward, how long in advance does that  
20 occur, generally speaking, from the planned outage?  
21 Can you speak to -- I mean, this is a -- back up.

22          We talk a lot in this case -- a lot of business  
23 cases about the costs, but sort of the planning of  
24 outages, can you just speak to the process of how  
25 that works? Is there a -- I don't want to say a  
26 business case, but sort of a similar analysis that  
27 the company has to go through when it is deciding to  
28 defer or to bring forward? Can you just talk about

1 that generally?

2 M. EL DEFRAWY: So overall, we follow our  
3 generation planning process which is tied to our  
4 business planning process. So generally throughout  
5 this process, we conduct various meetings to look at,  
6 overall, the outages that need to be conducted during  
7 the business plan horizon. Within that, we review  
8 any risks, and then potentially, you know, there  
9 could be items pulled in, items pulled out, but that  
10 is generally when the -- any decisions would be made.

11 M. RUBENSTEIN: For the purposes of a project,  
12 we have the business case summaries, different phases  
13 that lead up to the execution. For outages, what is  
14 the -- is there sort of an equivalent document, so to  
15 speak?

16 K. CAREW: There is an equivalent document. It  
17 is N-PROC-MA-13. And that is referenced in one of  
18 the IRs we previously spoke about. That -- and my  
19 colleague mentioned using the milestones for  
20 readiness. So major scope milestones are the first  
21 ones, and they are approximately two years out, or T-  
22 minus 24. And you work through all of the planning,  
23 including project readiness, documentation, parts, et  
24 cetera. Final scope freeze, approximately one year  
25 out. And further planning milestones continue  
26 thereafter all the way up to readiness.

27 M. RUBENSTEIN: Okay. I want to first start off  
28 with some questions on the DRP, so can we go to D2-

1 SEC-63. Pull that up, please.

2 So in this question, we had asked you to  
3 reconcile the 12.7 final budget for the DRP with the  
4 government's view that the project was 150 million  
5 below budget. And what -- as I understand, your  
6 response is at the time of the application, you had  
7 expected it to be at about 100 -- I think there --  
8 and there was 50 million in -- contingency that you  
9 had set aside or for risks. And ultimately,  
10 obviously, that didn't occur. So am I correct, it is  
11 \$150 million below budget?

12 J. BLAZANIN: Our latest forecast is on the  
13 order of \$150 million under budget. Of course, we  
14 are still completing all the demobilization costs,  
15 which will continue through the course of this year,  
16 and we will true things up early next year. It will  
17 be finalized and closed out early 2027 or by no later  
18 than mid-year 2027. But every indication is we will  
19 be on the order of 150 million underspent.

20 M. RUBENSTEIN: But built into the application  
21 costs, though? I understand truing it up, but built  
22 into the application is \$100 million below budget;  
23 correct?

24 J. BLAZANIN: Let me just confirm.

25 It is based on the 12.7, correct.

26 M. RUBENSTEIN: Now, my understanding is even  
27 though the project is 150 million below budget, OPG  
28 is seeking to collect about 270 million in the CRVA

1 related to the DRP. And as I understand, it is  
2 primarily related to the difference between forecast  
3 and actual in-service dates of the various units; is  
4 that about right?

5 C. KEIZER: I think that is actually best  
6 addressed by Panel 4.

7 M. RUBENSTEIN: Well, it is just a general  
8 question. I am not going to get into the specifics.  
9 But am I right, sort of at a high level, that is the  
10 driver of the balance?

11 C. KEIZER: Could you just repeat your question.  
12 Sorry.

13 M. RUBENSTEIN: My understanding, there is about  
14 a \$270 million balance in the CRVA related to the  
15 DRP. And this is from page 11, Table 15 and 16. And  
16 my understanding, the driver of the balance, being a  
17 debit balance as -- when the project is 150 under  
18 budget is a relation to the -- the in-service dates;  
19 right? The project -- most of the units came into  
20 service earlier than you had expected, and so that is  
21 the driver of the balance. Am I right, at a high  
22 level, that -- about that?

23 C. KEIZER: I don't think this Panel is in the  
24 best place to answer about the balance that is in the  
25 CRVA. I think you can ask them about the in-service  
26 dates, but I just -- I prefer that -- I think it is  
27 someone on the finance Panel that would be -- given  
28 you are also referring to H1-1, so I think it is

1 better that Panel 4 deal with that issue.

2 M. RUBENSTEIN: Well, I am -- it is just sort of  
3 a lead to a set of other questions, and I am not  
4 asking for anything more than just sort of at a high  
5 level, that is one of the drivers, at least; right?  
6 Am I correct about this?

7 C. KEIZER: Well, I mean, if you can  
8 disassociate it from the driver of the balance.  
9 Because I think in order to understand the driver and  
10 the balance, you have to look at both things  
11 together, and I think the people that are best able  
12 to articulate the basis of the balance are on Panel  
13 4.

14 So if you have a question that you can  
15 disconnect those two from what this Panel and Panel 4  
16 can answer, then, yeah, you should give that a try.

17 M. RUBENSTEIN: Okay. Well, I am going to work  
18 on the assumption that that is correct, and you will  
19 -- Panel 4 will be the first to correct me,  
20 presumably.

21 Now, as I understand, one of the implications of  
22 having DRP units serviced earlier than forecast --  
23 and am I correct that they were brought in mainly  
24 earlier than forecast? Three of the four, I believe?

25 J. BLAZANIN: Correct. Units 3, 1, and 4 were  
26 brought in earlier.

27 M. RUBENSTEIN: And one of the implications of  
28 bringing it in earlier than forecast and -- and its

1 forecast and what was ultimately approved -- is that  
2 the company is earning additional revenue since it is  
3 generating earlier?

4 J. BLAZANIN: There would be increased  
5 generation associated with bringing the units in  
6 earlier which would translate to revenue for that  
7 generation.

8 M. RUBENSTEIN: Can we bring up -- SEC  
9 circulated tables to my friends. I am just wondering  
10 if we can bring up SEC Table 1.

11 And so this is our table. So this is a table  
12 that we created based on what we can derive from the  
13 evidence. If you zoom out, you can see the numbers  
14 are sourced to various pieces in the evidence. If  
15 you just sort of zoom out a bit -- or just scroll  
16 over just for a second so you can see that -- where  
17 the numbers are coming from.

18 And what we are attempting to do is understand  
19 the impacts of the additional revenue that may be  
20 derived -- that were derived as compared to the OEB  
21 approved as a result of bringing it in early. And so  
22 if we can -- sorry. If we just scroll back.

23 So the first part of the table shows the  
24 variance in production against the OEB approved, and  
25 it is sourced to the evidence, and then multiply that  
26 by the base payment amounts in any given year to give  
27 you the total revenue.

28 And then in the second part of the table, you

1 will see outage OM&A. These are parts of the  
2 evidence behind where there is -- outage OM&A has  
3 been adjusted because of changes in the DRP  
4 refurbishment schedule. And then in the last -- so  
5 those are additional costs compared to the OEB  
6 approved.

7 And then in the third grouping here, we have  
8 fuel costs. So obviously, if I am correct, if you  
9 are running the -- you know, the generators are  
10 generating more than expected, there is higher fuel  
11 costs than would have been approved; correct?

12 J. BLAZANIN: Yes. You would incur higher fuel  
13 costs when the [indiscernible] is generated.

14 M. RUBENSTEIN: Yeah. And so in the third part,  
15 we are trying to - utilizing the information that is  
16 available to us on the record about fuel bundle  
17 costs, what would be essentially an estimate of the  
18 variance in the fuel cost because of the units  
19 running based on the -- the variance in production  
20 against the OEB-approved.

21 So can I ask by way of an undertaking if you can  
22 review this document, provide any corrections or  
23 additions or subtractions. This is based on what we  
24 could derive from the evidence. There they be some  
25 other things. There are obviously some estimates.  
26 The fuel costs are based on your average fuel cost.  
27 That is just based on the information. Obviously,  
28 Pickering and Darlington don't have the exact same

1 amount of fuel cost per megawatt hour. So can I ask  
2 you to undertake to do that by way of undertaking?

3 S. ZADEH: We can do that by way of undertaking.  
4 Mr. Rubenstein, just to note, in our initial review  
5 of the spreadsheet, we have noted some material  
6 errors resulting in an overstatement of your total  
7 revenue number in the bottom right-hand corner.

8 Just by way of examples, the errors relate to  
9 things such as there was an addition of a Darlington  
10 Unit 4 outage and the associated outage OM&A costs in  
11 2021 which -- relating to the cascading effect of the  
12 Darlington refurbishment schedule from the change in  
13 timing of Unit 3 because of COVID. So we will, in  
14 that undertaking response, provide those corrections.

15 M. RUBENSTEIN: That is exactly why I am asking.

16 S. ZADEH: Fantastic.

17 M. RUBENSTEIN: I am just driving what I can  
18 pull from the evidence. The evidence is not  
19 perfectly meant to do this, so that is why I am  
20 asking you to do that. So thank you very much.

21 M. MILLAR: The undertaking is JT-3.10.

22 **UNDERTAKING JT-3.10: REVIEW EXHIBIT KT-3.1 AND**  
23 **PROVIDE ANY APPROPRIATE CORRECTIONS, ADDITIONS,**  
24 **OR SUBTRACTIONS**

25 C. KEIZER: Mr. Millar, should this table be  
26 marked? Or is it --

27 M. RUBENSTEIN: Yeah. How about we mark that as  
28 --

1 M. MILLAR: Yeah, why don't we do that. So that  
2 will be Exhibit KT-3.1. And what do you want to call  
3 it, Mr. Rubenstein?

4 M. RUBENSTEIN: Table 1, DRP net revenue.

5 M. MILLAR: Thank you. KT-3.1.

6 **EXHIBIT KT-3.1: TABLE 1, DRP NET REVENUE**

7 M. RUBENSTEIN: I would like to talk now about  
8 nuclear operation, nuclear projects. Can we go to  
9 D2-SEC-61.

10 And in this interrogatory in part A, we asked to  
11 explain how the unallocated budget was determined and  
12 how the OEB can assess the reasonableness of those  
13 projects where no supporting information besides a  
14 project name has been provided regarding potential  
15 expenditures.

16 And in the -- you provide a response, and you  
17 provide some explanations. And what I am left with  
18 is still not understanding how the overall budget is  
19 determined. Because as I understand -- and I had a  
20 similar conversation with your colleague with respect  
21 to the hydroelectric -- is I understand the  
22 unallocated budget and how the process works is there  
23 is a budget for a given year, you have unallocated  
24 projects that you run a value framework to  
25 prioritize, you know, there are other possible --  
26 other constraints, and that depending on how much  
27 money is available, you pull projects up. But what  
28 is never -- so do I have that right at a high level?

1 J. BLAZANIN: The elements of what goes into it,  
2 you have spoken to, but not completely.

3 M. RUBENSTEIN: Okay. Well, is there -- do you  
4 want to correct me, then? Tell me where I am...

5 J. BLAZANIN: Yeah. So maybe I will -- can you  
6 hear me okay? Maybe I will provide the context  
7 around how we come up with the unallocated project  
8 listing through the asset management process, et  
9 cetera.

10 So if we step back a little bit, we have a  
11 number of comprehensive engineering processes and  
12 programs. We have system health reviews, plant  
13 health reviews, and all of those things which  
14 determine or identify the health or condition of our  
15 assets, our systems, our components. We conduct  
16 component condition assessments and other things on  
17 certain frequencies as well.

18 And so all of those things contribute into or  
19 inform potential asset -- our investment options that  
20 we need to invest in plant equipment. And so system  
21 responsible engineers on an annual basis will take the  
22 information that they have. They will prioritize  
23 within their areas of responsibility the higher  
24 priority risk areas, if you will, associated with  
25 their systems. They will put forward candidate  
26 investments for consideration and review and  
27 approval.

28 As part of the asset management process, we have

1 -- those system responsible engineers will develop  
2 asset optimization templates. So they will provide  
3 the baseline failure risk associated with that asset,  
4 and they will put forward whatever options are  
5 available to mitigate the risk in the timing of that  
6 risk.

7 So all of that then gets reviewed as part of our  
8 governing body, the asset management oversight  
9 committee. So that is a cross-functional Panel of  
10 operations, engineering, finance, et cetera. And  
11 they will review all of those candidate investments  
12 together, and then all of those candidate options  
13 will get approved or recommended to move forward.

14 Those options get put into Copperleaf. We  
15 talked about that yesterday, I think. The RG team  
16 talked about Copperleaf. All of that goes into the  
17 Copperleaf system. There are financial constraints  
18 that are established in the Copperleaf system for the  
19 nuclear division, and they run an optimization based  
20 on the risk profiles that have been established and  
21 based on the candidate investments that move forward.

22 And so once that optimization is run, that final  
23 product gets reviewed by the asset management  
24 oversight committee in conjunction with the project  
25 management oversight committee, and then those  
26 candidate projects are put forward into the business  
27 planning process overall for review and  
28 recommendation. So in subsequent IRs, we have

1 provided the full list of candidate projects with the  
2 cost estimates that are included in the business  
3 plan.

4 So I need to back up a little bit because for  
5 each of these candidate projects, we also have an  
6 estimate that is associated with it, and that goes  
7 into Copperleaf as well, against the different risk  
8 areas, to see if there is a positive or negative net  
9 value associated with that investment option.

10 M. RUBENSTEIN: But as I understand, and I think  
11 it is the same for the nuclear business, the projects  
12 on the candidate investment list are not all the  
13 projects that are inputted into Copperleaf; correct?

14 J. BLAZANIN: As I mentioned, when the system  
15 responsible engineers and through those plant health  
16 reviews and otherwise, they will pre-screen and put  
17 forward the high priority projects that they believe  
18 need to move forward based on the risk profile, and  
19 those are the ones that get entered into the  
20 Copperleaf system.

21 M. RUBENSTEIN: So are you doing every project  
22 in the Copperleaf system in a given year? No. There  
23 is constraints. And so I guess my question is what  
24 are the constraints on?

25 J. BLAZANIN: Typically, there are -- well,  
26 there are financial constraints, so there is a  
27 financial -- established for every year of the plan.  
28 And then the project or candidate projects are run

1 and optimized against that -- against that envelope  
2 of funding. And in some years, they may shift or  
3 move some projects around a little bit, so if it was  
4 supposed to start in, say, year 1 of a 5-year plan,  
5 it might move to year 2 or 3, depending on the risk  
6 and what is affordable within that limit.

7 M. RUBENSTEIN: And with respect to the  
8 financial envelope, how is that determined?

9 J. BLAZANIN: So we get financial targets  
10 established by finance as an initial input into the  
11 business plan and the optimization process to  
12 determine the unallocated portfolio for us. And then  
13 based on those targets, then we look at all of the  
14 candidate projects, understand the risk associated  
15 with operations, and if for some -- if, for example,  
16 we have to put forward a plan that exceeds those  
17 target limits based on the need and the risk  
18 associated with the business, then that will be a  
19 consideration into the business planning, and then  
20 subsequent reviews and challenges will occur, and  
21 business planning envelopes will get approved.

22 M. RUBENSTEIN: But I think your starting point,  
23 you said, was, you know, finance gives you the  
24 targets; did I get that right?

25 S. ZADEH: Sorry. Mr. Rubenstein, we took an  
26 undertaking, JT-2.6, yesterday where we said that we  
27 would put in further detail how these funding  
28 constraints are incorporated in the build-up of the

1 unallocated portfolio for hydro. Can we wrap in  
2 similarly for nuclear into that same undertaking so  
3 you have a full picture?

4 M. RUBENSTEIN: Yeah, for sure.

5 S. ZADEH: Okay. So let's -- let's do that by  
6 way of that same undertaking -- or I don't know if  
7 you have to mark it as a new undertaking, but I think  
8 we can do it all in one spot.

9 M. MILLAR: I don't need to mark it if it is all  
10 part of the same undertaking and if you are all good  
11 with that.

12 M. RUBENSTEIN: Sure. But I just want to -- I  
13 just want to ask from your perspective. You are  
14 given a target. Is that -- really, that is the  
15 financial constraints; right? At the sort of primary  
16 level, finance is providing the nuclear business the  
17 targets, financial targets?

18 J. BLAZANIN: Initial targets are established,  
19 and then through the business planning process in  
20 looking at all the risks and the needs for the  
21 business, the operational challenges, then the  
22 nuclear business will put forward a recommendation  
23 into the business plan to be considered in the final  
24 decision in terms of the business plan approval.

25 So if we exceed the financial targets, our  
26 initial targets that we had that we were working with  
27 -- in, then we would put that case forward for  
28 approval. And if it meant that the business needs

1 required additional funding to execute certain scopes  
2 of work, then that would be approved through that  
3 business planning process.

4 M. RUBENSTEIN: Okay. And I guess this is --  
5 just to make sure I understand, then, what is going  
6 to be provided in the undertaking, is it going to be  
7 an explanation really of how the target is set?

8 S. ZADEH: So I think that undertaking -- the  
9 words specific to that undertaking were "advise as to  
10 the selection or the build-up of the unallocated  
11 projects or hydro," and we will add "and nuclear,"  
12 and "how the associated funding constraints play into  
13 the makeup of that portfolio."

14 M. RUBENSTEIN: So I am not sure that is the  
15 same question. Maybe it is; maybe it is not. It is  
16 a bit unclear to me. I guess I am interested to  
17 understand -- as we hear from the evidence, finance  
18 gives a target. This is the initial constraints, and  
19 then I guess the nuclear says not enough or it is too  
20 much, probably not -- probably not the latter.

21 But -- but I am just not clear to me how that  
22 target is set, how that is determined. Presumably,  
23 you are providing some -- the nuclear business is  
24 providing input, what it thinks it needs? I guess  
25 that is the question I am trying to get at and  
26 understand.

27 S. ZADEH: Sorry. My apologies. If we are  
28 talking about the setting of the targets, from the

1 top-down perspective, that question should go to the  
2 last Panel, which is the business planning Panel.

3 M. RUBENSTEIN: Okay. Just because the nuclear  
4 experts are here. Presumably, the nuclear business  
5 is providing input in some way to the finance team  
6 and the executive leadership who are setting those  
7 targets -- correct -- in advance?

8 J. BLAZANIN: Yeah, I think AMPCO-23 talked  
9 about a lot of the inputs that go into the business  
10 planning. And the nuclear business, like all lines  
11 of business, provide input into the business plan,  
12 for sure. And so part of it is the project execution  
13 that we are -- have in place, in-flight projects that  
14 we have that we are executing. We talked about  
15 outages and changes that occur with outages. We  
16 talked about unallocated projects and the asset  
17 management program and the risks associated with  
18 that.

19 So all of those things are taken into  
20 consideration in inputs in terms of what the business  
21 needs for the final decision regarding the business  
22 plan.

23 M. RUBENSTEIN: Okay. Thank you.

24 Can we go back to D2-SEC-56. Yeah, my  
25 apologies. And as I understand, and just going back  
26 to the value framework, I know you provided  
27 information of the -- I forget exactly what the  
28 language the hydro group used, but essentially these

1 are the potential or probable projects that would be  
2 part of the -- that will end up ultimately making up  
3 the unallocated spend?

4 J. BLAZANIN: The output is the unallocated  
5 project list, yes.

6 M. RUBENSTEIN: But as I understand from the  
7 hydro group, not all those projects will  
8 [indiscernible], at least in this period?

9 J. BLAZANIN: So what we put forward in the  
10 business plan, in the annual business plan, is our  
11 best projection in terms of the work that we need to  
12 undertake. Certainly as we go through the business  
13 planning process and look at other constraints,  
14 restrictions of movements, and things like that,  
15 there will be movement in that portfolio.

16 And so that is how we manage it. We manage it  
17 on an annual basis and look to see what other inputs  
18 or constraints may cause some projects to move or new  
19 emerging projects that will need to be considered.

20 M. RUBENSTEIN: Let's just assume for a second  
21 that the allocated projects, when you go through the  
22 further process, you have gotten the budgets exactly  
23 right. There is no other emerging needs that were  
24 not -- that you didn't expect to happen.

25 Is the value framework list that you provided  
26 in, I think, Attachment 3 here -- is that going to be  
27 the list of projects that ultimately make up the  
28 unallocated -- they will be done in this term?

1 J. BLAZANIN: As per our plan, these are the  
2 projects that we are expecting to transition to in-  
3 flight projects with -- and definition business cases  
4 and be executed as per -- as we provided. That would  
5 be the plan.

6 M. RUBENSTEIN: And so when I look at the in-  
7 service additions for unallocated projects in some of  
8 the information here, there is a one-to-one link, and  
9 I am not going to ask you to do it. So -- but there  
10 is a one-to-one link between the in-service additions  
11 for unallocated projects for each of '27, '28, '29,  
12 '30, '31 to the -- what would ultimately be in-  
13 service addition for these projects for those years?

14 C. KEIZER: I just want to clarify your question  
15 before, which you made the presumption that said that  
16 there is no other emerging projects; is that -- is  
17 your current question based on the same basis?

18 M. RUBENSTEIN: Yes.

19 C. KEIZER: So, in other words, this is the  
20 totality of all projects that OPG could arise or will  
21 arise within the period, nothing else.

22 M. RUBENSTEIN: I heard the evidence to be, you  
23 know, subject to those sorts of things, we may  
24 change. So I am just trying to say assume that  
25 didn't happen. Is -- is the -- are those projects  
26 exactly -- do those match the in-service additions  
27 for the unallocated projects for the rate term?

28 C. KEIZER: Yeah, and the only reason why I ask

1 that question, just so -- you know, it is an  
2 assumption you are making, I know, but whether or not  
3 that is a reasonable assumption, I would leave that  
4 to the witness, I guess.

5 J. BLAZANIN: CCC-44, if we can call that up for  
6 a moment. And I think there is an attachment -- just  
7 let me confirm. So this is that direct link. The  
8 asset management Copperleaf tool informs not only the  
9 cash flow that we are expecting to expend, but also  
10 the in-service amounts that are predicted to go in-  
11 service aligned with that initial trajectory of that  
12 project and its lifecycle.

13 So this IR does provide that list, so that is  
14 the direct link of all those nuclear projects. So  
15 the asset management tool has the estimate and the  
16 projected in-service amount that tied back to this  
17 rate application. The only caveat I would give you  
18 here is that this is all the tier 1 and 2 projects,  
19 so there is a sublist of tier 3 projects that make up  
20 the balance.

21 M. RUBENSTEIN: So just for an example, if we  
22 went to 2031 and we added up the estimated in-service  
23 dates for all those projects and we added up the tier  
24 3 ones, those would equal the in-service additions  
25 for unallocated projects that you are seeking to put  
26 into rate base in this proceeding?

27 J. BLAZANIN: For nuclear, with the exception of  
28 the tier 3.

1 M. RUBENSTEIN: Just to back up for a second.  
2 Sorry. Just to clarify. I just want to make sure.  
3 My question is, if we took all the -- if we used 2031  
4 and we added up all the tier 1 projects, all the tier  
5 2 projects, and whatever the tier 3 projects would  
6 be, that would equal the unallocated projects in the  
7 -- that you are seeking to add to rate base? That  
8 would be -- there is a one-to-one match here. There  
9 is no additional funding, or there is less amount of  
10 money? I am just trying to make sure I understand  
11 that part.

12 J. BLAZANIN: So maybe we go back to the IR and  
13 we explain it there so we can go back to the actual  
14 question before the attachment and the response. And  
15 so I think under B, it is true. It is the total  
16 value there, with the exception of the tier 3  
17 projects. And you will note on the bottom, there was  
18 a \$10 million adjustment to that total amount, so  
19 that would be the only difference.

20 M. RUBENSTEIN: Okay. And if we can go back to  
21 D2-SEC-56. Will this list -- let me just stay here  
22 on the attachment here. For the tier 1, I know this  
23 is only a tier 1 and 2, I believe. But I think in  
24 the value framework, this is just the ones you are  
25 doing? There is a larger list of candidate projects  
26 that we put -- that are involved in the Copperleaf  
27 system?

28 J. BLAZANIN: As I mentioned earlier, in the

1 nuclear side of the business, we pre-screen a lot of  
2 the project -- lower-priority projects out so they  
3 never get into this. So these are the ones that make  
4 it into the Copperleaf system.

5 M. RUBENSTEIN: Okay. So that is different than  
6 my understanding.

7 So I understood the hydro Panel, how it worked  
8 for them was there is candidate projects, there is a  
9 number of constraints, and these are the ones that  
10 they have -- it is a bit more complicated than that,  
11 but these are the ones they are doing, but the system  
12 had more projects. For you, that is not the case?

13 J. BLAZANIN: That is correct. Not in the  
14 system. There may be one or two, but not in -- not -  
15 -

16 M. RUBENSTEIN: And then so what is the purpose  
17 of Copperleaf in that scenario? Is that just simply  
18 an optimization tool -- primarily an optimization  
19 tool as opposed to prioritization?

20 J. BLAZANIN: It is used to optimize those  
21 potential projects, and the candidates, understand  
22 the risk profile associated with operations and a  
23 feed into the business line, correct.

24 M. RUBENSTEIN: Okay. Thank you very much.  
25 That is helpful.

26 Can I ask you now to go to F2-SEC-160. And so  
27 in this interrogatory, we had asked you for the  
28 current fleet-wide improvement initiatives for the

1 nuclear business, to provide information for 2025 to  
2 2031, the annual cost to quantified benefits, and to  
3 provide all the calculations, and you take us to F2-  
4 Staff-178B.

5 Before you go there, if we can go to SEC-161.  
6 And here we were looking for similar information with  
7 respect to fleet-wide initiatives in the last  
8 proceeding and similar information, and there you  
9 point us to F2-Staff-178A; do you see that?

10 K. CAREW: We do.

11 M. RUBENSTEIN: Can we go to -- now to -- sorry  
12 -- F2-Staff-178. If we can scroll down right to the  
13 question. Just make sure which part we are talking  
14 about here. So let's just start in part A. You  
15 provide a response beginning on this page, and what  
16 you do say -- and you see this -- you say, "the  
17 following is --" in the last sentence:

18 "The following is a summary of the cost savings  
19 or cost avoidance for each initiative --" (as  
20 read)

21 Do you see that:

22 "-- where available or an explanation of why  
23 OPG has not quantified such cost savings or  
24 cost avoidance." (as read)

25 Do you see that?

26 K. CAREW: We see it.

27 M. RUBENSTEIN: And so the first one is "right  
28 work, right time, right value." And what you say

1 there is "while such --" and this is sort of in the  
2 middle:

3 "While such various performance improvements  
4 have been realized, OPG is unable to attribute  
5 discrete cost savings or cost avoidances to  
6 this initiative, as overall performance  
7 reflects the interacting effects of multiple  
8 initiatives and other operational factors."

9 (as read)

10 Do you see that?

11 K. CAREW: I do.

12 M. RUBENSTEIN: And so I take it from that is  
13 you can't quantify those savings for that initiative?

14 K. CAREW: Just the -- we can't. That is what  
15 you said, "can't"?

16 M. RUBENSTEIN: Yes. We can't, yes.

17 K. CAREW: Agreed.

18 M. RUBENSTEIN: Okay. And then the next one is  
19 the "leaders driving business results." You see the  
20 same thing -- you essentially say the same thing?

21 K. CAREW: That is correct.

22 M. RUBENSTEIN: So I want to first discuss the  
23 "right work, right time, right value." And can we  
24 turn to A1-CCC-9, Attachment 5. It is A1-CCC-9,  
25 Attachment 5. So this is an audit of that  
26 initiative, as I understand?

27 K. CAREW: That is correct.

28 M. RUBENSTEIN: And if we can go to page 3. And

1 scroll down. Yeah. In the first sentence under  
2 "background," you will see in the last -- in the  
3 first paragraph, last sentence says:

4 "The expected benefits of the RWRTRV initiative  
5 were to increase station productivity by 25  
6 percent, contributing to an overall target of  
7 reducing maintenance costs by approximately \$30  
8 million on an annual basis." (as read)

9 Do you see that?

10 K. CAREW: Yes.

11 M. RUBENSTEIN: And then if we go to page 5, we  
12 see under "positive observations," there is  
13 discussion of the savings on a per task metric. Do  
14 you see that?

15 K. CAREW: Yes.

16 M. RUBENSTEIN: And then if we go down to the  
17 key findings, the first one, as I read it, is  
18 essentially that you didn't meet the productivity --  
19 or at least the audit at this time was you hadn't met  
20 the productivity targets; do you see that?

21 K. CAREW: That is correct.

22 M. RUBENSTEIN: So can you help me -- because I  
23 am seeing -- there is measurement of savings in the  
24 productivity benefit. When we go back to Staff 178,  
25 you say you can't do it. So can you reconcile that  
26 for me?

27 K. CAREW: I can. So the "right work, right  
28 time, right value" initiative was designed to have a

1 cultural impact on how we do work in the station and  
2 optimizing our maintenance resources to impact  
3 station performance.

4 As you will note in the audit, there were  
5 targets set -- and I will say aggressive targets, and  
6 it is noted within that audit report aspirational in  
7 nature -- and identified during this audit that, to  
8 date, at the time here, we were unable to demonstrate  
9 that we had reached those targets.

10 One of the things we found as part of execution  
11 of this initiative was that the data was challenging.  
12 And you will note in the audit itself, it also calls  
13 out some of the challenges. I would use the term  
14 "confounded," where there are so many variables that  
15 go into how we execute work in the station that it  
16 can be difficult to isolate the variables that are  
17 impacting and then ultimately have the correct  
18 measurement in place to measure that performance.  
19 And so that really speaks to the challenges we have  
20 right now with providing the savings that we can see.

21 That said, what we have talked about is the  
22 benefits that we have seen from the initiative, and  
23 those show up in overall plant performance. So one  
24 of the key places that you see that is in station  
25 backlog. And station backlog measures four  
26 particular types of maintenance -- or, I will say,  
27 deficient or corrective maintenance that needs to be  
28 performed. It is a very important key metric, and it

1 is one that is actually tracked in the high indices  
2 across the industry. And we use it to compare  
3 ourselves within the industry because it is known  
4 that when those backlogs are low, that equipment  
5 reliability and, therefore, plant reliability will be  
6 stronger.

7 That overall improves our cost saving -- or I  
8 will say results in cost savings. We reduce the cost  
9 of having to do more corrective maintenance, which  
10 then prevents us from doing the preventative  
11 maintenance, which you can see the circle where if  
12 you can't do the preventative maintenance because you  
13 are always doing corrective maintenance, then you  
14 just end up in the cycle of more equipment failure,  
15 which overall has that bigger impact on cost.

16 So for those reasons, it is very difficult to  
17 suss out -- or that is not a great word, but to pull  
18 out the exact cost savings to share here.

19 What we can see is the overall impact on our  
20 performance in the station and the -- and that shows  
21 up -- so the efficiencies and the ability to execute  
22 the scope of work that we have had at Darlington,  
23 especially in the '22 to '26 time period, it is  
24 significant. It was a -- it is a very busy station,  
25 and you can't get done what we got done without  
26 having the efficiency from this initiative.

27 M. RUBENSTEIN: So what happened after the  
28 audit? Because as I understood, there were -- you --

1 the right time -- sorry, "right work, right time,  
2 right value" initiative had KPIs. So the audit comes  
3 out. What happened, do you still -- the KPIs were  
4 jettisoned? Or were you still using the KPIs? Or  
5 what happened?

6 K. CAREW: Yes. So we attempted to continue to  
7 use those KPIs to -- and you will see it, it mentions  
8 that we kind of narrowed down the number that we were  
9 using. But we still struggled with truly finding,  
10 like, that this was correct. And also even comparing  
11 station to station became difficult just due to some  
12 natural differences in planning of work, et cetera.

13 So we -- while we kept, I will say, the key  
14 tenets, the things like having a strong fix it now  
15 team and having efficiency in how we plan work, those  
16 tenets and the initiatives that go behind it remain  
17 and, I will say, continue to grow. But we did not  
18 rely as strongly on those KPIs to measure our  
19 performance as we closed out the initiative.

20 M. RUBENSTEIN: Okay. And so for the second  
21 initiative on that -- back on that Staff-178 was the  
22 "leaders driving business results" initiative?

23 K. CAREW: That is correct.

24 M. RUBENSTEIN: And were there KPIs for that  
25 initiative that related to cost savings,  
26 productivity, quantification of any of that?

27 K. CAREW: So if we could go to F2-1-1,  
28 Attachment 1, and page 3 of 6. Yeah. And you will

1 see the section where "leaders driving business  
2 results" is addressed.

3 So broadly in this area, there is a discussion  
4 around the description of the initiative and the  
5 results achieved, the benefits realized. And so you  
6 will see not KPI-focused in this area, but this  
7 initiative worked in a couple of ways around a  
8 cultural improvement to how we run the business.

9 One of the things that is a tenet of a McKinsey  
10 method for cultural change, one of them is ensuring  
11 that leaders have the key tools to execute their  
12 tasks, and, in this case, making sure that our  
13 managers and leaders had the information available to  
14 truly implement their part of the business no matter  
15 how large. So as small as a first line supervisor,  
16 all the way up to, you know, a business unit leader.

17 With a simple few clicks, you have immediately  
18 at your fingertips all the data you require, whether  
19 it is managing the overtime of your business unit,  
20 you know, sick time, you know, if you think about a  
21 supervisor, all the way up to things like the cost of  
22 materials in the case of, say, a department manager  
23 for maintenance. And so that is a key part of this  
24 where we implemented and put the tools in place.

25 And then the other parts of the cultural change  
26 is really role modelling as well as building  
27 consensus around the need for the improvements. And  
28 so this initiative did things like recognition cards

1 where we could celebrate a small innovation they  
2 might have resulted in savings, and overall built  
3 that cultural performance for the station. So in  
4 this attachment here is where the benefits are  
5 outlined.

6 M. RUBENSTEIN: Sorry. I understand. My  
7 question was a lot more narrow than that. It was  
8 just there was -- were there KPIs for this that were  
9 focused on cost savings, productivity improvements,  
10 anything like that, that were quantified? Much like  
11 there originally were for the "right work, right  
12 time, right value" one?

13 K. CAREW: There was not a KPI established here.

14 M. RUBENSTEIN: Okay. And then back, if we go  
15 to 178, the last one, "powering people for the  
16 future." And I think you pointed us to some  
17 information that is discussed F4-SEC-194, and it is  
18 related to the use of PWU-represented term employees?

19 K. CAREW: That is correct.

20 M. RUBENSTEIN: Am I correct -- and correct me  
21 if I am wrong, but there is no -- you are  
22 transitioning out of term employees for PWU  
23 employees; correct?

24 K. CAREW: That is correct.

25 M. RUBENSTEIN: Okay. And in part B of this  
26 response -- this is about the initiatives on a going-  
27 forward basis. And you can see this on page 3, line  
28 4. You say:

1 "OPG is unable to attribute discrete cost  
2 savings or cost avoidances to individual  
3 initiatives as the overall performance reflects  
4 the interacting effects of multiple initiatives  
5 and other operational factors." (as read)

6 Do you see that?

7 K. CAREW: I do.

8 M. RUBENSTEIN: So if we go through all the  
9 initiatives, are there any -- well, first of all, are  
10 there -- at a high level, are there KPIs for each of  
11 these initiatives?

12 K. CAREW: So the initiatives here penetrate  
13 down within our organization to the station level,  
14 department level, et cetera. And these business  
15 units do have, I will say, targets and KPIs that are  
16 mapped to these sorts of initiatives through  
17 excellence plans. And those KPIs are tied to meeting  
18 the business plan targets that we have in place, both  
19 for things like safety, as you see, and productivity,  
20 or I will say our -- you know, things like the  
21 backlog performance. All of those things that are  
22 mentioned throughout our evidence is where you will  
23 find the KPIs tied.

24 M. RUBENSTEIN: Are there any KPIs that are  
25 specifically about productivity, cost savings,  
26 quantified -- does that exist?

27 K. CAREW: No.

28 M. RUBENSTEIN: Okay. Thanks.

1           Can we go to F2-SEC-157. And so in this  
2 interrogatory, in part C, we had asked you for the  
3 value for metrics used for the benchmarking to  
4 provide the underlying calculations and references to  
5 the evidence where we could see those. And if we can  
6 go to part C -- which you did, and I thank you very  
7 much for that. It is very helpful. Sorry, if we can  
8 go up. It is -- you -- sorry, you provided a --  
9 there is a number of pages. Sorry, go up. Further  
10 up. Further up. Maybe I have the wrong one. I  
11 apologize.

12           If you can go to page 8 of 9. Yeah, there we  
13 go. So here you are providing the source for the  
14 information. And if you can go to page 9. So the  
15 first row is showing the OPG nuclear facilities  
16 capital, and you make an explanation of where that  
17 information comes from. And it is D2-1, Table 2,  
18 columns G to L, and then line 22, and then you say  
19 DN/PN portion.

20           That table doesn't break out into Darlington,  
21 Pickering, and especially the operations and support  
22 capital. I was wondering if you could provide -- if  
23 you could provide that information to show what of  
24 the operations and support is allocated to Pickering  
25 and for Darlington for the purposes of this  
26 calculation.

27           I know Mr. Gluck asked you sort of a similar  
28 question on the in-service additions component, but

1 for the purposes of capital expenditures, I scoured  
2 the record, and I couldn't find that information.

3 M. EL DEFRAWY: Yes, we can provide that  
4 information.

5 M. RUBENSTEIN: Thank you.

6 M. MILLAR: JT-3.11.

7 **UNDERTAKING JT-3.11: PROVIDE INFORMATION**  
8 **SHOWING HOW OPERATIONS AND SUPPORT CAPITAL IS**  
9 **ALLOCATED BETWEEN PICKERING AND DARLINGTON FOR**  
10 **THE PURPOSES OF THE CALCULATION IN F2-SEC-157,**  
11 **PART C, PAGE 9, AND EXPLAIN THE BASIS FOR THAT**  
12 **ALLOCATION**

13 M. RUBENSTEIN: And then in doing so, it would  
14 be helpful if you could explain how you allocate the  
15 operations and support capital between the two  
16 stations for the purposes of this metric.

17 M. EL DEFRAWY: We will look to explain our  
18 methodology.

19 M. RUBENSTEIN: Thank you very much.

20 Can we go to now F2-1-1, Table 1A. And this is  
21 your operating cost summary. If we could just scroll  
22 down to footnote 2, where it says:

23 "Actual and budget amounts in the other new  
24 nuclear OM&A category primarily relate to  
25 impact assessment preparation for potential new  
26 nuclear generation at OPG's strategic sites.  
27 No amounts related to new nuclear generation  
28 projects is included in the revenue requirement

1           for OPG's nuclear facilities." (as read)

2           Do you see that?

3           M. EL DEFRAWY: I do.

4           M. RUBENSTEIN: And am I correct that any of  
5 those amounts, both actual and budgeted, would be  
6 recorded in the nuclear development variance account?

7           M. EL DEFRAWY: That is correct, to my  
8 understanding.

9           M. RUBENSTEIN: Thank you very much.

10          Can we now go to E2-SEC-147. If we can go to  
11 attachment -- no, that is definitely not the right  
12 answer -- that is definitely not -- yes. One second.  
13 Sorry. 137, my apologies. Can we go to page 2 of  
14 Attachment 1.

15          As I understand, this table is showing the  
16 revenue deficiency based on approved versus actual  
17 production for each of the stations?

18          M. EL DEFRAWY: That is correct.

19          M. RUBENSTEIN: Can I ask you to provide an  
20 updated version of this table that separates out the  
21 deficiency calculation for Pickering and Darlington?  
22 And the reason it is not easy for me to calculate is  
23 because you are making a fuel adjustment for each of  
24 those stations, which are just not obvious of how you  
25 do that. Is that something you can do?

26          C. KEIZER: Can we just have a moment. I think  
27 we have to consider whether we can do or not, so we  
28 would need to take it back for consideration, Mr.

1 Rubenstein. We can get back to you after the break.

2 Thank you.

3 T. EMINOWICZ: Mr. Rubenstein, may I ask a  
4 question on this table?

5 M. RUBENSTEIN: Please.

6 **EXAMINATION BY T. EMINOWICZ:**

7 T. EMINOWICZ: I just wanted to confirm, the  
8 line that says "revenue rate," is that the base  
9 payment amount, or does that include the rate riders  
10 for that year?

11 M. EL DEFRAWY: That would be the base payment  
12 amount.

13 T. EMINOWICZ: If it is possible in a sentence  
14 or two, can you explain why you are not considering  
15 the payment amount riders to determine the revenue  
16 deficiency?

17 C. KEIZER: I think we just take that as part of  
18 the consideration as well.

19 T. EMINOWICZ: Thank you very much, Mr. Keizer.

20 **EXAMINATION BY M. RUBENSTEIN:**

21 M. RUBENSTEIN: All right. I have a couple  
22 questions on the Pickering refurbishment project.  
23 Can we go to D2-SEC-66. As a bit of background, my  
24 understanding from the evidence, generally speaking,  
25 the contracting strategy is similar to the DRP; is  
26 that correct?

27 S. NELMS: Good afternoon. This is Scott Nelms.  
28 And, yes, I can confirm that is correct.

1 M. RUBENSTEIN: And so in this interrogatory, we  
2 had asked you if you had undertaken any reviews of  
3 the strategies and implementation of the contract for  
4 the DRP and to provide details of if they have been  
5 included in the contracts for the PRP.

6 And you say, yes, OPG undertook a review and  
7 assessment of the Darlington refurbishment program  
8 contracting strategies, including contracting,  
9 framework, pricing structures, risk allocation, and  
10 limitation, and then there is some discussion about  
11 the changes. Can I just ask, when you talk about a  
12 review in the context of this, how did you -- what  
13 does it mean when you undertook a review?

14 S. NELMS: So we have decade-plus experience  
15 working with CanAtom on the retube feeder replacement  
16 agreement, as a -- for example. Similarly, for some  
17 of the other scopes, we have quite a bit of  
18 experience, lessons learned, from a commercial  
19 perspective. So it was a combination of our team on  
20 the commercial side, working with our project  
21 colleagues to understand what worked and what didn't,  
22 build that into our contracting strategy, and then  
23 execute on that basis.

24 M. RUBENSTEIN: Was the review component -- is  
25 there a formal review? Is there a document that, you  
26 know, talks about the formal review of the DRP  
27 contracting strategies?

28 S. NELMS: Yes, there is. We have a contracting

1 strategy document that lays out how we determined the  
2 approach for a Pickering refurbishment.

3 M. RUBENSTEIN: Sure. But I am going back to  
4 the review of the DRP. Is there a formal review  
5 document that sort of someone summed that up in a  
6 document, the review of the DRP contracting  
7 strategies? Is that -- was there sort of a formal  
8 process like that that ended up in a document of some  
9 sort?

10 S. NELMS: It was part of the Pickering  
11 contracting strategy. That was where we assimilated  
12 all of the lessons learned.

13 M. RUBENSTEIN: Thank you. And so I take it,  
14 then, the answer is, no, there isn't a formal DRP  
15 contracting strategies review document?

16 S. NELMS: As I said, the -- all the lessons  
17 were built into the go-forward agreements for  
18 Pickering. There is not a separate in-isolation  
19 Darlington refurbishment only. We took it in the  
20 context of how we would apply it going forward.

21 M. RUBENSTEIN: Thank you very much.

22 Can I ask you now to go to D2-SEC-73. And in  
23 this interrogatory, we asked you to provide  
24 information with respect to the RFBR -- in the  
25 context of the RFBR target pricing contract in the  
26 PRP, to provide certain information in the same  
27 format as you provided in the evidence for the DRP  
28 back in 2016-0152, a number of scenarios, and you did

1 provide that information in Chart 1's date; do I have  
2 that correct?

3 S. NELMS: Yes, that is correct.

4 M. RUBENSTEIN: So I just want to make sure I am  
5 understanding these tables correctly. So if we can  
6 go to Chart 1, let's just use Chart 1 as an example.  
7 This is a cost savings of 10 percent. So what this  
8 is showing, that in this scenario -- one sec. Yeah,  
9 sorry. If we go down to the "total" line, so the  
10 contract costs were 8 billion 560 million, and then  
11 the contractor came in at 7 billion 704 million, so  
12 the contractor costs were 10 percent below target;  
13 correct?

14 S. NELMS: Yes, that is correct.

15 M. RUBENSTEIN: And then we see in the "cost  
16 variance" column, the variance, then, is the \$751  
17 million in savings?

18 S. NELMS: Yes, that is correct.

19 M. RUBENSTEIN: And then from a customer's  
20 perspective, if the cost came in \$751 million less,  
21 then, as I am reading the table, ultimately,  
22 ratepayers would get \$578 million? The cost --  
23 ultimately, the cost that OPG would recover and seek  
24 from ratepayers would be \$570 million less? That is  
25 the impact to OPG?

26 S. NELMS: Yes, that is right.

27 M. RUBENSTEIN: Okay. And so if we can flip  
28 maybe over to page 4 -- sorry -- to Chart 4, this is

1 the inverse scenario, the 10 percent cost overrun.  
2 And so here, as I am reading the last column, the  
3 contract costs were the same, 8 billion 560 -- sorry  
4 -- the 8 billion 560 million. The costs came in 10 -  
5 - contractor costs were 10 percent higher, so 7  
6 billion -- sorry -- \$9 billion 416 million? That is  
7 the 10 percent higher; correct?

8 S. NELMS: Yes, that is right.

9 M. RUBENSTEIN: And so we have a variance now of  
10 \$751 million increase costs; correct?

11 S. NELMS: Yes.

12 M. RUBENSTEIN: And so if -- so if we go and we  
13 look at the same thing, impact to OPG, that would  
14 ultimately be what you would seek to recover from  
15 customers in this scenario presumably, and I am  
16 getting -- 705 million of that \$751 million variance  
17 would be the responsibility of OPG, and ultimately,  
18 its customers; right? Am I reading that right?

19 S. NELMS: Yeah, that is correct. One point I  
20 just wanted to add, we see in all these tables, there  
21 is the incremental fixed fee amounts as well. And so  
22 there are additional costs to the contractor that we  
23 don't pay. So just take that into account. But,  
24 yes, that is right.

25 M. RUBENSTEIN: Okay. Can we pull up the Table  
26 2 from the SEC document that we circulated to OPG  
27 yesterday. Maybe we can mark this as an exhibit.

28 M. MILLAR: KT-3.2. And what do you want to

1 call it?

2 M. RUBENSTEIN: This will be Table 2, DRP PRP  
3 RFBR table.

4 **EXHIBIT KT-3.2: TABLE 2, DRP PRP RFBR TABLE**

5 M. RUBENSTEIN: So this is a table that we put  
6 together based on the information from the 2016-0152  
7 proceeding for the DRP for the RFR project target  
8 price, essentially the information you provided there  
9 on the scenarios. And then on the other side, we  
10 used the information you provided on the same  
11 scenarios for the PRP RFBR; do you see that?

12 S. NELMS: I do. I just wanted to confirm. So  
13 what you have done is taken the sum totals at the  
14 bottom of each of the tables; is that what is in the  
15 RFBR?

16 M. RUBENSTEIN: Yeah, yeah.

17 S. NELMS: And then is it the same for the RFR  
18 2016?

19 M. RUBENSTEIN: Yes.

20 S. NELMS: Okay.

21 M. RUBENSTEIN: And then what we are showing in  
22 columns N and O and then in P and Q is the share of  
23 the variance between OPG and the contractor and -- do  
24 you see that?

25 S. NELMS: I do.

26 M. RUBENSTEIN: So I am going to first ask you  
27 by way of undertaking to confirm the accuracy of the  
28 table.

1 S. NELMS: Yes, we can provide that.

2 M. MILLAR: That is JT-3.12.

3 **UNDERTAKING JT-3.12: CONFIRM THE ACCURACY OF**  
4 **TABLE 2, THE DRP PRP RFBR TABLE**

5 M. RUBENSTEIN: So working on the assumption  
6 that it is accurate, what I -- what this shows  
7 compared to the difference between the PRP RFBR and  
8 the DRP RFR target pricing structures is that what  
9 you can see in the sort of share of the variance, in  
10 the DRP, there was a uniform -- there was sort of --  
11 there was symmetry between cost overruns and cost  
12 savings where there is not any more for the PRP. And  
13 it is -- what you can see is that while OPG is  
14 getting more of the benefits if there is savings as  
15 compared to the DRP, the share of the variance if it  
16 is a cost savings, it is dramatically higher than  
17 their responsible share of the cost overruns.

18 I was wondering if you can help explain that to  
19 me, about what the logic and the thinking behind --  
20 behind that is. And if you want to take that by way  
21 of undertaking, I am -- that is also acceptable.

22 C. KEIZER: Yeah, that was what I was reaching  
23 for the button to say. We will take it as part of an  
24 undertaking.

25 I. RICHLER: For the record, it is Ian Richler.  
26 I have just subbed in for Mr. Millar. We will note  
27 that next undertaking as JT-3.13.

28 M. RUBENSTEIN: Thank you very much.

1           **UNDERTAKING JT-3.13: EXPLAIN THE LOGIC AND**  
2           **THINKING FOR THE DIFFERENCE BETWEEN THE PRP RFBR**  
3           **AND DRP RFR TARGET PRICING STRUCTURES, INCLUDING**  
4           **WHY OPG'S SHARE OF COST SAVINGS UNDER THE PRP IS**  
5           **GREATER THAN ITS SHARE OF COST OVERRUNS**

6           M. RUBENSTEIN: Can we now go to D2-SEC-76. And  
7 so in this interrogatory, we asked about the balance  
8 of plant and facility infrastructure projects and how  
9 individual MSA contractors were chosen for each  
10 project. And in the response, you say it was not a  
11 competitive -- competitive RFP process, and I think  
12 there is some discussion in another interrogatory of  
13 why certain infrastructures -- and why that was the  
14 case.

15           Am I correct that for these projects, first with  
16 respect to the ESMSA contractors, you have a roster  
17 of ESMSA contractors that -- but then the selection  
18 between them, it is not a competitive process; do I  
19 have that right? There is no competitive procurement  
20 process?

21           S. NELMS: So you are correct in that the ESMSA  
22 has a roster of vendors. Those were selected  
23 competitively. The engineering services master  
24 services vendor of record agreement has been in place  
25 for some time. We use it for nuclear projects. We  
26 use it on Darlington refurbishment. It was  
27 established -- I think we have this in the evidence --  
28 -- in 2012 via competitions. That is where we

1 established the rate structures and the other terms  
2 and conditions. So that is where the competition  
3 occurred. And then, as you say, it is an allocation  
4 process consistent with how we allocated work for  
5 Darlington refurbishment, now for Pickering.

6 M. RUBENSTEIN: But between the ESMSA contracts,  
7 it is not -- it is not competitively procured? You  
8 don't say which one of this -- you don't -- you don't  
9 -- you have a roster, but you don't then say -- you  
10 know, you don't put those out between the rostered  
11 ESMSA contractors; correct?

12 S. NELMS: That is correct. What -- the  
13 rationale is that the rate structures are very  
14 similar as between all of the vendors, so it is  
15 really about an assessment of their past experience.  
16 So we try and allocate work to ES Fox, Black and Mac,  
17 on the basis of their past experience, whether at  
18 Pickering or at Darlington, and then it is an overall  
19 assessment of their capacity. So the amount of work  
20 they have in aggregate, we want to make sure that is  
21 efficient -- sorry -- efficiently allocated.

22 M. RUBENSTEIN: And so I believe in D2-SEC-77,  
23 there is a discussion of -- for some buildings. The  
24 Makhos Bird JV was undertaken on a sole source basis;  
25 do I have that right?

26 S. NELMS: Yes, that is correct.

27 M. RUBENSTEIN: And I believe in the evidence,  
28 there is discussion about the RFBR that you -- it was

1 also not done on a competitive basis; correct?

2 S. NELMS: That is correct. We looked at the  
3 experience that CanAtom had secured via the  
4 Darlington refurbishment, and it made sense for a  
5 number of reasons to maintain that partnership on  
6 what is a similar scope of work.

7 M. RUBENSTEIN: Can OPG provide information that  
8 shows what percentage of contractor costs for the PRP  
9 as a whole are based on a competitive RFP process for  
10 that specific work, so not a past RFP to be on the  
11 ESMSA list, but competitive -- how much of the  
12 contractor costs that are included in the budget were  
13 competitively procured for the purposes of the --  
14 specifically for the PRP project. Is that something  
15 you can do? Or an estimate? You don't have to get  
16 down to the dollar here.

17 C. KEIZER: I think that is fine, subject to any  
18 qualifications the witness may have with respect to  
19 capability to be able to do that.

20 S. NELMS: Yeah, I think we can divide up the  
21 work. I think the caveat that I would make, we may  
22 have a distinction around vendor records. We do view  
23 those as competitive -- competitively bid, but we can  
24 provide that.

25 M. RUBENSTEIN: Well, you can provide -- you can  
26 provide with or without that being -- we can deal  
27 with that later.

28 Can we go to D2-SEC-75, this Makhos Bird JV.

1 I. RICHLER: Let's just note that last one as  
2 JT-3.14.

3 **UNDERTAKING JT-3.14: PROVIDE INFORMATION TO**  
4 **SHOW WHAT PERCENTAGE OF CONTRACTOR COSTS FOR THE**  
5 **PRP AS A WHOLE ARE BASED ON A COMPETITIVE RFP**  
6 **PROCESS FOR THAT SPECIFIC WORK AND PROCURED**  
7 **SPECIFICALLY FOR THE PURPOSES OF THE PRP PROJECT**

8 M. RUBENSTEIN: And we asked why this was done  
9 by sole source. And you provide some responses and  
10 rationale for why, and you mentioned that you used an  
11 approved exemption to the competitive procurement; do  
12 I have that right?

13 C. KEIZER: Sorry. Are we on the right IR?  
14 Just maybe I have lost your -- oh, I see. Is line 26  
15 -- 25 and 26, that is what we are looking at?

16 M. RUBENSTEIN: Yes.

17 C. KEIZER: Okay. Thank you.

18 M. RUBENSTEIN: You see that?

19 Is a copy of OPG's procurement policy on the  
20 record? I couldn't find it. I am not -- there is a  
21 lot of information, but I didn't actually see that.  
22 And if not, can that be provided?

23 C. KEIZER: Can we just have a moment, Mr.  
24 Rubenstein.

25 We should be able -- there is something on the  
26 record. We can get you a reference when we take the  
27 break.

28 M. RUBENSTEIN: Sure.

1 I. RICHLER: So let's note that and -- or is  
2 that something that you --

3 C. KEIZER: I think if we have it, we will tell  
4 him on the break. If we don't have it --

5 I. RICHLER: Okay.

6 C. KEIZER: -- then we will deal with at that  
7 time when we come back.

8 I. RICHLER: Fine.

9 M. RUBENSTEIN: Now, you say it is an approved  
10 exemption to that procurement governance. What is  
11 the basis of the exemption?

12 S. NELMS: So we use what is called a sole  
13 source justification that is -- think of it akin to a  
14 business case, that establishes the rationale for  
15 proceeding with a non-competitive procurement.

16 So in this case for the Makhos joint venture, it  
17 was because of our need for -- to broaden our vendor  
18 basis, it was because they are performed successfully  
19 similar scopes of work elsewhere, and they agreed to  
20 the same rates that they bid into a prior competitive  
21 process.

22 M. RUBENSTEIN: Can you provide a copy of that  
23 justification document or...

24 S. NELMS: We can. The caveat I would make is  
25 it likely contains confidential information.

26 M. RUBENSTEIN: I would expect that.

27 S. NELMS: We can do it on that basis.

28 C. KEIZER: Are you okay with that, Mr.

1 Rubenstein, in terms of it --

2 M. RUBENSTEIN: Yes.

3 C. KEIZER: -- being marked as confidential. It  
4 is fine.

5 M. RUBENSTEIN: And can I ask --

6 I. RICHLER: JT-3.15.

7 M. RUBENSTEIN: And maybe if we just -- to add  
8 to that, can you provide similar documents for the  
9 other major sole source procurements on the PRP  
10 projects? Presumably, there is a similar one for  
11 CanAtom, for the RFBR, and the others.

12 S. NELMS: So I think there would be three main  
13 scopes that fall into this category; Makhos Bird, the  
14 -- I believe it is Framatome, and then CanAtom would  
15 be the three --

16 M. RUBENSTEIN: Can you provide --

17 S. NELMS: -- we can --

18 M. RUBENSTEIN: -- all three of them?

19 S. NELMS: Yes, we can.

20 M. RUBENSTEIN: I think that is the same  
21 undertaking.

22 I. RICHLER: You are asking that to be rolled  
23 into JT-3.15?

24 M. RUBENSTEIN: Yeah.

25 I. RICHLER: Okay.

26 **UNDERTAKING JT-3.15: PROVIDE A COPY OF THE SOLE**  
27 **SOURCE JUSTIFICATION DOCUMENT FOR THE MAKHOS**  
28 **JOINT VENTURE, FRAMATOME, AND CANATOM**

1           **PROCUREMENT FOR THE PRP PROJECTS, SUBJECT TO**  
2           **CONFIDENTIALITY**

3           M. RUBENSTEIN: Can we just flip -- sorry,  
4 scroll down to the next page. And on the -- it says  
5 here at the "value-for-money," it says:

6                   "OPG completed an independent third-party  
7 estimate reviews to assess MBJV's pricing and  
8 confirm that the proposed rates and pricing are  
9 consistent with the market conditions and  
10 represent value for money." (as read)

11           Do you see that? Can you provide that?

12           C. KEIZER: Can I just have a moment?

13           Maybe I will let Mr. Nelms speak to what these  
14 things actually are and whether or not it is  
15 something we can produce.

16           S. NELMS: Yeah. So I think that is rolled into  
17 the sole source justification documents that we had  
18 already agreed to provide. But we can -- perhaps we  
19 can confirm at the break.

20           M. RUBENSTEIN: Okay. The only -- I read this  
21 as it is a third-party independent something you got  
22 someone else to do, and the exemption is an OPG sort  
23 of internal document -- you know, memorializing the  
24 justification. So it seems to me those are not the  
25 same thing. I just want to make sure that we are --

26           C. KEIZER: Sorry. You are asking whether there  
27 is a separate document from the ones that were  
28 already identified as part of the undertaking --

1 M. RUBENSTEIN: Yeah, well, I just want to make  
2 sure that we are not -- I am looking for the third-  
3 party estimate review, not -- and I took it that the  
4 sole source was an OPG internal document created by  
5 OPG that may summarize that document, but it is not  
6 the same thing. I just want to make sure that we are  
7 --

8 C. KEIZER: I think what we may want to do is  
9 just have a discussion about this at the break and  
10 figure out what documents are what --

11 M. RUBENSTEIN: Sure.

12 C. KEIZER: -- to be able to be clear with  
13 respect to any reply to the undertakings.

14 M. RUBENSTEIN: Okay. Can we go to D2-SEC-94.  
15 I am just about done here, so...

16 So in D2-SEC-94, we asked for a list of RRB  
17 members and their biographies, which you provide in  
18 Attachment 2. I think there was some discussion with  
19 Mr. Walker about this, without bringing it up, on the  
20 first day, and I think the -- Mr. Keizer mentioned  
21 that there -- it is confidential.

22 My understanding, it is actually personal  
23 information confidential. It is actually -- there is  
24 no -- it is permanently redacted, the information  
25 here. And so I have a question for OPG. Is it --  
26 are -- is the company able to provide some document  
27 that explains the professional qualifications of  
28 these people to serve on the -- on this review board.

1 C. KEIZER: If I can just have a moment.

2 M. RUBENSTEIN: I am happy if you want to take  
3 this by way of undertaking but...

4 C. KEIZER: So I think what we would be doing is  
5 undertaking -- providing an undertaking to go away  
6 and determine if there is any documentation that can  
7 provide an understanding of the expertise of the  
8 individuals that are on this board without revealing  
9 any permanently redacted personnel information.

10 M. RUBENSTEIN: Yeah, I mean, I don't know what  
11 is there so I -- but seemingly that you must be able  
12 to provide the professional qualifications of these  
13 people that you are -- the company has put out as  
14 being sort of --

15 C. KEIZER: Yeah, no, I understand.

16 M. RUBENSTEIN: -- an important part of its  
17 oversight process.

18 C. KEIZER: I understand.

19 M. RUBENSTEIN: Now --

20 I. RICHLER: Sorry, Mr. Rubenstein, let's just  
21 note that as JT-3.16.

22 **UNDERTAKING JT-3.16: PROVIDE DOCUMENTATION**  
23 **DETAILING THE PROFESSIONAL QUALIFICATIONS OF THE**  
24 **INDIVIDUALS TO SERVE ON THE REVIEW BOARD AND**  
25 **ADVISE AS TO OPG'S RATIONALE FOR HAVING FORMER**  
26 **EMPLOYEES ON THE REVIEW BOARD**

27 M. RUBENSTEIN: And I think you had some -- Mr.  
28 Walker sort of asked the question about OPG

1 employees, and I think there was a discussion of that  
2 there is an internal member, I believe, of OPG who  
3 supports the review board.

4 J. BLAZANIN: That is right. This external  
5 membership is complemented with an individual  
6 internally that also sits on the review. It is part  
7 of their development, if you will. They are  
8 typically not associated with the project  
9 specifically. They are from another project or  
10 otherwise within nuclear, typically.

11 M. RUBENSTEIN: Are any of the external members  
12 of this review board former OPG employees?

13 J. BLAZANIN: The first one on the list is.

14 M. RUBENSTEIN: Can you explain how that --

15 J. BLAZANIN: If I go down. Paul Pasquet was a  
16 former employee. Michael Burke was not. Chris Grier  
17 was not. John Neal was not. Reg is not. Craig  
18 Sellers was.

19 M. RUBENSTEIN: Can you explain to me the  
20 thinking from OPG's perspective in the review board  
21 to having former employees of the company on it?

22 C. KEIZER: Can we wrap that into the  
23 undertaking we just gave?

24 M. RUBENSTEIN: I mean, if you would like, but,  
25 I mean, I don't know if the witnesses can answer it,  
26 then we can --

27 C. KEIZER: Well, I mean, it would go to the  
28 person's qualifications. Whether they were employed

1 or not employed, the point is the qualifications to  
2 the parties that actually sit on this board that you  
3 are looking for.

4 M. RUBENSTEIN: Yeah. Well, I guess my question  
5 is less about -- let's just assume they have --

6 C. KEIZER: It doesn't make them any less --

7 M. RUBENSTEIN: -- qualifications. I guess the  
8 question is the independent thinking in that  
9 component, that they are former employees.

10 C. KEIZER: I think we would still try to wrap  
11 it into the same undertaking.

12 M. RUBENSTEIN: That is fine.

13 C. KEIZER: Unless Mr. -- that is fine.

14 M. RUBENSTEIN: Okay. And maybe lastly, and in  
15 many ways where this entire panel started, if we can  
16 go to D2-SEC-95, we had asked you -- we had asked you  
17 to provide details of the regular reporting for the -  
18 - to the chief project officer, OPG executive  
19 leadership, regarding the PRP and to provide regular  
20 reporting mechanism. And for each regular reporting  
21 mechanism, provide us the latest copies.

22 Now, you actually -- you provided in Attachment  
23 1 information, a -- sorry, a presentation, but  
24 actually, you didn't answer -- you provided some  
25 documentation but didn't answer, actually, the  
26 original question which was, what is the regular  
27 reporting that is provided to the chief project  
28 officer and OPG executive group regarding the PRP?

1 I think you had some discussion with Mr. Walker  
2 at the start of this yesterday. Can you just speak  
3 to that at a high -- at a level of the regular  
4 reporting?

5 J. BLAZANIN: I think Mr. Walker was asking  
6 specifically about the CEO and the CNO and the  
7 reporting framework around that. We have different  
8 levels of reporting that we undertake within the  
9 project itself, of course. There are -- within the  
10 various bundles, there are project management  
11 reporting that takes place within the project itself.

12 It rolls up to a program review status meeting  
13 that takes place monthly, so there is a monthly  
14 cadence in terms of the reporting overall for the  
15 Pickering refurbishment project. The chief project  
16 officer would attend that meeting. It is primarily a  
17 meeting for the SVP execution, but the CPO does  
18 attend that meeting. I will frequently attend that  
19 meeting as well, and others from the EPO. So that is  
20 monthly.

21 And then there are quarterly meetings that get  
22 rolled up to an executive level as well. So this the  
23 executive leadership team where you would find the  
24 CFO, the chief operating officer, the CNO would  
25 attend those meetings. They are members of the  
26 executive leadership team.

27 On a monthly basis, there is an executive  
28 leadership team performance update, which is a

1 summarized view, as well that goes to the executive  
2 leadership team. So the CEO would see those reports  
3 every month as well.

4 And to the board, we report quarterly and  
5 monthly as well. We draft reports to the board of  
6 directors as well on the status. There are quarterly  
7 meetings of the board, and that is where they are  
8 verbalized, if you will, where a presentation or  
9 update is provided to the board as well.

10 M. RUBENSTEIN: Thank you very much. Those are  
11 my questions.

12 I. RICHLER: Thank you, Mr. Rubenstein.

13 We are almost at time for our break, but I see  
14 the -- we have VECC down for 10 minutes, and VECC is  
15 scheduled to be the last questioner for this panel.  
16 Mr. Garner, are you on the line?

17 M. GARNER: I am. I have already ceded my time  
18 to -- I am not going to ask any questions.

19 I. RICHLER: Oh, have you? Terrific. Okay.

20 Now, I know, Mr. Keizer, you said there were  
21 some things you wanted to consider over the break.  
22 Would you like this witness panel to come back after  
23 the break? Do they need to speak to anything, or can  
24 they be dismissed, from your perspective?

25 C. KEIZER: I think they can be dismissed. I  
26 think the main discussion will be the scope of the  
27 undertaking that we were dealing with.

28 I. RICHLER: Okay. In that case, thank you to

1 this witness panel. We will take a break for -- we  
2 will come back at 10 after 3:00. Thank you.

3 --- Upon recessing at 2:53 p.m.

4 --- Upon resuming at 3:15 p.m.

5 I. RICHLER: Mr. Keizer, over to you.

6 **PRELIMINARY MATTERS**

7 C. KEIZER: Thank you, Mr. Richler. We do have  
8 some preliminary matters before we begin with this  
9 panel. I am going to turn it over to my colleague  
10 Ms. Zadeh to go through the couple of items, two or  
11 three items, that we took back before the break, and  
12 then there is one administrative matter directly  
13 related to this panel as well.

14 S. ZADEH: So starting with Mr. Gluck, you had a  
15 question in relation to Staff-15, Chart 1, which  
16 listed projects for both the hydroelectric and  
17 nuclear business -- sorry. Actually, if we could  
18 pull up that interrogatory just so that we are  
19 looking at the same thing. So this was Staff-15. I  
20 believe it is Chart 1. You had asked if we could  
21 provide the total project costs for those projects,  
22 and so we will do so by way of undertaking.

23 L. GLUCK: Thank you. The request was a little  
24 bit broader originally. It was -- it is that table,  
25 that is right. But also in the later responses, they  
26 give the proportion -- you give the proportion of the  
27 assets that have long lead materials, and if there is  
28 a dollar value associated with that as well, that is

1 what we were looking for. So it is really all  
2 projects with long lead time material impacts.

3 C. KEIZER: Sorry. All -- when you say "all  
4 projects," I guess that is what I am struggling with.  
5 Like, "all," like, hundreds of projects, or which  
6 projects?

7 L. GLUCK: Well, presumably you can convert  
8 those percentages into dollars. So if you look at --  
9 sorry. I should take you through it. But if you  
10 look at Chart 3 and Chart 4, Chart 3 is about hydro  
11 projects, tier 2 projects, and then Chart 4 is tier 2  
12 nuclear operations projects. And it shows the  
13 proportion of projects that have long lead materials.  
14 So I would think it would be possible to convert that  
15 into a dollar figure as well.

16 S. ZADEH: Okay. That is different than what we  
17 discussed, so I --

18 C. KEIZER: Sorry. Converting the 57 percent,  
19 say, for example, or whatever in 2027 to a dollar  
20 figure or the 46 percent to a dollar figure?

21 L. GLUCK: That is right. And then that would  
22 be additive --

23 C. KEIZER: Right. But not for each project,  
24 but just those --

25 L. GLUCK: No. Aggregate. We are looking for,  
26 like, a total dollar value.

27 C. KEIZER: Yeah, of all those projects that  
28 make up the 46 percent, what is the total of all of

1 those projects, one big total?

2 L. GLUCK: Yeah.

3 C. KEIZER: Well, OPG will give it on a best-  
4 efforts basis. To the extent that they can, they  
5 will do it. If for some reason there is an issue,  
6 then obviously they will indicate why on the  
7 undertaking.

8 L. GLUCK: Okay. Thank you. I appreciate it.

9 I. RICHLER: Let's note that as JT-3.17.

10 C. KEIZER: And that is in relation to Chart 3  
11 and Chart 4.

12 **UNDERTAKING JT-3.17: PROVIDE THE TOTAL PROJECT**  
13 **COSTS FOR THE PROJECTS IN RELATION TO THE**  
14 **PERCENTAGE AMOUNTS IN CHART 3 AND CHART 4**

15 S. ZADEH: Okay. Next, Mr. Rubenstein, you were  
16 asking for procurement-related information. So,  
17 obviously, F3-3-1 speaks -- provides a summary of our  
18 procurement framework, but the procurement governance  
19 document is not on the record, so we can undertake to  
20 provide that governance document.

21 I. RICHLER: JT-3.18.

22 **UNDERTAKING JT-3.18: PROVIDE THE PROCUREMENT**  
23 **GOVERNANCE DOCUMENT**

24 S. ZADEH: And then similarly, when we were  
25 discussing single source justifications, there was a  
26 reference to third party-prepared documentation. So  
27 we will take an undertaking to consider whether or  
28 not -- whether we can or cannot provide that review.

1 And if we can, we will; if we cannot, we will explain  
2 why not. I just -- I don't have those documents in  
3 front of me. Okay. Great.

4 I. RICHLER: JT-3.19.

5 **UNDERTAKING JT-3.19: PROVIDE THIRD PARTY-**  
6 **PREPARED DOCUMENTATION IN REGARDS TO THE MAKHOS-**  
7 **BIRD JOINT VENTURE'S PRICING**

8 S. ZADEH: And I think the last one was in  
9 relation to SEC-137, if we can pull that up, please,  
10 Attachment 1, page 2. This is the revenue -- sorry.  
11 I think that is the right one. There was a request  
12 here to break it out between Pickering and  
13 Darlington, Mr. Rubenstein, so we will undertake to  
14 do so. And as part of that undertaking, we will  
15 respond to Board Staff's question regarding the rate  
16 riders and why they are not included in that rate --  
17 or in that table.

18 I. RICHLER: JT-3.20.

19 **UNDERTAKING JT-3.20: BREAK OUT THE REVENUE**  
20 **INFORMATION BETWEEN PICKERING AND DARLINGTON IN**  
21 **RELATION TO SEC-137, ATTACHMENT 1, PAGE 2, AND**  
22 **ADVISE WHY RATE RIDERS ARE NOT INCLUDED IN THE**  
23 **TABLE**

24 C. KEIZER: I think that covers the  
25 administrative matters that we took away prior to the  
26 break. We did have one additional administrative  
27 matter in relation to the new Panel, that Panel  
28 Number 3. I am happy to deal with it now before we

1 do the introduction of the panels.

2       It is actually -- there was a series of  
3 questions which were provided by Mr. Rubenstein to  
4 OPG last night. The information in the questions  
5 contains confidential information, so the list of  
6 questions themselves are confidential. And so the  
7 nature of the undertaking is confidential. What we  
8 would prefer to do, given it is confidential to have  
9 it marked as, you know, JT-X or whatever it is going  
10 to be, to distinguish it from all other undertakings,  
11 recognizing that both in its form and substance, it  
12 is confidential.

13       I. RICHLER: Okay. We can note that as JT-  
14 3.21X. And just to be clear, this is a confidential  
15 response to certain written questions that Mr.  
16 Rubenstein submitted to OPG?

17       C. KEIZER: And the questions themselves are  
18 confidential.

19       I. RICHLER: Got it. Okay. JT-3.21X.

20       **UNDERTAKING JT-3.21X: CONFIDENTIAL RESPONSE TO**  
21       **CERTAIN WRITTEN QUESTIONS SUBMITTED BY M.**  
22       **RUBENSTEIN TO OPG**

23       M. RUBENSTEIN: Yeah, I am not clear exactly how  
24 the Board wants to deal with the questions -- file  
25 those confidentially and mark that as an exhibit. I  
26 am somewhat in Staff's hands how they --

27       I. RICHLER: Maybe we will take that back, and  
28 we can be in touch with you. We can figure out the

1 best way to do that.

2 M. RUBENSTEIN: Okay.

3 C. KEIZER: Yeah, maybe we can address that  
4 Monday or something. I believe that is the end of  
5 the administrative matters.

6 So we do have a new Panel, Panel Number 3,  
7 relating to the DNNP project. So I think what we  
8 would like is the Panel members to introduce  
9 themselves, starting first with Ms. Greenland, and  
10 then moving -- progressing through the Panel.  
11 Introducing yourself by name and title would be  
12 appreciated.

13 **PANEL 3 APPEARANCES**

14 L. GREENLAND: Good afternoon. Lindsay  
15 Greenland, vice president of major projects.

16 R. HOWARD: Good afternoon. Ryan Howard, vice  
17 president, major projects, responsible for executing  
18 Unit 1 SMR.

19 D. KINDLON: Derek Kindlon, director of  
20 projects-controllership.

21 S. NELMS: Good afternoon once again. Scott  
22 Nelms, vice president, commercial strategy.

23 A. KOGAN: Good afternoon. Alex Kogan, senior  
24 vice president, commercial integration and strategy,  
25 with accountabilities, including regulatory finance  
26 and nuclear liabilities finance.

27 C. KEIZER: The Panel is available for  
28 questions.

1 I. RICHLER: Thank you, Mr. Keizer. Up first is  
2 OEB Staff, Mr. Eminowicz.

3 **EXAMINATION BY T. EMINOWICZ:**

4 T. EMINOWICZ: Good afternoon, Witness Panel 3.  
5 Thank you for supporting the proceeding and the  
6 process here. My name is Thomas Eminowicz, and I am  
7 a senior advisor with Ontario Energy Board Staff. In  
8 preparing for questioning this Panel, we -- I think  
9 that most of our time that we had allotted here is  
10 probably better suited for Panel 4, so I really only  
11 have one general kind of high-level question for this  
12 Panel.

13 So can we please take a look at the  
14 interrogatory response to A2-Staff-10. There is just  
15 a particular statement on Attachment 2 -- sorry --  
16 Attachment 6 on page 2. And so this is a Moody's  
17 report, and so I don't have questions about the  
18 report itself or the specifics of the report, but  
19 rather a term or a phrase that kind of caught my  
20 attention. And so in the second paragraph, in the  
21 second line, there is a sentence that just generally  
22 says:

23 "OPG has selected a reactor that is based on a  
24 10th generation boiling water reactor  
25 technology." (as read)

26 And I just didn't really see that kind of  
27 phrasing within the pre-filed evidence, so I was just  
28 wondering if OPG could please, just in plain

1 language, describe what is kind of meant by the "10th  
2 generation boiling water reactor technology."

3 R. HOWARD: Good afternoon. Ryan Howard. So I  
4 will start to answer that question. Just I am sure  
5 you know this, but different styles of reactors in  
6 the world, right. So this is a boiling water  
7 reactor. There is pressurized water reactors. There  
8 is our CANDU in Canada here. So different styles of  
9 reactors.

10 What this refers to is from the inception of the  
11 boiling water reactor design, there have been ten,  
12 broadly speaking, iterations of that design that  
13 brings us to the modern design that we are building  
14 at Darlington. In fact, you may hear it described as  
15 the BWRX-300. The "X" stands for "10th" generation  
16 of that reactor design.

17 T. EMINOWICZ: And is it possible in simple  
18 terms just to kind of understand what makes this 10th  
19 generation unique, like, I guess, different from  
20 previous or previous from the 9th?

21 R. HOWARD: Yes. So primarily, it is the first  
22 small modular reactor in this design evolution, so  
23 300 megawatts versus earlier designs are larger. So  
24 that is one of the main differences. And in being a  
25 small modular reactor, it is also simplified. So in  
26 terms of the evolution of this design, there are far  
27 less systems compared to previous designs.

28 And one of the highlights that is documented in

1 our evidence is some of the passive nature of this  
2 design. So one of the reasons for the selection was  
3 that passive nature of some of the design.

4 T. EMINOWICZ: And sorry. Just to clarify,  
5 like, for me, I associate the word "passive" with,  
6 like, passive safety systems; is that a correct  
7 inference?

8 R. HOWARD: Yes. "Passive" does often refer to  
9 the safety systems; however, there are elements of  
10 the operational design, such as the natural  
11 circulation feature that that term is also used to  
12 describe.

13 T. EMINOWICZ: Thank you very much.

14 OEB Staff will use the rest of our time for  
15 Panel 4. That is all I have. Thank you.

16 I. RICHLER: Thank you.

17 Next up is SEC, Mr. Rubenstein.

18 **EXAMINATION BY M. RUBENSTEIN:**

19 M. RUBENSTEIN: Good afternoon, Panel. Can we  
20 first start at D2-AMPCO-70. In the response to this  
21 question -- we scroll down to the response -- in the  
22 last bullet point, it talks about:

23 "In March 2026, the Board of Directors approved  
24 the release of additional 1.99 billion for  
25 incremental definition phase funding associated  
26 with units 2, 3, 4." (as read)

27 Do you see that? Do you see that?

28 D. KINDLON: Yes.

1 M. RUBENSTEIN: Are you able to provide the memo  
2 for that funding release?

3 C. KEIZER: It is not part of the revenue  
4 requirement, so I am not sure why we are actually --  
5 you are seeking it.

6 M. RUBENSTEIN: Would I -- would -- well, a  
7 couple -- well, first off, would that memo also  
8 include status report on the project to date?

9 C. KEIZER: Is that why you are seeking the  
10 memo; you are seeking a current status report on the  
11 project?

12 M. RUBENSTEIN: One aspect. Second is I  
13 understand there is CCR related to units 2, 3, and 4.

14 C. KEIZER: But the amount of 1,991 is not in --  
15 or before the Board for purposes of this proceeding.

16 M. RUBENSTEIN: So is that a refusal?

17 C. KEIZER: Yeah.

18 M. RUBENSTEIN: All right. Can we go to D2-  
19 AMPCO-88. Can we go to Attachment 2. This is the  
20 project control plan. Just give me a second here.  
21 We can go to page 40 of this document. And here the  
22 document is setting out some cost reporting metrics  
23 you have; do you see that?

24 R. HOWARD: Yes.

25 M. RUBENSTEIN: And one metric I have actually  
26 not seen before in OPG documents of past projects was  
27 the forecast accuracy factor; do you see that?

28 R. HOWARD: Yes.

1 M. RUBENSTEIN: And as I understand, it is an  
2 indicator of where the project forecast is compared -  
3 - it is a -- well, maybe you can just speak to the  
4 intent of the forecast accuracy factor.

5 L. GREENLAND: The forecast accuracy factor is  
6 an indicator that allows us to pay additional  
7 attention to the forecast accuracy, our team's  
8 abilities to forecast over a three-month period. So  
9 it is intended to highlight where we may have  
10 forecasts that are varying month over month, and so  
11 it is -- whilst it is not a primary project measure,  
12 it is -- enables us to look at our project controls  
13 performance and our project management performance  
14 and accuracy in their ability to forecast over short  
15 periods of time.

16 M. RUBENSTEIN: And as I understand, it is on a  
17 rolling three-month basis?

18 L. GREENLAND: That is correct.

19 M. RUBENSTEIN: And how often do you actually  
20 present the forecast? Is it a monthly basis that you  
21 are doing this?

22 L. GREENLAND: Yes. It is a monthly indicator  
23 that looks at a three-month rolling period.

24 M. RUBENSTEIN: Can you provide the forecast --  
25 the monthly forecast accuracy factor back to the  
26 start of the project?

27 R. HOWARD: You may have missed it, but the  
28 monthly performance package that was provided in

1 evidence does have the forecast accuracy factor for  
2 that -- that period.

3 M. RUBENSTEIN: I did miss it. That is -- so  
4 thank you. But that, presumably, is the snapshot at  
5 that time, not going back to the start of the  
6 project, sort of the -- seeing essentially the  
7 progression of how the project has been going on a  
8 forecast accuracy basis, which is a slightly  
9 different request.

10 R. HOWARD: So sorry. Could you repeat the  
11 request.

12 M. RUBENSTEIN: Could you provide the monthly  
13 forecast accuracy factor going back to the beginning  
14 of the project?

15 R. HOWARD: So, yes, no problem undertaking  
16 that. I would suggest that a relevant trend would be  
17 from the start of execution as opposed to earlier  
18 phases.

19 M. RUBENSTEIN: Well, how about you go back to  
20 the beginning, and you can point me to what that date  
21 of the execution is in the undertaking.

22 C. KEIZER: Yeah, we can provide that.

23 I. RICHLER: JT-3.22.

24 **UNDERTAKING JT-3.22: PROVIDE THE MONTHLY**  
25 **FORECAST ACCURACY FACTOR GOING BACK TO THE**  
26 **BEGINNING OF THE PROJECT AND ADVISE WHEN THE**  
27 **METRIC WAS APPLIED TO DNNP AND WHETHER IT IS**  
28 **BEING USED FOR OTHER LARGE PROJECTS**

1 M. RUBENSTEIN: Now, I haven't seen this metric  
2 before. I haven't seen this metric before. Is that  
3 something the company has been using for a while,  
4 this metric, for large projects?

5 L. GREENLAND: Apologies. I am not sure when  
6 that was initiated the forecast accuracy factor.

7 M. RUBENSTEIN: Right. Well, maybe in that  
8 undertaking, you can let me know, if this is a new  
9 [indiscernible] applied to the DNNP or it is  
10 something that has been just not in some of the  
11 documentation that I read with respect to other large  
12 projects in the past.

13 C. KEIZER: That is fine.

14 M. RUBENSTEIN: Can we go to D2-SEC-10,  
15 Attachment 3. And so the underlying IR asked about  
16 the lessons learned on other projects. And in  
17 Attachment 3, these are some what you are calling  
18 benchmarking reports for external projects. And as I  
19 understand, if you go to page 3 of this document,  
20 this appears to be some internal notes with  
21 discussions with OPG Staff and Staff from another  
22 entity. Is this correct?

23 R. HOWARD: Your statement is correct.

24 M. RUBENSTEIN: And if we go under "discussion"  
25 -- no, on the same page, just under the "discussion"  
26 section, it says, redacted:

27 "Staff assembled a number of questions prior to  
28 the meeting concerning OPG's experience

1           implementing and administering a cost  
2           management solution for its projects." (as  
3           read)

4           And in the second paragraph, it says:

5           "A significant part of the discussion focused  
6           on challenges of obtaining buy in from all  
7           relevant business organizations and the  
8           concessions made by OPG that deviate from  
9           international best practices like the formula  
10          for cost variance." (as read)

11          Do you see that?

12          R. HOWARD: Yes.

13          M. RUBENSTEIN: Can you explain what part of a  
14          cost management -- what is it referring to?

15          No problem. Can you explain what part of cost  
16          management deviate from international best practices?

17          L. GREENLAND: I will have to take that back. I  
18          am not sure what it is referring to.

19          M. RUBENSTEIN: Sure. And so can I ask you to  
20          do the following -- I will just get to the next part.  
21          Can you explain what part of OPG's cost management  
22          deviate from international best practices -- then you  
23          see the next sentence says, "like the formula for  
24          cost variance," so at least we have that example.

25          Can you explain specifically how OPG's formula  
26          for cost variance deviates from international best  
27          practices?

28          C. KEIZER: Or if it does. Since it is not

1 OPG's document.

2 M. RUBENSTEIN: Well, I think it -- this is OPG  
3 --

4 C. KEIZER: Anyway, I think we know the intent  
5 of your undertaking.

6 M. RUBENSTEIN: Okay.

7 I. RICHLER: JT-3.23. I take it that is -- you  
8 are okay with that.

9 **UNDERTAKING JT-3.23: EXPLAIN WHAT part of OPG's**  
10 **cost management processes, if any, deviate from**  
11 **international best practices as referenced in**  
12 **THE "DISCUSSION" PORTION OF D2-SEC-110,**  
13 **ATTACHMENT 3, AND EXPLAIN SPECIFICALLY HOW OPG'S**  
14 **FORMULA FOR COST VARIANCE DEVIATES FROM**  
15 **INTERNATIONAL BEST PRACTICES, OR IF IT DOES**

16 M. RUBENSTEIN: Can we go to D2-SEC-116,  
17 Attachment 11. This is a report of the small modular  
18 reactor review board from October 2025. Can we go to  
19 page 4 of that document. And as part of the  
20 recommendation, it says:

21 "By the end of December 2025, produce a  
22 realistic estimate at completion EAC range for  
23 procurement. This estimate should include a  
24 high, low, and most likely outcome." (as read)  
25 Do you see that?

26 R. HOWARD: Yes.

27 M. RUBENSTEIN: Was that completed?

28 R. HOWARD: Yes.

1 M. RUBENSTEIN: Can you provide it? And also  
2 provide the procurement amount that is included in  
3 this application so that there is an apples-to-apples  
4 comparison with the estimate at completion at the  
5 high, low, and most likely outcome. Is that  
6 something you can do?

7 R. HOWARD: So just to clarify, you can correct  
8 me if you already knew this, this is a forecast to  
9 complete for procurement. This is not an actuals  
10 assessment.

11 M. RUBENSTEIN: No, I understand. As I  
12 understand the recommendation, at least how it is  
13 worded in the report, that they are asking for the  
14 procurement of the project to provide a realistic  
15 estimate -- its language, not mine -- at a high, low,  
16 and likely outcome. So I am looking for that and  
17 whatever the -- but then I am trying to understand  
18 what the forecast that you are using for the purposes  
19 of this application is to do the apples-to-apples  
20 comparison.

21 R. HOWARD: Yeah, understood. I don't have an  
22 issue.

23 C. KEIZER: We can do so to the extent that we  
24 can. If for some reason we cannot, we will  
25 articulate why we can't.

26 I. RICHLER: JT-3.24.

27 **UNDERTAKING JT-3.24: PROVIDE THE REALISTIC**  
28 **ESTIMATE AS REFERRED TO ON PAGE 4 OF D2-SEC-116,**

1           **Attachment 11, AND ALSO PROVIDE THE PROCUREMENT**  
2           **AMOUNT THAT IS INCLUDED IN THAT APPLICATION TO**  
3           **SHOW AN APPLES-TO-APPLES COMPARISON WITH THE**  
4           **ESTIMATE AT COMPLETION AT THE HIGH, LOW, AND**  
5           **MOST LIKELY OUTCOME**

6           M. RUBENSTEIN: Can we go to Attachment 12 of  
7 this same interrogatory. This is the February 2026  
8 small modular reactor review board. If we can go  
9 flip to page 4. There is discussion about the IPD  
10 team realignment. If we scroll down.

11           And then on the next page, there is some  
12 discussion about the follow-up on this IPD model was  
13 in its early phases. And there is some discussion  
14 about the change, but it is really not clear to me  
15 what has happened here. Can you speak to this?

16           C. KEIZER: Sorry, is there a particular part  
17 that you are referencing, Mr. Rubenstein?

18           M. RUBENSTEIN: Sure. If you take a look at  
19 page 5 and the bullet point 3, it mentions that:

20           "The rollout of this new IPD model was in its  
21 early phases during the SMRRB on-site review.  
22 The basis of the change and the mechanics of  
23 the new IPD model operated on a day-to-day  
24 basis were verbally reviewed at a high level of  
25 the SMRRB. There were some concerns that  
26 messaging of the change was inconsistent and  
27 might be confusing to the SMR-X organization."

28           (as read)

1 Do you see that?

2 R. HOWARD: Yes.

3 M. RUBENSTEIN: It is just not clear to me  
4 exactly what the changes were to the model and what  
5 the issues are -- and could you just speak to this?

6 R. HOWARD: Yes, I can. This is not pertaining  
7 to the IPD model. This pertains to how we bundled  
8 the scope within the project. So in evidence, in a  
9 number of pre-filed evidence, notably D2-4-02 and 09,  
10 we talk about the bundle structure of the project,  
11 which is a term for how we divide up the scope.

12 So what the SMRRB was referring to here is when  
13 they were visiting in February, we had -- we are in  
14 the middle of a bundle reorganization, so moving  
15 scopes around between bundles. No change to the  
16 scopes, but better aligning with the current  
17 execution of the work in the field.

18 M. RUBENSTEIN: Okay. Can we now go to  
19 Attachment 14. So I asked a similar question with  
20 respect to the PRP Panel so -- the last panel with  
21 respect to the PRP review board, and there was an  
22 undertaking given, so I am going to ask for a similar  
23 undertaking.

24 The information for some of these people is  
25 permanently -- all of it is permanently redacted for,  
26 as I understand, personal information. And I was  
27 wondering if OPG could provide some form of  
28 information that allows us to understand the

1 qualifications of these individuals for these -- for  
2 membership on this board. And then the second  
3 component is if any of these external members have  
4 ever been employees of OPG.

5 C. KEIZER: Yeah, we can provide the undertaking  
6 on the same basis that we agreed to provide it with  
7 respect to PRP.

8 M. RUBENSTEIN: Thank you very much.

9 I. RICHLER: JT-3.25.

10 **UNDERTAKING JT-3.25: PROVIDE SOME FORM OF**  
11 **INFORMATION SHOWING THE QUALIFICATIONS OF THE**  
12 **INDIVIDUALS ON D2-SEC-116, ATTACHMENT 14, AND**  
13 **ADVISE WHETHER ANY OF THOSE EXTERNAL MEMBERS**  
14 **HAVE EVER BEEN EMPLOYEES OF OPG**

15 M. RUBENSTEIN: Can we go to D2-Staff-120. If  
16 we can scroll down to line -- if we can go to your  
17 response to part C. Yeah.

18 In line 21 it references OPG engaged a third  
19 party to independently review the governance process  
20 and procedures related to the development of the RQE.  
21 Is that the BTTC report included in the evidence?

22 L. GREENLAND: Yes, that is correct.

23 M. RUBENSTEIN: Thank you very much.

24 And, finally, and I don't think you need to pull  
25 this up, you have provided the DNNP basis of estimate  
26 but not the basis of schedule. Can you provide the  
27 basis of schedule?

28 L. GREENLAND: Yes, we can provide the basis of

1 schedule.

2 I. RICHLER: JT-3.26.

3 **UNDERTAKING JT-3.26: PROVIDE THE DNNP BASIS OF**  
4 **SCHEDULE**

5 M. RUBENSTEIN: And those are my questions.

6 Thank you very much.

7 I. RICHLER: Next up is CCC, I believe. Mr.  
8 Gluck.

9 **EXAMINATION BY L. GLUCK:**

10 L. GLUCK: Good afternoon, Panel. My name is  
11 Lawrie Gluck, and I am a consultant on behalf of the  
12 Consumers Council of Canada. I only have a few  
13 questions for you today.

14 If we could open D2-CCC-56H, please. If we  
15 could just start with the question.

16 In this question, we asked whether all of the  
17 critical milestones could be met and the associated  
18 milestone-related reward payments made during the  
19 construction period, but the fully completed project  
20 ends up costing an amount that requires the entirety  
21 of the IPA contingency scope.

22 In the response, if we could go there, OPG noted  
23 that this scenario is highly unlikely, and it  
24 provided a discussion, including commentary about the  
25 depletion of the reward pool -- stating that the  
26 depletion of the reward pool will trigger funding  
27 from the risk pool. Can you elaborate on this  
28 response, please.

1           S. NELMS: So I think maybe to best answer this  
2 question, take a step back and describe how the  
3 incentive -- the ongoing incentive payouts work in  
4 the model.

5           So there are essentially two tests for each of  
6 the milestones, and those are laid out in evidence.  
7 The first is that the milestone is met on cost and on  
8 schedule. So the individual -- there is usually one  
9 a year

10          But the second is that the project itself -- and  
11 we have a number of health metrics that we are  
12 looking at which tie back to some of the scores that  
13 we are looking at on a very regular basis -- those  
14 need to be met as well. So cost, schedule, quality,  
15 safety, all the sorts of things that we look at.

16          And so that is why when we say it is highly  
17 unlikely that we are going to pay out a milestone and  
18 then need to claw it back or essentially be short in  
19 terms of the amount that we have in our -- either the  
20 risk or reward pool because the project needs to be  
21 on track at all times to get any of these payouts.

22          I think this -- the point specifically being  
23 made here is the way in which the overall contingency  
24 works. So we start by depleting the reward pool  
25 which doubles as contingency. If that is depleted,  
26 we then would go to the risk pool. And so I think  
27 the point here is if in that unlikely scenario, we  
28 were -- we had depleted more of the reward pool than

1 we -- than would have been ideal in the circumstances  
2 of the project, then we would be drawing down the  
3 risk pool, which is, again, coming from the non-owner  
4 parties for the most part. So it would net out to  
5 the same effect is what we are trying to say.

6 L. GLUCK: Okay. Thank you.

7 I do want to just sort of walk through the  
8 scenario a little bit with some numbers, and maybe  
9 that will help me to understand. So my understanding  
10 is the milestone-related reward payments are set at  
11 20 percent of the execution reward pool, and the  
12 amount of that reward pool is \$547 million; is that  
13 right?

14 I think this -- my notes say part E. It is  
15 probably in the table below.

16 So I could restate. My understanding is that  
17 that -- it says reward pool, execution sub pool, 547  
18 million, and 20 percent of that -- excuse me -- is  
19 set aside for the milestone-related payments; is that  
20 right?

21 S. NELMS: That is correct. What I would just  
22 point to -- maybe it is worth going there -- is in  
23 D2, Tab 4, Schedule 3 on page 11, we lay out the  
24 milestones. Just in the main body of the evidence.  
25 That is right. Page 11. So what I wanted to draw  
26 attention to is on line 21. Just to scroll down a  
27 little bit more.

28 I just wanted to point out that mechanical

1 completion is one of the milestones, and, in fact, it  
2 attracts a significant component of the total 20  
3 percent that could be paid out. And mechanical  
4 completion happens quite late in the project. So I  
5 just wanted to frame up that a lot of this reward is  
6 back-ended to de-risk the project.

7 L. GLUCK: Okay. Thank you.

8 And do you have just high level? I don't really  
9 need exact numbers. But so it is -- based on what  
10 you just told me, there is six sort of milestones on  
11 the list you just brought me to. You are saying it  
12 is back-ended. What would be sort of the percentages  
13 for the earlier steps versus -- the earlier  
14 milestones versus the end milestones?

15 S.NELMS: I wonder if maybe that is better as an  
16 undertaking? We can --

17 L. GLUCK: Sure.

18 S.NELMS: -- make that breakout.

19 I. RICHLER: JT-3.27.

20 **UNDERTAKING JT-3.27: PROVIDE THE PERCENTAGES**  
21 **FOR THE EARLIER MILESTONES VERSUS THE END**  
22 **MILESTONES IN D2, TAB 4, SCHEDULE 3, PAGE 11**

23 L. GLUCK: Thank you.

24 So really, the final question on this topic is  
25 if the Unit 1 came in at a cost that -- excuse me --  
26 that is incremental to the RQE, so came in above, is  
27 it possible that you will have made milestone  
28 payments to the non-owner parties? And in that case,

1 are those -- let me stop there. Is that possible,  
2 that it could come in above the RQE and you have made  
3 milestone payments of some amount?

4 R. HOWARD: I would say it is highly unlikely.  
5 Excuse me. Scott mentioned that it is -- these  
6 milestone payments are tied to current project  
7 performance at the time that the milestones are  
8 achieved. They are your standard project performance  
9 measures; safety, quality, cost, schedule. So to  
10 achieve those milestones and being well overspent on  
11 the project is an unlikely set of conditions.

12 L. GLUCK: Okay. Thank you.

13 And if they -- if milestone payments were made  
14 and this does somehow happen, are those milestone  
15 payments clawed back or they are held by the non-  
16 owner party? Like, is there a clawback mechanism on  
17 milestone payments or not?

18 S. NELMS: No, there is not.

19 L. GLUCK: Okay. Thank you.

20 I just have one last question for this Panel.  
21 Could we go to D2-CCC-59, please. And in this  
22 question, we had asked whether there is a potential  
23 off-ramp related to units 2 to 4 of the DNNP. And in  
24 the response, it explains that units 2 to 4 are  
25 currently in the definition phase, and moving forward  
26 with their execution phase will require approval by  
27 the DNNP Board of Directors and the OPG Board of  
28 Directors.

1           In terms of the timing -- excuse me. In terms  
2 of the timing of the development of the RQE for units  
3 2 to 4, do we -- is that on the record, or do you  
4 have the timing as to when the execution phase RQE is  
5 expected to be ready for approval for units 2 to 4?

6           C. KEIZER: One, I am not sure it is relevant  
7 and -- in terms of what is in this application, and  
8 even if it were, I believe that information would be  
9 confidential.

10          L. GLUCK: Well, we are interested in the timing  
11 of a potential off-ramp that this response says that  
12 there is, you know -- it sounds like there is a  
13 potential off-ramp in terms of you need to get DNNP  
14 approval, DNNP LP, Board of Directors and OPG Board  
15 of Directors approval for units 2 to 4 execution ROE,  
16 and we just don't know the timing of that potential  
17 off-ramp.

18          C. KEIZER: Well, I understand the nature of  
19 your question, but this application is only  
20 considering Unit 1, so the off-ramp related to 2 to 4  
21 is irrelevant to the application here, which is  
22 applying for the in-service of Unit 1.

23          L. GLUCK: Okay. Thank you. Those are my  
24 questions.

25          I. RICHLER: Thank you, Mr. Gluck.

26          We have actually managed to make up a little bit  
27 of time today. Mr. Gluck was the last person  
28 scheduled for today. So let me just ask -- let me

1 just canvass the intervenors, both in the room and  
2 online. Is there anyone who is scheduled for Monday  
3 for questions for this Panel who is prepared to go  
4 now and take us to 4:15 or 4:30? Last call? Okay.

5 In that case, unless there are any  
6 administrative matters that we need to deal with, I  
7 think we can call it a day. We will resume on Monday  
8 morning at 9:30. Thanks, everyone. Have a good  
9 weekend.

10 --- Whereupon the proceeding adjourned at 4:01  
11 p.m. to resume Monday, May 30, 2026 at 9:30  
12 a.m.